

DOCKETED

Docket Number:	17-IEPR-03
Project Title:	Electricity and Natural Gas Demand Forecast
TN #:	216424
Document Title:	Transcript of 02/22/2017 IEPR Commissioner Workshop on Data Inputs and Assumptions for IEPR Modeling and Forecasting Activities
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	3/7/2017 11:46:51 AM
Docketed Date:	3/7/2017

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 17-IEPR-03
)
2017 Integrated Energy Policy)
Report (2017 IEPR))

**IEPR COMMISSIONER WORKSHOP ON DATA INPUTS AND
ASSUMPTIONS FOR IEPR MODELING AND FORECASTING ACTIVITIES**

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, ART ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

WEDNESDAY, FEBRUARY 22, 2017

10:00 A.M.

Reported By:
Kent Odell

APPEARANCES

Commissioners

Robert B. Weisenmiller, Chair

Janea Scott, Commissioner

Andrew McAllister, Commissioner

CEC Staff Present

Heather Raitt, IEPR Program Manager

Chris Kavalec

Lynn Marshall

Delphine Ho

Aniss Bahreinian

Gordon Schremp

Asish Gautam

Jason Orta

Alana Mathews, Public Adviser

Also Present

Delphine Ho, California ISO

McKinley Addy

INDEX

	Page
Introduction	
Heather Raitt, IEPR Program Manager	4
Opening Comments	
Chair Robert B. Weisenmiller, Lead Commissioner	5
Commissioner Janea Scott	5
2017 IEPR Common Cases: introduction, Overview, and Econ-Demo Assumptions	
Chris Kavalec, Energy Commission Staff	6
Hourly Load Forecast	
Chris Kavalec, Energy Commission Staff	14
Annual and Time of Use Retail Electric Rates	
Lynn Marshall, Energy Commission Staff	28
Other Assumptions	
Distributed Generation	
Asish Gautam, Energy Commission Staff	116
Transportation forecast and fuel prices	
Aniss Bahreinian, Energy Commission Staff	52
Gordon Schremp, Energy Commission Staff	99
Efficiency and other assumptions	
Chris Kavalec, Energy Commission Staff	129
Plexes Model Assumptions	
Angela Tanghetti, Energy Commission Staff	140
North American Market Gas Trade Model (NAMGas) Inputs and Assumptions	
Jason Orta, Energy Commission Staff	158
Public Comments	172
Adjournment	176
Reporter's Certificate	177
Transcriber's Certificate	178

P R O C E E D I N G S

1
2 FEBRUARY 22, 2017

10:00 A.M.

3 MS. RAITT: Good morning and welcome to today's
4 2017 IEPR Commissioner Workshop on Data Inputs and
5 Assumptions for the IEPR Modeling Forecasting
6 Activities.

7 I'm Heather Raitt, the Program Manager. I'll
8 quickly go over our housekeeping items. If there's an
9 emergency and we need to evacuate the building, please
10 follow staff to Roosevelt Park, which is across the
11 street, diagonal to the building.

12 Today's workshop is being broadcast through our
13 WebEx conferencing system. Parties should be aware that
14 you are being recorded. We'll post the audio recording
15 on the Energy Commission's website in a couple of days
16 and a written transcript in about a month.

17 We will have an opportunity for public comment
18 at the end of the day, and we'll be limiting comments to
19 three minutes per speaker. For those of you who would
20 like to make comment at the end of the day, please go
21 ahead and fill out a blue card, and you can give it to
22 the Public Adviser, who's currently sitting in the back
23 of the room.

24 For WebEx participants, you can raise your hand
25 using the raise-your-hand feature on WebEx, to let our

1 WebEx coordinator know that you'd like to make a comment
2 during the public comment period. And at the
3 appropriate time, we'll either relay your comment or
4 open your line. For phone-in participants, we'll also
5 take your comments at the very end.

6 Materials for this meeting are available on the
7 website, and hardcopies are at the entrance to the
8 hearing room.

9 Written comments are welcome and due on March
10 8th. And the notice for this meeting provides
11 instructions for how to submit written comments.

12 And with that, I'll turn it over to the
13 Commissioners.

14 CHAIR WEISENMILLER: Good morning. Thanks for
15 your participation today. One of the key elements of
16 the Energy Commission's work is the demand forecast.
17 And, certainly, one of the things that certainly feeds
18 into the demand forecast are the inputs and assumptions.
19 So, as we kick off this IEPR, in a way this is one of
20 the important workshops to lay the foundation for the
21 end result. So, anyway, thanks for your help today.

22 COMMISSIONER SCOTT: Good morning. I'll just
23 echo the comments that the Chair has made. And I will
24 note, unfortunately, I can't be here in the afternoon,
25 when we get to the transportation component. But one of

1 the things that the Commission has done is we're working
2 with the National Renewable Energy Lab to get some
3 updated information for some of the vehicles, like
4 electric vehicles, and places where the number of models
5 have changed, the number of miles have changed, and
6 things like that. And, so, that will be becoming
7 incorporated into the transportation information that we
8 have. And I just wanted to make sure to highlight that
9 for folks. And I look forward to today's workshop.

10 MS. RAITT: All right, thank you. So, our first
11 speaker is Chris Kavalec, from the Energy Commission.

12 MR. KAVALEC: Good morning. I am Chris Kavalec,
13 from the Energy Assessments Division. And I have the
14 wrong presentation up here. We don't seem to have my
15 presentation up here.

16 Okay, this looks like the right presentation,
17 here. I'm going to start off today talking, sort of in
18 general, about the interconnected analysis that goes on
19 in the Energy Assessments Division, through a discussion
20 of what we're calling common cases, or common sets of
21 assumptions that flow through the various modeling
22 systems.

23 And I'm talking specifically about our
24 electricity dispatch methodology, our NAMGAS model that
25 projects natural gas prices. A methodology we use to

1 project electricity rates, electricity rate scenarios.
2 Our transportation energy forecast and, of course, our
3 electricity and natural gas demand forecast.

4 So, these common case are meant to translate
5 across the different analyses that we do. And that
6 simplifies the transfer of output from one modeling
7 system that becomes input for another. And that gives
8 us a consistent basis for policy discussion within the
9 various facets of energy issues that we cover in the
10 Energy Analysis Division.

11 We, basically, go through what you could call
12 iterations, through these various models and modeling
13 systems. And we, typically, start off with the most
14 recent demand forecast which, in this case, would be the
15 recently adopted California Energy Demand Forecast
16 Update, in 2016. And we sort of iterate through the
17 electricity dispatch and NAMGAS models.

18 And then, through those outputs, we develop
19 electricity rates, which are then transferred to our
20 transportation energy demand, and electricity and
21 natural gas demand forecasts.

22 And once we go through one iteration, we will
23 have a preliminary California Energy Demand 2017 Demand
24 Forecast, and this will become the starting point for a
25 second iteration of these models, in the fall.

1 And, graphically, it looks something like this.
2 On the left-hand side there, the most recent forecast
3 fed into our electricity dispatch model, and then into
4 the NAMGAS model. That provides output that's used to
5 develop electricity rates. And the natural gas rates
6 from NAMGAS, and the electricity rates, feed into both
7 the transportation demand models and our electricity and
8 natural gas demand models.

9 So, we go through one step here. We end up at
10 the bottom right, with our preliminary demand forecast
11 which, as I said, becomes the starting point for our
12 second iteration.

13 So, these common cases have basic, raw
14 assumptions, shared across the different models,
15 including gross domestic and gross State products,
16 population in households, outputs by different
17 industrial grouping, used both for the transportation
18 energy and electricity and natural gas demand forecasts.

19 Carbon prices, which are used to develop our
20 electricity rates. And in a couple of the models we use
21 heating degree days and cooling degree days.

22 And, then, along with that we have specific
23 assumptions pertaining to each of the individual models,
24 which we'll talk about more today, in later
25 presentations.

1 So, our common cases, we define a mid-case,
2 which is sort of a reasonably expected trajectory, given
3 our most likely inputs. And, then, we have high and low
4 cases around those to define a reasonable, as opposed to
5 extreme range, around the mid-case.

6 I should mention that we also have a fourth
7 common case, which is basically a tweak of the mid-case,
8 that's meant to incorporate the impacts of doubling
9 energy efficiency per SB 350.

10 And Angela Tanghetti will talk a little bit more
11 about that, later today.

12 And I always like to mention that it's very
13 difficult, or not impossible, to make these common cases
14 completely internally consistent. For example, in a
15 high demand case you would expect upward pressure on
16 rates because of a growing economy. However, in the
17 high case, we typically define that as high growth, with
18 lower rates. However, a case like that would fit in
19 between the range defined by the high and the low cases.

20 So, associated with these cases, we have
21 specific Econ-Demo scenarios that we use, from our Econ-
22 Demo vendors. In the low demand case, we propose to use
23 Moody's lower long-term growth scenario, along with DOF
24 population. Their population projections tend to be
25 lower than those of Moody's and Global Insight, so we

1 use that in the low demand case.

2 For our mid-demand case, we have the Moody's
3 baseline scenario. And for the high demand case, we're
4 having Moody's create a special scenario for us. In the
5 past, we've used Global Insight's, what they call their
6 optimistic scenario for the high demand case. But this
7 scenario is not always consistent with the other two
8 scenarios from Moody's.

9 So, for example, in this optimistic scenario,
10 you may have much higher industrial growth, but lower
11 commercial growth. So, we end up with a high demand
12 case with much higher industrial energy projected, but
13 lower commercial energy projected, so it's not always
14 consistent across the sectors.

15 The trouble in the past, with the Moody's high
16 case, is that it's typically been very close to the mid-
17 case, so there's really no point in running that
18 additional, that high scenario in that case.

19 So, what we asked Moody's to do was create a
20 special high case that is significantly above the mid-
21 case, for the key economic variables. And,
22 unfortunately, I don't have any details on that today.
23 They're still working on that. But that's what we
24 propose to use for our preliminary forecast.

25 But I can talk about the mid-demand case a

1 little bit. And here are some features of the mid-
2 demand case. Unemployment rate's staying low, a sharp
3 increase in housing starts within a couple of years.
4 Oil prices remaining relatively flat, going up a little
5 bit in the next ten years. And they assume that there's
6 going to be a significant tax cut from the Trump
7 Administration, coming in the next year or two.

8 First, a look at population in the mid-case, in
9 the latest Moody's projection. A few weeks ago, we had
10 a workshop on Econ-Demo. And the consensus among our
11 Econ-Demo experts was that California's population
12 growth was going to slow relative to previous
13 projections for population. And the reason for that, or
14 two reasons for that, first the higher cost of living,
15 increases in cost of living in California. And the
16 second was an assumed reduction in international
17 migration due to the new Administration's policies.

18 So, the net effect of that is shown here. The
19 red line shows the population in the mid-case, used in
20 our recently completed forecast update. And the dark
21 blue shows the new preliminary mid-case. And by 2027,
22 we're down about a little over 300,000 souls in
23 California from these to effects.

24 Lower population is also reflected in less
25 personal income, as you see here. Again, comparing the

1 mid-case from the forecast update versus our new
2 preliminary forecast. In addition, there are two other
3 effects that go into this difference that, again, we
4 discussed at our Econ-Demo workshop a few weeks ago.

5 The first is tax cuts that would push growth
6 upward. And the second is the sort of conventional
7 view, or widely held view was that California is
8 reaching a full employment economy and, therefore, there
9 is less capacity for additional growth. Okay, once you
10 reach full employment, you don't have a lot of leeway to
11 increase growth, compared to the cases, for example,
12 when you're coming out of a recession.

13 The net effect of these two, each working in
14 opposite directions, one slowing growth, one increasing
15 growth, is to reduce personal income by a little bit
16 more than population, .75 percent in 2027. Personal
17 income down by a little bit more, as a result of these
18 two effects.

19 And manufacturing output, again comparing the
20 two mid-cases, we have sort of the opposite effect. The
21 net impact of a tax cut and a full employment economy
22 actually brings up manufacturing output up. Although we
23 are down compared to the previous forecast, we're down
24 less than the drop in population because the net effect
25 of the tax cuts and the full employment economy is up,

1 as it pushes it upward.

2 Finally, total employment, which is actually up
3 slightly, compared to the 2016 forecast, by the end of
4 the forecast period, because California is -- has
5 reached almost full employment more quickly than had
6 been projected in previous forecasts and, therefore,
7 that's reflected here in more people employed by the end
8 of the forecast period.

9 Also, you can see a flattening, starting in
10 around 2019, of employment. As we discussed in our
11 Econ-Demo workshop, most likely scenarios don't include
12 a new recession, but they do include projections of a
13 flattening of growth. And that's happening here,
14 starting in 2019, and then we reach 2021 or 2022, and
15 growth begins to increase, again.

16 Also, what we learned a few weeks ago was
17 there's a lot of uncertainty, because we have a new
18 Administration, and depending on what policy positions
19 they take, we could see a significantly different set of
20 Econ-Demo projections by the time we do our revised
21 forecast in the fall.

22 For example, if trade policy leads us to so-
23 called trade wars, or NAFTA is rescinded in some form,
24 we could see a slowing of growth that might be reflected
25 in a future Econ-Demo forecast.

1 So, that's my first presentation. Here, I give
2 some information on submitting comments for the docket,
3 for the 2017 IEPR Energy Demand Forecast, and you can
4 see a link there.

5 So, to the Commissioners, questions or comments
6 so far?

7 CHAIR WEISENMILLER: We're good so far. Thanks.

8 MR. KAVALEC: Okay. Okay, my next presentation
9 is meant to give a status update on our ongoing
10 development of an hourly load forecasting model. A
11 little bit of background. WE typically do forecasts for
12 peak, and for consumption, and for electricity, and
13 natural gas sales at an annual level. However, long-
14 term projections down to the hourly level are becoming
15 more and more important.

16 We have this issue, because of renewables, of
17 potentially pretty severe ramp-up period in the
18 afternoon. So, we're interested in looking at not just
19 the annual forecast, but the shape, the load profile of
20 typical daily use.

21 And, as we saw in our 2016 Forecast Update,
22 demand side factors, such as PV and electric vehicles,
23 can potentially shift the peak hour. So, to really do
24 an analysis of what that shift is going to be and when
25 the new peak our is going to be, you really need to do

1 an hourly load forecast.

2 So, our goal is to develop a model to project
3 every hour of the year, going ten years out for a given
4 geography. And to do that, we're planning to develop a
5 sort of business-as-usual projections for total end-use
6 hourly load. Meaning load that comes from generation of
7 -- or, no matter where the generation comes from,
8 whether it's behind-the-meter PV, or from utility sales.
9 And, then, adjust these business-as-usual projections to
10 account for increasing amounts of photovoltaics, and
11 electric vehicles, along with AAEE, additional
12 achievable energy efficiency, at the hourly level.
13 Demand response and TOU pricing, which we'll hear a
14 little bit more about in our next presentation.

15 So, once we make these adjustments, it's fairly
16 simple to calculate where the peak is going to be, the
17 maximum hour, which may or may not be a conventional
18 peak hour, what we typically think of as peak, like 4:00
19 to 5:00, or 5:00 to 6:00, in the afternoon.

20 In our analysis for the 2016 forecast update, we
21 saw peak hours shifting out to as late as 7:00 to 8:00
22 in the evening.

23 So, the first version of this model is going to
24 rely on system-level hourly data, which we get from
25 CAISO, at the -- what's called the TAC area level,

1 transmission access charge level, for PG&&E, Southern
2 California Edison, and SDG&E.

3 Later versions, once we go through our data
4 rulemaking and, hopefully, begin to incorporate and
5 receive metered data, we can do more disaggregate
6 geographies, and we can also look at individual sectors.
7 But for now, this 2017 forecast, we're doing these
8 hourly forecasts at the system level.

9 More specifically, what we're doing is we're
10 estimating the ratio of hourly load to an annual average
11 load for each hour. That means 24 regression for each
12 of the three TAC areas. And this is specified as a
13 function of weather. We are currently including
14 temperatures in various forms, along with the dew point
15 as a proxy for humidity. And calendar effects, day of
16 the week, weekend versus holiday, the month of the year,
17 using all the hourly data we have accumulated so far,
18 from the EMS data, which means 2006 through 2015.

19 The reason we're using a ratio, as I mentioned
20 here, as opposed to an absolute magnitude, is that with
21 ratios then you can plug in your annual average hourly
22 load that comes from our traditional demand forecast, at
23 an annual level. And through those annual forecasts,
24 you're accounting for Econ-Demo and other effects that
25 grow load. And, therefore, you don't have to -- these

1 don't have to be incorporated directly into our hourly
2 load model. That's why we're doing it that way.

3 So, the bottom part of this slide, this ratio
4 specifies a function of weather variables, calendar
5 effects. And, again, each of 24 hours, the whole year.
6 And we have -- this should be, actually, ten years, not
7 1 through 7.

8 Now, so, once you have your regressions
9 estimated and you're ready to roll with your forecast,
10 you need to develop what you might call an average
11 weather year for hourly temperatures. In our hourly
12 load forecast, as in all of our traditional peak
13 forecasts, we assume, because weather is so hard to
14 predict, a "average weather year". Okay. With the
15 exception that we make an adjustment for potential
16 climate change impacts.

17 However, coming up with a single representative
18 set of hourly temperatures, and using that for each
19 forecast year, again as we saw with our peak shift
20 analysis for the forecast update, you can have pretty
21 abrupt year-to-year changes in projected hourly loads
22 because of the calendar effects.

23 For example, your hottest temperature in one
24 year might occur on a weekday, but that same hottest
25 temperature the next year occurs on a weekend. So,

1 then, your peak may move out to a different day or even
2 a different month. So, you get these abrupt changes
3 from year to year.

4 So, we believe that to do a reasonable hourly
5 load forecast you need to do multiple simulations to
6 develop a distribution. And we are doing that through
7 what's called a bootstrapping process, which is kind of
8 a fancy way of taking random samples of hourly
9 temperatures over the 15 years' of temperature data that
10 we have. But, of course, you want to retain the
11 relationship between the months, and the weather, and
12 hourly different patterns in a different day.

13 So, what we're experimenting with, now, is a
14 random sampling of 28, 30, or 31-day blocks over a 15-
15 year period, depending on what month it is. And through
16 that developing one simulation, and then going back and
17 doing another random sample for developing another
18 simulated year, and on, and on, and on.

19 So, through these end simulations you will have
20 a median of all the results you've projected, and that
21 becomes our peak, or one and two baseline peak forecast.

22 So, this next graph shows the importance and the
23 impact of using multiple simulations, instead of one
24 simulation, as we did in the 2016 Forecast Update.

25 The red line shows the results of one

1 simulation. Okay, one set of bootstrapped estimates for
2 a future weather year. The dark blue line shows the
3 results of using the medians of the peak for each year,
4 using a hundred simulations. And you'll see how much
5 smoother that is. You don't have quite as abrupt year-
6 to-year changes. It becomes smoother.

7 However, there is a little bit of spikiness that
8 remains in the dark blue curve, so that tells me that
9 maybe the number of simulations need to go up to 500, or
10 1,000, and we're so we're still experimenting with that.

11 Further work for this modeling effort, as I
12 mentioned we're investigating what the proper number of
13 simulations should be to give us a reasonable forecast.
14 We want to try and introduce other weather variables.
15 For example, we can develop a heat index using
16 temperatures and the dew point.

17 We're also thinking about what's called gradient
18 boosting. This is a statistical analysis. It's a form
19 of what is sometimes referred to as machine learning.
20 And that's where you use your model, you project, and
21 then you compare those to the actual. And, then, you
22 use the errors, the difference between the two to
23 educate the model and improve the model performance.

24 The load shape modifier impacts. As I
25 mentioned, we're doing this at the system level, so we

1 don't have a sector breakout. But you would expect that
2 if residential consumption is going up compared to, say,
3 industrial consumption, then your daily load shape might
4 become peakier because residential use tends to become
5 peakier, or tends to be peakier than the flatter,
6 industrial loads.

7 So, incorporating this kind of impact we think
8 is important, since we're going out ten years and that
9 could have a significant impact. So, we're thinking
10 about ways to incorporate changing sector distributions
11 into this forecast.

12 Our plans are, as we're still working on this
13 model, but to vet the model more fully with stakeholders
14 at a DAWG meeting coming up next month, I believe March
15 17th.

16 So, anyway, that's where we are on the hourly
17 load modeling.

18 CHAIR WEISENMILLER: Yeah, thanks, Chris.

19 A couple of questions. The first is, let's
20 start with our two perennial issues, which might be more
21 significant here. One is sort of the data questions,
22 TAC, Edison questions. And the other one is the weather
23 normalization issues.

24 So, where are we on resolving those and how --
25 as I said, my guess is they're probably more significant

1 for the hourly forecast, than the annual numbers. But
2 sort of, certainly, welcome your opinion on that.

3 MR. KAVALEC: Well, let's see. I'm not sure
4 what you meant by the data issue?

5 CHAIR WEISENMILLER: There had been something
6 between Edison and the ISO on the TAC questions.

7 MR. KAVALEC: Oh, okay. So, yeah, you're
8 talking about the EMS data.

9 CHAIR WEISENMILLER: Yeah.

10 MR. KAVALEC: Yeah. So, for our weather
11 normalization process, this time we're hoping that we
12 have the utilities using the same data as we do. In the
13 past, they used their own data, which is -- we're not
14 sure exactly why they're different, but they're measured
15 at different points. So, that's one of the reasons why
16 we get different results when we do weather
17 normalization.

18 So, as far as -- maybe the utilities can comment
19 on that. But as far as I know, we should end up with
20 the utilities all using EMS data this year.

21 CHAIR WEISENMILLER: Sure, come on up. Please
22 identify yourself for the record, but just go ahead.

23 MS. HO: Hi. This is -- thank you, Chair,
24 Commissioner Scott, and Commissioner McAllister. This
25 is Delphine Ho from the California ISO.

1 So, I wanted to explain the difference in the
2 data a little bit and how we're trying to resolve that
3 issue for this coming year and, then, going forward.

4 So, there are slight differences in the data
5 simply because of the way -- it's all coming out of the
6 same system, but because of the way the data is
7 presented in public sphere versus process, behind the
8 scenes and then provided to the CEC via a subpoena,
9 there are slight differences. And because there were
10 rounding differences, because of the way that the
11 information was aggregated.

12 So, what we're trying to take this year is
13 taking the information, aggregate it up to the TAC
14 level, so it should be apples-to-apples, the same data.
15 We're going to provide that publicly, to stakeholders,
16 on our website. So, LSEs, other IOUs can all have that
17 information. And it should be the same between what the
18 CEC receives and what's public.

19 For this year, we're going to have that in a
20 spreadsheet format, going back three years, so everyone
21 can do the forecasting analysis that's required. Moving
22 forward, we'd like to have a more long-term solution so
23 that the data coming out of OASIS, which is our public-
24 facing interface, could provide that information as
25 well.

1 For us, right now, that's a big kind of IT
2 project undertaking, so that's going to require a little
3 bit more time. But we wanted to provide the Excel
4 spreadsheets so that folks can provide their forecasts
5 as soon as possible for this coming year.

6 Okay, thank you.

7 CHAIR WEISENMILLER: Thank you.

8 MR. KAVALEC: As far as the methodology of
9 weather normalization, that's another topic that we're
10 going to discuss at the next DAWG meeting. That's an
11 ongoing discussion. Because weather normalization is
12 really kind of more of an art, than a precise science,
13 as we've found out over the years.

14 And at least one of the utilities has some ideas
15 on ways to improve the weather normalization process, so
16 we're going to hear from them at the DAWG meeting. So,
17 that's where we are on that, right now.

18 CHAIR WEISENMILLER: For the new model, what's,
19 you know, the statistical goodness to fit? What sort of
20 r squared or whatever are you coming out with?

21 MR. KAVALEC: For these different hourly
22 regressions, it depends on the time of the day and how
23 good of a fit you get. So, for the afternoon hours or
24 close to peak hours you get a 95 percent r squared or
25 above. And, then, in the off-peak hours, 2:00 in the

1 morning, 3:00 in the morning, when temperature, weather
2 plays less -- makes less of a difference, you're down to
3 75 percent, 70 percent r squared.

4 And once we develop this model, we'll provide
5 all the statistics anybody could ever want, related to
6 the model.

7 CHAIR WEISENMILLER: You also talked about how,
8 as you're running the various sets to try to get some
9 sort of smoothing, trying to get an understanding of
10 when, obviously converged, or whatever the right thing
11 would be, that when things are stable, at least. And is
12 there any statistical measure of, you know, whether it's
13 100, or 500, or 1,000?

14 MR. KAVALEC: Not exactly. It's going to depend
15 on the amount of data that you have, the goodness of fit
16 that you have, and so on. But we're looking for two
17 things, I think. The first is the smoothness of the
18 results, like you just mentioned.

19 And the second thing is the normality of the
20 distribution. So, how many simulations do we have to
21 run before we can consider the distribution of the
22 results to be "normal" and, therefore, be able to pick
23 out not only a 1 in 2 from the median, but a 1 in 5, and
24 a 1 in 10 peak hour. So, those are the two things we're
25 looking for.

1 CHAIR WEISENMILLER: Yeah, those are tricky
2 because I think, if you look at the underlying weather
3 data, particularly correlations across space and time,
4 the distributions are, you know -- I'm not quite sure
5 they're very normal in nature.

6 MR. KAVALEC: Yeah, you may be right. It may
7 end up that based on -- well, let me change my previous
8 answer, slightly. We want to be able to run enough
9 simulations so that whatever the underlying distribution
10 results from all these runs becomes apparent, whether
11 it's the normal, or r squared, or whatever other kind of
12 distribution.

13 And, then, from that, again, you'd be able to
14 start picking out 1 in X weather years, as opposed to
15 just 1 in 2.

16 CHAIR WEISENMILLER: Yeah, you may want to talk
17 to Jim McMann. He and I did some stuff in the 90s which
18 basically looked at 50-year weather tapes across the
19 west, and we were trying to find some correlations.
20 And, eventually, threw up our hands and simply ran, you
21 know, the weather tapes through, in the various
22 locations, to see what came out. That's the best way we
23 could do the forecast.

24 But anyway, Jim probably has some recollection
25 on that.

1 MR. KAVALEC: Yeah, and there's other work to
2 check on that has been done in this area, that we
3 haven't quite gotten to, yet, but --

4 COMMISSIONER MCALLISTER: So, I just wanted to
5 build on that a little bit, and maybe ask it in a
6 reverse way. So, how much will this new model be able
7 to -- well, will you be running sensitivities on the new
8 model, you know, based on things that maybe are outside
9 the model? So, you know, how robust is the model? Are
10 you going to test for robustness, you know, as
11 uncertainties in climate proliferate? And, you know as,
12 obviously, the future may look different from the past.
13 And you're anticipating some of that. But, you know,
14 what's the plan for running sensitivities in the model
15 that are sort of, you know, outside the boundaries that
16 we might typically consider? You know, just extreme
17 events, and things like that, and develop some
18 expectation of how accurate the model's going to be in
19 those cases?

20 MR. KAVALEC: Yeah, so we have talked to
21 Scripps, who provides our scenarios for climate change,
22 about doing scenarios using hourly temperatures, and
23 build in climate change impacts not only to our annual
24 results, but to our hourly results.

25 Yeah, in terms of your general question, it's

1 tricky. There's a lot of different impacts that you
2 could test for, that could lead to skew your
3 distribution, or lead to extreme results, some of what
4 you might call extreme results.

5 All I can say, now, is that we're in the process
6 of testing our model versus the historical data, and
7 making it as good as we can be --

8 COMMISSIONER MCALLISTER: Yeah, okay.

9 MR. KAVALEC: -- before we attempt to start
10 doing forecasts.

11 COMMISSIONER MCALLISTER: I mean, it's good to
12 hear that the fits are better at the peaks. It makes
13 sense. But that -- and that would be mostly the concern
14 in extreme events is that you'd have some, you know,
15 peak impacts. But you'd really want to pay attention to
16 all the 24 -- all the 8760.

17 CHAIR WEISENMILLER: Yeah. I mean, certainly,
18 looking at some of the peak load shift types of
19 questions.

20 COMMISSIONER MCALLISTER: Yeah.

21 CHAIR WEISENMILLER: Having a great fit there
22 is, certainly, really important.

23 COMMISSIONER MCALLISTER: Yeah.

24 MR. KAVALEC: Now, in looking at the historical
25 data, we're very careful to look at how the model

1 performs and during extreme weather events. And so far,
2 using the typical regression and assuming a normal
3 distribution, it gives a pretty good fit for even for
4 the extreme events.

5 COMMISSIONER MCALLISTER: Okay, thanks.

6 CHAIR WEISENMILLER: Thanks, Chris.

7 MR. KAVALEC: Sure.

8 MS. RAITT: Thanks. Our next speaker is Lynn
9 Marshall, from the Energy Commission Staff.

10 MS. MARSHALL: Okay. So, for this IEPR cycle we
11 have several changes going on that affect how we need to
12 prepare retail electric rate inputs. So, in the past
13 cycles we simply prepared projects of annual revenue
14 requirements, using the demand forecast to calculate an
15 average annual rate for each of the sectors. And those
16 were input into our sector energy models, residential,
17 commercial, transportation. And they would account for
18 the year-to-year effects on consumption of annual
19 changes in retail electric rates.

20 For this cycle, now, we want to account for the
21 transition of residential customers to default time-of-
22 use rates, and also support the development of the
23 hourly load forecast model, Chris was just discussing.

24 So, to do that, in addition to the annual
25 average electric rate, we also need to calculate what we

1 call revenue-neutral time-of-use rate that we can use in
2 our -- in a model to calculate the price response of
3 sector hourly loads, supporting our sector and climate
4 zone forecasts. So, there will be several outputs from
5 this.

6 So, we'll have hourly load impacts that reflect
7 the incremental changes of the shift to time-of-use
8 rates. We'll have modified single-family home, hourly
9 load forecasts that are input into the self-generation
10 model. And, then, we also want to have aggregated load
11 impacts that can support modifications to the annual
12 peak-in-energy tables that will continue to be needed
13 for planning.

14 So, let me talk, first, about some of the
15 updates for the annual retail electric rate forecast,
16 and then I'll move back to the time-of-use discussion.

17 So, much of the data that will be used to update
18 the final retail electric rates won't become available
19 in time for the preliminary rates. The Demand Office
20 needs those in March, so that will be a limited update.

21 But, primarily, we start with evaluating the
22 revenue requirements data that the larger utilities will
23 submit. On the non-procurement side, that includes
24 looking at their projections of distribution, and
25 transmission revenue requirements. And, then, in

1 particular, we want to look at any pending rate cases
2 and applications. For example, they have some new
3 transportation, some electrification applications that
4 would be incrementally.

5 There's also, importantly, on the distribution
6 revenue side, the new general rate cases are starting to
7 include requests to support distributed resources
8 integration. So, for example, SCE's 2018 rate case has
9 capital expenditure requests. On an annual basis, it's
10 about 20 percent higher than kind of their baseline
11 distribution cap. ex.

12 So, we'll see Office of Ratepayer Advocates, and
13 other stakeholders' analysis of that, starting in April,
14 so we can factor, probably, some scenarios around that
15 in the revised rate forecast.

16 The Cal ISO will update their transmission
17 access charge of revenue requirements forecast, usually
18 in about May, so we'll be able to incorporate that.

19 And, then, finally, there was supposed to be a
20 cost-to-capital proceeding this year, for the IOUs, but
21 actually, ORA and the IOUs, in turn, have proposed a
22 modification to the existing structure that would result
23 in a slight reduction to their rate of return. So, that
24 should be factored in. Unless we see large objections,
25 I'll probably include that.

1 So, on the procurement side of revenue
2 requirements, we start with the utilities' reported
3 costs for the resources they already have under
4 contract. Then, we calculate using the staff demand
5 forecast for that utility, what's the incremental,
6 conventional, and renewable need, and then we value
7 those based on the staff market price forecast.

8 So, for renewables, we're using updated
9 information from our cost-of-generation model analysis,
10 which produces levelized costs for renewable resources.

11 On the wholesale energy market price, there's
12 three key inputs. Natural gas HUD price, the heat rate,
13 and the California carbon allowance. We don't have the
14 new, NAMGAS scenarios, yet, so those will be included in
15 time for the preliminary rates.

16 But looking at recent ISO data, it looks like
17 the current implied market heat rate is lower than the
18 assumption I used last time, which was 8,000 Btus per
19 kilowatt hour. Then, looking at our QFER 1304 power
20 plant database data, the statewide average heat rate
21 over the last three years has been about 7,700. So, I'm
22 going to use that as the heat rate input for prices.
23 And I'll show that affects the price in a moment there.

24 So, okay, and then we have updated the carbon
25 credit allowance price projections. And this is based

1 on Air Resources Board proposed modifications to the Cap
2 and Trade Program. So, there's a lot of uncertainty
3 around where prices will actually end up, given the
4 uncertainty around economic variation can lead to
5 changes in emissions, how much emissions we'll get from
6 complementary policies. There's actually a high
7 probability that you end up either at the soft cap or
8 the floor.

9 So, for the high-priced scenario, we assume the
10 equilibrium price is at the allowance price containment
11 reserve level, which is like a soft cap. And, then, the
12 low price stays at the floor. And the mid-price is
13 simply halfway through.

14 So, for each of these, since the credits are
15 bankable over time, in equilibrium you'd expect the
16 current price to be the present discounted value of the
17 final equilibrium price. So, these are just fit using
18 an exponential function to the final equilibrium price.

19 Okay, so putting all of that together, since I
20 don't have HUD prices, I'm just using the current EIA
21 short range forecast as a proxy to get a sense of what
22 the starting point for the wholesale price will look
23 like. So, combining the current -- the current gas
24 prices than our previous mid-case assumption. They're a
25 little closer to the low case. So, that lowers the

1 starting point of the wholesale energy price by about \$6
2 a megawatt hour, in 2017.

3 And then, the top two lines show the revised
4 levelized cost used for pricing procurement of new
5 renewables. So, in the updated cost of generation, the
6 levelized cost analysis, the starting point is a lot
7 lower. That's primarily reflecting how much the cost of
8 solar has dropped. I think it was over \$100 a megawatt
9 hour in the last analysis, and now it's something like
10 around \$70. But reflecting the fact that wind and solar
11 are more mature technologies, and we have tax credits
12 expiring out in the 2021 time frame, we don't -- we're
13 not projecting a big decline over the forecast horizon
14 that we did previously.

15 Okay. And, then, finally, a methodology change
16 I'm making. One of the key inputs in calculating the
17 rates is how you allocate revenue requirements to the
18 individual sectors. So, in the previous cycle, I just
19 used the current energy -- the current sector
20 allocations and held them constant over the forecast
21 horizon.

22 So, to better support the impact of time-of-use
23 rates, and support the hourly load forecast, I'm going
24 to use the hourly prices from our PLEXES Dispatch Model
25 to shape the annual price forecast, and then combined

1 with hourly sector loads then you can allocate that to
2 sectors more appropriately. That's consistent with the
3 marginal cost allocation methodology that's used in the
4 IOU rate cases.

5 And, actually, in those rate cases, now, the PUC
6 is having the IOUs do that analysis more on a forward
7 basis. It used to just be historic year. So, I have --
8 I can compare our results, for example, to their 2020
9 marginal cost analysis, and also use their capacity cost
10 allocations, which are usually based on something like
11 the loss of load probability analysis.

12 Okay. So, moving on to the time-of-use
13 analysis. So, since the PUC decided, in 2015, that we
14 were going to move towards a default of residential
15 customers, to default time-of-use rate, there's a lot
16 more activity than I can summarize on this one slide.
17 But these are some of the key points for our purposes.

18 There's actually like two different working
19 groups. One's been working on marketing, education and
20 outreach to prepare customers for this transition. And,
21 then, there's another group, the time-of-use pilot
22 group, that has been guiding the development of a couple
23 of pilot projects.

24 So, the first one we currently have ongoing
25 pilot studies of opt-in rates. Each utility is testing

1 three different rates. That began last summer and it's
2 going to go through 2017. And the goal of that is to
3 provide input to the IOUs and the CPUC that will guide
4 the ultimate rollout in 2019.

5 Now, starting next year, we're going to have a
6 default pilot, which is essentially an operational
7 readiness test. They're going to transition a large
8 group of customers at once. That will be, essentially,
9 phase zero of the residential default transition,
10 because those customers will stay on that default rate.

11 And, then, the plan is in 2019 we'll move
12 towards a full rollout of all of those customers who
13 aren't exempt. And there are certain categories of
14 customers that will be exempt.

15 Now, simultaneously with all of that, all of the
16 IOUs have rate cases that are evaluating how to change
17 their time-of-use periods. So, for example, shifting
18 the peak period from 2:00 to 6:00, to 4:00 to 8:00, or
19 5:00 to 9:00. There's some discussions around the
20 precise, new periods. But those cases should get
21 resolved and I think we can expect those new time
22 periods to begin being implemented in 2018.

23 And, then, we also know that SMUD, in their last
24 rate case, made a commitment to move toward residential
25 time-of-use rate, as the standard rate. They don't have

1 -- there's not a specific rate case open, yet, but we're
2 going to model them on the IOU timeline, for the time
3 being. And, then, when we get more specific
4 information, we'll incorporate that.

5 I'll say a little bit about what's happening on
6 the nonresidential side. But, really, the big load
7 impacts we want to account for are residential, so we're
8 doing less here.

9 So, the IOUs have been transitioning the small,
10 medium, commercial and ag customers for several years.
11 For San Diego and PG&E, that's largely complete. I
12 think they'll finish this year. So, a lot of those load
13 impacts are already baked into the recorded hourly loads
14 that go into the demand forecast. Edison has one last
15 batch that should transition in 2018.

16 So, there may be some incremental effects there.
17 We should see, in this year's load impact analyses
18 reports, I think there will be some estimates of how the
19 time-of-use period change could affect load. So, we're
20 going to look at those load impact reports to identify
21 any incremental adjustments we need to make on the
22 nonresidential side.

23 So, back to our approach for modeling
24 residential impacts. So, I'll talk a little bit about
25 the overall methodology approach, and then get into the

1 specific sources of assumptions.

2 So, one thing we know from the research on how
3 residential customers respond to time-of-use rates, is
4 it's very sensitive to local temperature conditions, and
5 customer characteristics. Most importantly, the
6 presence of air condition saturation. So, if we want a
7 methodology that's going to support, ultimately support
8 our forecasts, which are increasingly disaggregate,
9 climate zone, now at an hourly time step, we want to
10 account for variation in temperature across climate
11 zones and across seasons.

12 So, a useful way to approach modeling that is
13 the constant elasticity of substitution approach. So,
14 it decomposes the price response into a peak/off-peak
15 elasticity. So, that's your load shifting component.
16 And, then, the daily price elasticity measures the
17 reduction in total usage in response to a higher average
18 seasonal rate.

19 An important part of doing this is that we need
20 to make sure that this -- the rate is equivalent,
21 revenue-neutral, to the annual average rate that is used
22 in the sector models, because they're still running at
23 an annual time step.

24 And, then, we can use -- Chris was discussing
25 some of the work that like Scripps' doing. Climate

1 change scenarios, we can use this type of approach to
2 include temperature variation over time. And, then, for
3 example, we have in our residential model air
4 conditioning saturations increasing over time, so this
5 formulation can account for that.

6 And, then, finally, steps estimate what then
7 number of participating customers are, then those
8 hourly, applying the elasticities, you can aggregate
9 those hourly loads. But an important part of the load
10 shape, and this will be related to some of the work
11 going on in the future, to support the hourly load
12 forecast, is appropriate and consistent adjustments to
13 account for energy efficiency, electric vehicles, self-
14 gen. So, it's ideally where we want to get to.

15 Then, we can apply those elasticities to the
16 adjusted load to provide a modified load shape, that
17 then can feed into the demand forecast models.

18 So, I'll discuss some of our options for these
19 assumptions. For this IEPR cycle, in particular,
20 there's no perfect options. And, so, all of these
21 inputs and assumptions we're going to talk about at the
22 March DAWG, Demand Access Working Group, meeting. And
23 we really want to other stakeholders' inputs on how to
24 approach this.

25 So, one very attractive candidate for this

1 analysis, the Statewide Pricing Pilot. So, this
2 encompassed all three IOUs, ran over 18th months. So,
3 it includes two summers and one winter. And for non-
4 summer months, this is really the only California
5 analysis out there, in terms of what price response is
6 in non-summer months.

7 One of the primary goals of this study was to
8 support load impact forecasting. So, it did estimate
9 the CES specifications. So, there are parameter
10 estimates that adjust elasticities as a function of the
11 heating and cooling degree differential, peak/off-peak.
12 And air conditioning saturation. So, that really fits
13 in well to supporting the demand forecasting approach we
14 use.

15 However, this was an opt-in study. And we know
16 from, you know, research on residential price
17 responsiveness, you have a big self-selection effect.
18 And you know that the price responsiveness for an opt-in
19 study will be much higher than if you defaulted
20 customers.

21 So, this is a starting point. We've set up an
22 initial model, using this framework, because it does
23 cover all the months and it gives us a base to get the
24 modeling infrastructure up and running, but it will need
25 some adjustments.

1 So, that brings us to the next option. The SMUD
2 Smart Pricing Options Pilot. And what's really
3 interesting about this is they had both default and
4 time-of-use options. And you can see in the table,
5 there, that price responsiveness is significantly lower
6 for the default customers.

7 So, the study authors characterize customers on
8 a time-of-use rate in three categories. You've got
9 always takers, people that are always signing for time-
10 of-use rate because it works for them. You've got the
11 complacents, who wouldn't sign up for it, but if you
12 default them on, they'll stay on. And, then, you have
13 people that are unaware, and they don't know they're on
14 the rate, so they didn't get a price response. In the
15 SMUD study, about one-third of customers were unaware.
16 So, that those unawares and complacents, the combination
17 of those really lowers the average customer response
18 that you can expect to get.

19 But in aggregate, because you have more
20 customers, you can still get larger load impacts. So,
21 this study could be a basis for doing a statistical
22 adjustment downward to account for the effect of
23 unawares and complacents. However. it is only SMUD.
24 SMUD's got, you know, the highest air conditioning
25 saturations in the State.

1 So, one might hypothesize that in a climate zone
2 with milder temperatures, that the sort of unaware and
3 complacency discount could be even higher. And we just
4 won't know that until there are some future studies
5 done.

6 And, then, a third project of interest is the
7 Opt-In Pilot that is currently going on. So, this
8 project was really focused on issues like customer
9 understanding, customer experience, hardship, and
10 awareness to help the IOUs and the CPUC decide on how to
11 design the default pilot rates in 2019. Estimating load
12 impacts was not the primary goal. So, the sampling, the
13 whole methodology is really not geared to estimate price
14 elasticities.

15 But that said, there are load impacts that could
16 provide an interesting basis for comparison. It is only
17 opt-in, though. And they were legislatively restricted
18 from doing a default at this time. But they did use a
19 pay-to-play approach, where participants got a
20 significant financial incentive to sign up. And the
21 idea there is that helps to attract more complacents
22 into the sample, and maybe offset some of the self-
23 selection bias that you get in an opt-in study.

24 How effective, you know, how broadly
25 representative the current sample is, we really won't

1 know until we do an actual default of IOU customers and
2 see that comparison.

3 But, like we said, there are summer load impacts
4 available, now. In about September, we'll see a full
5 year of load impacts. So, I think it could be a good
6 reference. I can model those rates with those
7 temperature -- with temperature data from that year, and
8 give a sense of how the staff model results compare to
9 what we're currently seeing in that pilot.

10 Okay, some of the other key rate design
11 assumptions. The peak to off-peak rate differential,
12 right, so it is it very mild, 1.3 to 1, or steeper, 2 to
13 1, 3 to 1? In the initial default rates, and in the
14 default pilot, we can expect a pretty mild differential.
15 Right? This is the -- the PUC called this TOU light.
16 We're transitioning millions of customers to a new type
17 of rate. We're not going to start off with a steep
18 rate. You know, customer understanding and having a
19 good customer experience is the first priority.

20 But we'll have some clarity on what the initial
21 rates will look like. The IOUs have already proposed
22 the default rates. The default pilot rates for 2018,
23 they'll be working on, they'll be preparing advice
24 letters in January, for the final default rates. And
25 that's going to be informed by a lot of the research

1 that's ongoing, now. It's just starting to come out,
2 both pilot research, and then there's a lot of
3 qualitative research that's going to inform those
4 decisions.

5 But what we don't know is after the first year
6 or two of default will those differentials increase to
7 become more time-based, or will they stay at that more
8 subdued level, which you wouldn't expect to see that
9 much price response. So, we just won't know.

10 On the number participating, I think both the
11 SMUD pilot would indicate, and the current research,
12 there's not expected to be large amounts of opt-out, but
13 that really doesn't tell you about what percentage will
14 continue to be unaware.

15 The IOUs are planning some statewide marketing
16 and education plans to boost awareness and understanding
17 of these changes, but that's still a big uncertainty.

18 And, then, another variable that could factor
19 into this is, as of 2020, the IOUs could be allowed to
20 implement a fixed charge. And that could be used to
21 reduce the -- that would reduce volumetric rates, and it
22 could be used to maybe make a steeper tier differential.

23 So, with all of that, those are good variables
24 to include in some scenarios, since we don't know any of
25 them. So, going back to how we usually do the retail

1 electric rate scenarios, we have a high demand, low cost
2 scenario, with low natural gas and carbon prices, and
3 then we have a low demand and high rate scenarios.

4 So, one way we could overlay the time-of-use
5 scenarios onto that is we have, in the low demand/high
6 rate scenarios we assume higher engagement, greater
7 price responsiveness, the PUC is comfortable with
8 increasing those tier differentials because people
9 understand what's going on and are responsive.

10 And, then, at the other end of the spectrum we
11 have high demand, we have low rates, the tier
12 differentials don't increase very much. You know,
13 people are not engaged. And that would give you kind of
14 the outer bounds of assumptions on the potential load
15 impacts.

16 And, so, finally, we'll be working on this
17 analysis more, to have some more detailed discussions in
18 the March DAWG meeting. There are a lot of more
19 information, and analysis, and decisions coming out from
20 the PUC, so it will be worthwhile to revisit this in the
21 October/September time frame, and maybe update the
22 assumptions then.

23 So, any questions?

24 CHAIR WEISENMILLER: Yeah, let me start out with
25 a couple. One, the thing that struck me so far is the

1 wholesale rate discussion. And, in fact, I will docket
2 a report, a presentation that was done by E3 at the Mid-
3 C Seminar, basically on wholesale prices. And as we add
4 more and more renewables, which we're going to do, they
5 have a zero marginal cost. And, so, that is pushing
6 down wholesale rates. You know, I've seen like a
7 forecast that Bloomberg did that was just, you know,
8 going straight down.

9 And, similarly, the E3 presentation that was
10 done at Mid-C, again, has wholesale rates just going
11 down. So, certainly, we'll docket the Mid-C
12 presentation. Certainly encourage those doing analysis
13 of it to file comments on wholesale rate projections.

14 But I know in talking to Bonneville, I mean
15 Bonneville's revenue went down dramatically last year,
16 like \$20 or \$30 million, because wholesale prices are
17 going down. And, you know, and the good news is we're
18 getting to average hydro this year, so it's going to be
19 a real additional drop in wholesale prices.

20 MS. MARSHALL: Yeah.

21 CHAIR WEISENMILLER: So, one needs to work
22 through what's going on, on wholesale prices. So,
23 again, trying to -- again, I'll docket the one seminar.
24 Certainly encourage people to give us input on what they
25 anticipate on wholesale prices. But I think the general

1 perception in the market is that as we add more
2 renewables, just wholesale prices are going to keep
3 going down.

4 MS. MARSHALL: Yeah, and that's a good point.
5 There was a recent paper published by C.K. Wu, and some
6 other people, analyzing the decremental effects of
7 renewables on the market price. I haven't quite figure
8 out how to translate that into this analysis, but that
9 would be a good thing to do, to work on.

10 CHAIR WEISENMILLER: Yeah, it's interesting.
11 Obviously, C.K. Wu was at the Energy Commission in the
12 70s. I haven't caught up with him in a while but,
13 certainly, very smart.

14 So, the other question, just sort of just to
15 flag for people was, as you said, going into the -- you
16 know, we made a commitment to the PUC we were going to
17 take into account pending rate changes, both time-of-use
18 and fixed charges. And, certainly, need to true up
19 what's going on there, in that area.

20 MS. MARSHALL: In which area?

21 CHAIR WEISENMILLER: In both -- well, the rate
22 design in terms of -- you know, and we need to true up
23 with them where they're going, but also the elasticity
24 impacts. So, again, certainly very interested in any
25 analysis any of the utilities are doing on these issues,

1 or the PUC's doing, and get that into our record, too.

2 MS. MARSHALL: Yeah. So, the current research,
3 specifically is not the -- like the current pathway is
4 specifically not focused on estimating elasticities.
5 And, actually, the PUC decision was very clear on that.
6 The first order of business is to deal with customer
7 education and understanding, and then we'll do the
8 default rollout, and then we'll worry about, you know,
9 load-estimating elasticities.

10 And, actually, when we do the pilot study, that
11 will be the default pilot, and that will be a great
12 opportunity to really estimate. But that's not a focus
13 of research right now.

14 CHAIR WEISENMILLER: Well, yeah, I'm trying to
15 figure out how are the utilities taking into account, in
16 their -- does anyone have anything they can help us
17 going forward? That I would just as soon find out now,
18 as opposed to in December, have someone say, well, wait
19 a minute, we have this methodology.

20 MS. MARSHALL: Sure. And I hope they'll come to
21 the DAWG meeting and share that with us.

22 CHAIR WEISENMILLER: Right.

23 COMMISSIONER MCALLISTER: I guess, I mean it
24 seems like there must -- I mean, I don't know if we have
25 a PUC person here. But, I mean, if you're going to go

1 through rate design, and you're also doing procurement,
2 you probably need some idea of what the elasticity
3 impacts of the new rate designs are going to be.

4 MS. MARSHALL: Actually, there's an interesting
5 thing about the rate-making process. So, when they do
6 like a generate case, and then they'll do the revenue,
7 rate design, they actually don't assume. There is no
8 assessment of price elasticity in rate cases.

9 So, as an economist, when I first started
10 working on this issue, I went looking for the elasticity
11 assumptions and I learned really quick there aren't any,
12 because you'd never be done.

13 CHAIR WEISENMILLER: Well, it actually comes out
14 more -- again, credit to this agency for decoupling in
15 the 1980 GRC decision. That before that, the whole
16 rate case games was always sales numbers. But with
17 decoupling, they provide the right incentives for energy
18 efficiency, which I'll credit Bill Marcus for that, in
19 the GRC testimony.

20 MS. MARSHALL: Yeah.

21 CHAIR WEISENMILLER: That took that issue out of
22 the rate cases, so people don't look at it. You're
23 right, as an economist, obviously, it's going to occur.

24 But, again, I think part of it -- you know, the
25 PUC's making these changes. They obviously,

1 historically, always do rate limiters, so that they're
2 rolling into the impacts of rate design changes more
3 gradually. But, you know, we're doing long-term
4 forecasts so, somehow, we have to figure out what it
5 means.

6 And as I said, certainly remembering some of the
7 prior years, that was the big issue for the PUC staff to
8 make sure we were looking at, you know, the impacts of
9 the rate design changes on mean.

10 MS. MARSHALL: Yeah.

11 COMMISSIONER MCALLISTER: But, I mean, I guess
12 I'm -- there has been research on elasticity, and I
13 believe in the time-of-use context, right?

14 MS. MARSHALL: Oh, yeah, so I just summarized --

15 COMMISSIONER MCALLISTER: It's a little dated
16 but, yeah.

17 MS. MARSHALL: Yeah, right. So, there's a lot
18 of studies there. And, actually, there's a lot of load
19 impact studies. For example, their opt-in time-of-use
20 rates, right.

21 COMMISSIONER MCALLISTER: Yeah.

22 MS. MARSHALL: So, there's a lot of good
23 information in the load research studies.

24 COMMISSIONER MCALLISTER: Yeah.

25 MS. MARSHALL: But, again, it's opt-in. So,

1 actually, in the recent Lawrence Berkeley National Lab
2 Demand Response Potential Analysis, they modeled time-
3 of-use rates by taking the Smart Pilot elasticities
4 response for default customers, and then they used the
5 PG&E Smart Rate Load Impact Analysis to statistically
6 adjust for air conditioning. So, that may be an
7 approach we can look at. There's still questions about,
8 you know, PG&E versus SMUD customers.

9 So, there's a lot of research out there. I
10 think I highlighted the key resources.

11 COMMISSIONER MCALLISTER: Yeah.

12 MS. MARSHALL: But I'm certainly open to any
13 suggestions people have. We may have to, for this
14 cycle, have to do some creative statistics.

15 CHAIR WEISENMILLER: Yeah, that's what I was
16 leading to. I mean, you certainly tried to highlight.

17 MS. MARSHALL: Yeah.

18 CHAIR WEISENMILLER: I'm just trying to say if
19 anyone else is all -- here's another approach to
20 consider, I'd rather hear it now, than when we're
21 getting into the adoption hearing.

22 MS. MARSHALL: Oh, sure. Yeah.

23 COMMISSIONER MCALLISTER: Yeah, the only other
24 thing I would say is on slide 6, I mean definitely the -
25 - let's see, what's the curve? The preliminary

1 renewable price seems -- I mean, that's going to look
2 pretty different by the time we get to the end of this,
3 I would think. Because to reiterate what the Chair
4 said, that renewables price there, the blue dots curve
5 seems like it's headed downward and not flatter up.

6 MS. MARSHALL: Okay. Well, I'll pass that along
7 to our cost of generation analysis team.

8 COMMISSIONER MCALLISTER: Yeah, okay. Great,
9 thanks.

10 MS. MARSHALL: Okay.

11 CHAIR WEISENMILLER: Now, I know she said
12 updates. So, the question is, you know, to double check
13 the update at some point in the record.

14 MS. MARSHALL: Yeah, that's -- I think the idea
15 for the cost of generation analysis is to put out a new
16 report this year, but it's not complete. So, this is
17 kind of fresh analysis. So, your input is certainly
18 welcome.

19 COMMISSIONER SCOTT: You mentioned, kind of in
20 the middle of your presentation, I think around slides
21 10 and 11, that one of the things -- you give a list of
22 things that you will also be considering as you look at
23 the modeling of the incremental TOU impacts. And one of
24 those included electrification. And, so, I'm kind of
25 echoing the Chair's call for information from people who

1 may have it. As the utilities are starting to have the
2 time-of-use rates for the electric vehicles and how
3 people are using those, to the extent that they can get
4 us information, I think that would be really helpful in
5 this space, as well.

6 MS. MARSHALL: Yes, definitely. A lot of new
7 proposals for time-of-use EV rates.

8 COMMISSIONER SCOTT: Absolutely.

9 MS. MARSHALL: So, yeah.

10 CHAIR WEISENMILLER: Well, thanks. Thanks for
11 your work on this.

12 We're running a little bit ahead of schedule and
13 we're going to do a shift in the order. Since
14 Commissioner Scott's here in the morning, but the
15 afternoon, we're going to jump to transportation next.

16 MS. RAITT: So, our next speaker is Aniss
17 Bahreinian.

18 EXECUTIVE DIRECTOR BAEDER: Good morning,
19 Commissioners, stakeholders. I'm here today, I'm Aniss
20 Bahreinian, to discuss inputs and assumptions into
21 transportation energy forecast. We don't have too many
22 numbers to share with you, so we are going to limit the
23 conversations to the conceptual discussion.

24 We are going to first have a brief discussion of
25 the models. Then, we're going to move into inputs.

1 And, finally, the assumptions, the implicit and explicit
2 assumptions in the models.

3 This is a reimagination of the model that we
4 have presented in the past, except that we had way too
5 many things in the previous one. And, so, this is an
6 attempt to kind of declutter the previous version and
7 make it a little bit simpler, with fewer boxes, and
8 circles, so that people could see things better.

9 And, so, we have divided it into two diagrams.
10 The first one is focused on the model and the second one
11 has a greater focus on the inputs and the outputs.

12 With this one, as you can see, we are showing
13 the models, the behavior models in oval green shapes.
14 And, so, all the oval green shapes are showing the
15 behavioral models. We have the personal vehicle choice,
16 which is the light-duty vehicle demand model.
17 Commercial vehicle choice, which is the commercial
18 light-duty vehicle demand model. We have the freight
19 energy demand, which is for heavy-duty trucks, et
20 cetera. We have the aviation travel demand. We have
21 the urban travel demand. And the intercity travel
22 demand. The intercity stands for the long distance
23 travel. And the urban travel stands for the short
24 distance travel.

25 The personal vehicle choice model is the most

1 disaggregate model in the system. It is the more
2 complicated model. And as you know, as some of you
3 know, it estimates consumer demand by about -- for about
4 362 different synthetic households, so it is highly
5 disaggregated. And we are counting for households by
6 different household types. By the size of the
7 household, by the number of workers in the household.
8 So, we don't just throw a generic household there and
9 ask how many vehicles they're going to buy, and what
10 type of vehicles they're going to buy. We divide them
11 into different sizes. How many workers they have? How
12 many vehicles they currently own? And how much income
13 they are making, different income categories.

14 And, therefore, we try to be a bit more precise
15 than most other models on the market.

16 The result of that personal vehicle choice
17 model, which is for the households, is the light-duty
18 vehicle population for the household, which is then
19 being fed into the personal travel demand models, which
20 is the urban and intercity travel demand models.

21 The vehicle population out of that model is
22 being used in conjunction with the VMT that comes out of
23 these two travel demand models, along with the fuel
24 economy that comes out of the personal vehicle choice
25 model. All three of these are going to result into the

1 fuel consumption that you would see in the end. So,
2 fuel consumption is the output that we are all looking
3 for. the end result of all of our activities is the
4 fuel demand. That's what we are here to forecast.

5 But in the process, we have to also generate a
6 forecast of vehicle population. So, we have to have
7 both forecasts.

8 On the other side, we also have the commercial
9 light-duty vehicle demand model, which is generating
10 both the VMT for the commercial light-duty vehicles, as
11 well as the vehicle population, and the MPG. And the
12 result of that is going to be the fuel consumption for
13 this segment of the market.

14 We are the only agency that separates these two
15 market segments, as we have discussed in the past, and
16 for a good reason. Even though commercial light-duty
17 vehicles are about 13 percent of total commercial light-
18 duty we do see, both in the survey and in the model,
19 that they do have different behavior. And even as
20 recently as the current survey, the 2016 survey, even
21 the results of our PEV survey that we have conducted, it
22 is early, the results are showing that even the charging
23 behavior is different for the commercial PEV owners,
24 versus residential PEV owners. So, you do see
25 differences. And there are good reasons to segment

1 these two markets and look at the differences in their
2 behavior.

3 We also have two other models that are for
4 light-duty vehicle models, and they are called
5 Government Model and Rental Vehicles. They are for
6 government and rental models. These two models also
7 exhibit different behaviors. They are not behavioral
8 models, but they have distinctly different behavior
9 regarding the VMT.

10 For instance, rental vehicles have very high
11 VMTs and they have very fast turnover. They're
12 distinctly different from commercial models.

13 Government vehicles, they have turnover that is
14 longer than the rental vehicles, and they have different
15 VMT for different classes of vehicle. We do see
16 distinct differences between the segments and there are
17 good reasons to differentiate between them.

18 In addition to that, we have our freight energy
19 demand that, unlike some of the other models that only
20 focus on goods movement, we're also including surveys or
21 economic activities. And the reason for -- these are
22 things like concrete mixers, for instance. Our freight
23 demand model also generates demand for refuse trucks,
24 for concrete mixers, et cetera, et cetera, not just for
25 movement of goods.

1 The aviation model, even though it is capable of
2 forecasting demand for business versus personal travel,
3 but because we don't have the data to support that, we
4 have to make assumptions that the behavior is the same.
5 But it is a model that can differentiate between those
6 segments.

7 Off-road model, composed of off-road diesel and
8 off-road transportation electrification. Those models,
9 the ones that you see in the square, they are not
10 behavioral models, they are spreadsheet models. So,
11 they don't really respond to prices or income.

12 In this diagram, what we show is it has more of
13 a focus on the inputs. The green oval shape here is all
14 of the models, so it is all of the models that you saw
15 in the other diagrams. But here, we have the focus on
16 the inputs, and the inputs are composed of -- these are
17 the key inputs. We have over 150 inputs. Obviously, we
18 can't include every single one of them here, so we have
19 put them into broad categories of inputs here.

20 And these are vehicle fleet, that mostly come
21 from the DMV. They are crude oil price forecast, which
22 is coming from the EIA. And, then, later we are using
23 Gordon Schremp, now, for this forecast, the IEPR
24 forecast is using it to translate into fuel prices,
25 which is diesel and gasoline prices.

1 Lynn Marshall, as she discussed right now, she
2 is generating electricity forecast. And our colleagues
3 at the Natural Gas Unit, are generating forecasts for
4 CNG, and LNG, and other forecasts.

5 Economic and demographic, and other inputs, we
6 are using the same data that the rest of the Demand
7 Analysis Office is using, and the rest of the Division
8 is using. So, everything that Chris Kavalec talked
9 about right now, we are using all of those data. With
10 one exception, for the personal vehicle choice model, we
11 also use what is called American Community Survey.
12 Because we need that fine breakdown for the household
13 types, we have to use American Community Survey to break
14 down all of the households into the fine household types
15 that we need for our vehicle demand forecast.

16 Vehicle attributes is another very, very
17 important part of our inputs. This time around, we are
18 working with Fuels and Transportation Division, and
19 NREL, in order to generate the light-duty vehicle
20 attribute forecast for our inputs.

21 And vehicle attributes, for those who don't know
22 the term, it refers to vehicle prices, fuel economy,
23 range, and other attributes of any vehicle. These are
24 some of the very important inputs into our forecast.

25 Fuel economy, obviously, is going to determine how much

1 fuel a vehicle consumes, in addition to the VMT that a
2 vehicle puts on every year.

3 On top of everything else, we have the 2016
4 California Vehicle Survey. And this is a crucial piece
5 of our work here because it provides us with the updated
6 data on consumer preferences for different vehicle
7 types. This survey is still going on and, hopefully,
8 it's going to be completed in about a month and a half.
9 And, therefore, we are going to have the most recent,
10 the most up to date data possible.

11 And this time around, as some of you may know,
12 some of you have heard, we also included a PEV Owner
13 Survey in the 2016 California Vehicle Survey. And the
14 results are being analyzed as we speak here, and we are
15 going to soon see the results.

16 But it provides us with all of the crucial
17 elements of the consumer preferences, which is going to
18 feed the model. We use the data to estimate consumer
19 preferences for different types of vehicles, for
20 different attributes of the vehicles, such as fuel
21 economy, range, et cetera, and for different incentives
22 that government offers for different types of vehicles,
23 such as PEVs, such as FCVs, et cetera.

24 And the result of these inputs being fed into
25 the model are the two major outputs that we have. And

1 that is the vehicle -- the vehicle stock forecast, the
2 vehicle population forecast, and the transportation
3 energy demand. I should add here that we are
4 forecasting transportation energy demand for all fuel
5 types. This is another difference. We generate
6 forecasts for gasoline, diesel, for hydrogen, for
7 electricity, for E85, for propane, and I think I called
8 them all. For all fuel types, if I missed anything.

9 So, what are the sources of our input data? Our
10 forecast uses, has a run of only 150 inputs, and we are
11 using multiple sources of input, both internal and
12 external data sources. Some of the input data, such as
13 vehicle attributes, we are using directly into the
14 model. So, let's say we are working with NREL, we just
15 get the data directly from them and we input it into our
16 model.

17 Other input data, such as DMV, requires a lot of
18 analysis, a lot of processes, and we have a staff that
19 are dedicated to just this task. It takes a lot of work
20 to use, to analyze that data. And, actually, there are
21 other agencies that are using the result of our
22 analysis. We constantly get requests from other
23 agencies for analysis of DMV data, from other agencies
24 and other divisions.

25 And some of our data is our -- so, we are the

1 primary source. So, our data, such as the California
2 Vehicle Survey, we are the primary source of data. And
3 our data is currently, for instance, the 2013 survey is
4 posted on NREL website, and for academics and for
5 universities, for researchers to use. It is available
6 on NREL website. And, along with California Household
7 Travel Survey, the two surveys can be used to build
8 integrated models, and everybody can access it. Of
9 course, we don't put any of the identifying information
10 on that website. But without that identifying
11 information, all of the data is there for all the
12 researchers and academics to use.

13 So, for our forecast, we always have to select a
14 base year. And the selection of the base year is based
15 on the limitations of the data, for the most part. Our
16 DMV data, the latest year that we have, this year, is
17 the 2015 year. And, so, 2015 is going to be our base
18 year.

19 Selection of the base year is quite important
20 because we use the base year data to do a couple of
21 things. We use the base year data to calibrate the
22 model and to pivot the model. So, it is quite important
23 to get those numbers right. We use the actual data for
24 that. So, as much actual data as we can get, we use for
25 the base year, which is 2015, for the 2017 IEPR.

1 We have the total fuel consumption by fuel type.
2 So, that means for every fuel type that you can imagine,
3 gasoline, diesel, hydrogen, electricity, et cetera, we
4 have to have a measure or an estimate of the total fuel
5 consumption for this year, for 2015.

6 Our colleague, Gordon Schremp, for instance,
7 gets a lot of the data from Board of Equalization. They
8 make adjustments to it and they provide the data, for
9 instance on gasoline and diesel consumption, after those
10 adjustments. But what they provide for us is the total
11 diesel gasoline consumption for the entire State.

12 It is our job, then, to break it down to
13 different sectors. So, that breakdown, by itself, is
14 going to be challenging to break it down by -- remember
15 all those models that we had? We need to break it down
16 by all of those different models.

17 We also have the total VMT and we are currently,
18 we have been, and we have been working with CalTrans and
19 ARB for a very long time. We have been trying to
20 coordinate, and collaborate, and get our numbers as
21 close to each other as we can get.

22 Our colleague, Gary Yowell, has been working on
23 translating the fuel consumption that we are getting
24 from VOE, and Gordon Schremp provides the adjusted fuel
25 consumption numbers for him. We try to -- he will use

1 that to translate that fuel consumption, using the fuel
2 economy from the EPA, and then come up with that
3 estimate of VMT.

4 Currently, our numbers are pretty close to what
5 we have at ARB, with the inside. But we are in
6 conversation with ARB, and with CalTrans, and we want to
7 get those numbers closer together. And there is a
8 meeting that is planned pretty soon, for a conversation
9 with them to see what the sources of differences are,
10 and if we can bring them together. Just as we have held
11 long conversations with ARB on bringing our DMV data
12 closer together. Even though both agencies are getting
13 the same numbers from the DMV, depending on how you're
14 counting the vehicle, we have differences in the total
15 population of vehicles in the State of California.

16 And, again, we have been talking with each other
17 to reduce the differences in the two agencies' estimate
18 of the total vehicle population, and we have done so.
19 We have reduced the differences. We haven't eliminated
20 it, but we have reduced it and we are in more
21 conversation to get closer and closer to each other.

22 So, Gary Yowell takes the fuel consumption, uses
23 the EPA's fuel economy number, along with the total
24 number of vehicles in the State of California, and then
25 comes up with an estimate of VMT. And the method is

1 close to what ARB is also using, and we are again going
2 to have further meeting to come up with a number that
3 gets even closer to each other.

4 So, getting that aggregate total annual VMT for
5 the State of California is quite important for us.
6 Again, it is going to be our challenge to then divide it
7 between the short distance travel, long distance travel,
8 for freight, that's our job to make that division. We
9 have to make that distribution.

10 Then, we have to have a lot of data on travel
11 activity and people's movement. We rely, we have been
12 working with CalTrans on their Household Travel Survey.
13 We are pretty familiar with that survey. And we have
14 been using that survey, in addition to the National
15 Transit database, to get a lot of data on people's
16 movement, and number of trips, et cetera. So we, again,
17 get data from multiple different sources, and try to
18 resolve the differences, and come up with a good
19 estimate of travel activity.

20 The same thing is true for goods movement. We
21 use, again, multiple sources. And we, again, look to
22 ARB for our -- to resolve some of these differences.
23 For vehicle stock, again, I already talked about it, we
24 work with ARB, and we also use National Transit database
25 in order to compare the number of transit vehicles that

1 they record. Compare that to our DMV number. So, we do
2 a lot of different comparisons and analysis to come up
3 with our best estimate of what these should be.

4 And on the aircrafts, we look at the data from
5 Bureau of Transportation Statistics.

6 So, that is our base year. And we try to get as
7 accurate, as precise as we can get, because it is
8 important for our forecast. That is the jumping board
9 for us. Then comes the forecast years, that is 2016 to
10 2030.

11 Then, we have our transportation energy prices.
12 Gordon Schremp is going to follow my presentation. He
13 is going to discuss how he will be forecasting gasoline
14 and diesel. Lynn Marshall talked about electricity
15 prices. And in the afternoon session, they will be
16 talking about natural gas prices.

17 Income and employment, again, and Chris Kavalec
18 talked about, actually, all of these three, income and
19 employment, economic activity, right, business sector,
20 and price deflator. All of these come from the same
21 sources that Chris Kavalec discussed right now.

22 Class-specific attributes for LDV and HDV, these
23 we are working with NREL, again, Fuels and
24 Transportation Unit. And we want to emphasize here,
25 also, that these are class averages. That's important.

1 These are not vehicle attributes by make and model. It
2 is not the price of Tesla, or the price of Leaf, or the
3 price of Volt. It is the price of the classes that each
4 of these vehicles are representing. These are class
5 average prices. Because the model is entirely based on
6 classes. So, the make and model doesn't matter. What
7 matters to us is each class of vehicle.

8 Population in the household is by household
9 types. And, then, when it comes to population we are
10 using, again, the same data sources that the rest of the
11 Demand Analysis Office uses. When it comes to household
12 types, we are using American Community Survey. We have
13 already computed the analysis of the 2015 American
14 Community Survey and we know exactly how many households
15 we have in each of those categories. We know how many
16 households we have that are 1-person households, 2-
17 person households, 3-person households. How many of
18 them are only one vehicle, two vehicles, three vehicles,
19 et cetera, et cetera. So, all of that already has been
20 entered.

21 But when we are growing them into the future, so
22 we know all of the base year data, but when we grow them
23 into the future, we grow them in a way that is
24 consistent with the population growth in the State of
25 California, as used by Chris Kavalec and Moody.

1 With all of these, they are going to form our
2 demand cases. For, also, demand case, we have selected
3 2030 forecast horizon. It's a little bit, two years, I
4 guess, above everybody else. One of the reasons is
5 because it covers a number of milestones, policy
6 milestones. The ZEV Mandate 2025, SB 350 2030. We have
7 the different fuel economy, fuel efficiency standards in
8 2027, 2018, et cetera. So, 2030 forecast horizon covers
9 a number of milestones, policy milestones.

10 We have three common demand cases. These are
11 defined the same as the rest of the Energy Assessment
12 Division, using the same economic and demographic inputs
13 as the rest of the Demand Analysis Office uses. And,
14 then, we use the same energy, transportation energy
15 prices. And when it comes to electricity and natural
16 gas, we use the same prices that the rest of the
17 division uses. When it comes to gasoline/diesel, of
18 course, we are using the prices that we are projecting.

19 So, these are the proposed common demand cases.
20 We have the high energy demand case. This is composed
21 of, or course, the high income and high population,
22 which is a component of the high energy demand. But in
23 order for demand to be high, we have to have the low
24 prices. So, we have low electricity, natural gas, and
25 hydrogen prices. We have, also, low petroleum-based

1 fuel prices.

2 When it comes to mid-energy demand, we have
3 everything that is the mid-case. And when it comes to
4 the low energy demand case, we have the opposite of the
5 high. We have the low income and the high energy
6 prices. So, all energy prices are high, and income and
7 population are low.

8 This is a departure from what we did in 2015 and
9 2013. As you may recall in 2013 and 2015 IEPRs we had -
10 - in 2013 we had five demand cases. And in 2015, we had
11 six demand cases. And three of those in 2015 were
12 transportation-specific demand cases, where we kind of
13 searched the place of alternative fuels and petroleum-
14 based fuel prices.

15 This time around I think there was an interest
16 in reducing the number of cases. And in order to make
17 it consistent with everything else in the rest of the
18 division, then we settled with the common cases. And we
19 deleted the transportation-specific cases.

20 The key assumptions, when it comes to
21 regulations, is that all current Federal, State
22 regulations are in place. For original equipment
23 manufacturers, including zero emission vehicles mandate,
24 CAFE, et cetera.

25 All Federal and State regulations in place for

1 transportation fuel suppliers. All infrastructure will
2 be in place to meet consumer demand. And, then, all
3 State and Federal ZEV incentives will remain at their
4 current level.

5 Notice, please, that the first three bullets
6 relate to suppliers.

7 I'm going to take you back to the first diagram
8 that I showed here, and I want you to pay attention to
9 the first -- the title of this slide. It says, "Diagram
10 of Transportation Energy Demand Models." That's
11 important. Because what we have here, our forecast, is
12 purely a demand forecast. We don't have any behavioral
13 supply model. This is not an equilibrium model. We do
14 not have any supply model. And that's important when we
15 are considering regulations.

16 So, going back to this slide -- sorry, I think I
17 went too far. Going back to this slide, notice the
18 first three bullets are all supply related. So, you
19 would ask, well, what are you doing with this? In the
20 past, what we have done, we have asked our attribute
21 contractors to observe these regulations because there's
22 no way our demand cases can observe them. We are
23 forecasting demand. We can't observe them.

24 So, we have asked our attribute contractors to
25 make sure that they are projecting attributes that are

1 consistent with the ZEV Mandate. How did they do that?
2 Typically, their mode of comply is -- typically, the way
3 they did that, they lowered the prices, they lowered the
4 ZEV prices in order to comply with the ZEV Mandate.
5 They did either, they did one or both of them, they
6 lowered the price of the ZEV vehicles in order to ensure
7 that ZEV Mandate is met, and/or -- it's not or -- and
8 they also increased the number of makes and models. So,
9 they offered more makes and models in the market in
10 order to provide incentive for the consumers to buy
11 them.

12 So, those were the mechanisms through which they
13 have been trying to comply with the ZEV Mandate. That's
14 how they did it.

15 We didn't do anything in that regard. What we
16 did do was the last bullet that you see here, all State
17 and Federal ZEV incentives remain at their current
18 levels. So, what we did was to follow the ZEV
19 incentives. We kept all of the ZEV incentives in place.
20 So, if there was a rebate of \$2,500 for a PEV, we kept
21 it in place for the entire forecast. If there was a
22 Federal tax credit of \$7,500, we kept that in place.
23 Because those are demand-related incentives. We cannot
24 account for the supply-related regulations. But we can
25 accommodate demand-related incentives.

1 So, that is how. For those of you who are
2 asking or wondering how did we do this? That's how it
3 was done. When it comes to LCFS, Cap and Trade carbon
4 prices, as you have seen in some of the presentations,
5 fuel prices are adjusting for those.

6 When it comes to light-duty vehicles, our key
7 assumption here, this time, is that we are going to keep
8 consumer preferences unchanged over the forecast period.
9 So, obviously, we are getting the latest set of consumer
10 preferences, with the new survey, and these are end
11 results. But we are showing that consumers have
12 increased their preferences for EVs. We are going to
13 keep them the same over the forecast period.

14 Now, that doesn't mean that this is actually
15 what is going to happen. We think that consumer
16 preferences for ZEV are going to increase. The question
17 is what is the best way of projecting that increase?
18 And we haven't come up with a good way of projecting it.
19 Otherwise, we know people are going to become more
20 accepting of the ZEV vehicles, and consumer preferences
21 will increase, as our survey is showing that it has
22 increases. Or, at least, I shouldn't say that, I should
23 say preliminary results. By the time we have
24 preliminary workshop, we can show you exactly how much it
25 has increased.

1 We are also making the assumption that vehicle
2 manufacturers and suppliers will meet consumer demand.
3 So, this is a byproduct, and that's important, this is a
4 byproduct of not having a supply curve. If we do not
5 have a supply model, the implicit assumption is that,
6 well, whatever you want producers are going to produce,
7 and supply that in the market. So, we don't worry that
8 if you want a million vehicles, a million ZEV, a million
9 of this vehicle, or a million of that vehicle, we don't
10 worry that the producers are not going to produce it.
11 We are making the assumption that producers are
12 producing them.

13 So, this is an implicit assumption that comes
14 from the fact that we do not have a vehicle supply
15 model. But the vehicle manufacturers and suppliers will
16 meet the consumer demand. Manufacturers will offer
17 vehicles with fuel economy, as described in the
18 projected attributes.

19 So, remember that there are attribute
20 contractors, in this case NREL, is going to provide us
21 with a set of attribute projections, including vehicle
22 prices. So, our assumption is that vehicle
23 manufacturers are going to supply the market with
24 vehicles at those prices.

25 When it comes to medium- and heavy-duty trucks,

1 we are saying that firms will choose trucks with a
2 payback period of two to four years. Most of the models
3 are looking at payback periods of two to four years.

4 We are also saying that intermodal freight,
5 compared to total freight, is going to have a fixed
6 proportion and it will remain constant. Intermodal
7 freight is something like, for instance, in a truck is
8 moving a container from, say, port to the terminal. And
9 we are saying, we are making the assumption, because we
10 don't have an intermodal freight in the freight model,
11 we are making the assumption that this is going to
12 remain in a fixed proportion to total freight.

13 Vehicle manufacturers will offer trucks with
14 fuel economy described in EPA NHTSA, Phase 2 Fuel
15 Economy, and MPG. So, again, because our attribute
16 contractor is going to implement that Phase 2, then we
17 are making the assumption that vehicle manufacturers
18 will offer vehicles with those MPGs, and with those fuel
19 economies.

20 When it comes to price, our key assumptions are
21 that fuel and vehicle price scenarios cover the range of
22 plausible outcomes. So, we have a range of it. We have
23 the high, low, and mid, and we are saying that the high
24 and the low are covering the range of plausible
25 outcomes. Which is true, really, for all of our

1 forecasts, for everything that we do in our division.

2 Inflation rate, we typically only have one
3 inflation rate for all three scenarios. And, so, we're
4 assuming that inflation rate is the same for all
5 scenarios, regardless of the economic growth fact.

6 When it comes to fuels, again we are making the
7 assumption that fuel suppliers will meet consumer demand
8 in all scenarios through domestic production and/or
9 input. Again, it goes back to that same diagram. If we
10 do not have a fuel supply model, which we don't,
11 implicit assumption is that regardless of how much fuel
12 we want, it will be supplied in the market, whether we
13 are importing it from other places, or whether we are
14 producing it domestically.

15 In this one, what I'm saying is that fuel choice
16 is endogenous between vehicle technologies, but
17 exogenous with, we think, the same vehicle technology,
18 and that can be a little bit tricky.

19 So, what does this mean? It means, for
20 instance, that when it comes to vehicle prices, when it
21 comes to electricity prices, say, I'm giving you one
22 example. Electricity prices and gasoline prices, they
23 are going to influence your choice between a PHEV and a
24 gasoline vehicle. So, these are choice of two vehicle
25 technologies.

1 So, if the electricity prices are higher, then
2 versus gasoline prices, then you could pick one
3 technology versus the other. That determines your
4 choice.

5 However, because we do not have a fuel choice
6 model within the same technology, when you're saying
7 that it doesn't influence, that difference, the price of
8 fuel differential between electricity and gasoline does
9 not influence your choice, when you are going to the
10 pump are you going to fill that up with gasoline or are
11 you going to put electricity in the car?

12 So, that's an assumption we make. How do we
13 deal with it? We are exogenously forcing that choice.
14 We are using the EPA's rules, or we are in the
15 conversation with the ARB and we come up with a ratio of
16 what portion of the VMT will be EVMT and what portion
17 will be gasoline. So, it is not endogenous to the
18 model, the result of the fuel price differentials. It
19 is being imposed on the model. That's what this means.

20 Transportation energy demand forecast only
21 accounts for energy used from tank to wheel, to power
22 the movement. So, we are only, really, accounting for
23 motor power. Anything that happens before or after, we
24 don't account for that.

25 Key assumptions when it comes to transportation

1 electrification. Again, we are looking only at on-road
2 motive power. That means we are looking at all those
3 vehicles that have -- that are driving on public roads
4 in California. That is those vehicles that have -- that
5 are registered for on-road operation by DMV. Those are
6 the ones that we are looking at.

7 But I also want to kind of differentiate,
8 because a lot of the off-road discussions also include
9 rail as off-road. We don't do that. We are also
10 including rail and high speed rail in our transportation
11 energy demand. I just want to make that one clear.

12 Stationary and off-road use of electricity in
13 transportation sector and off-road use of electricity in
14 commercial and industrial sector is accounted for by TCU
15 model. So, what is TCU? TCU is transportation,
16 communication and utility. That is one of the models in
17 the Demand Analysis Office that accounts for electricity
18 consumption in that sector. The sector that accounts
19 for transportation, communication and utility. Mostly,
20 ideally, that model should account for stationary use of
21 electricity, say, in transportation.

22 One example would be, for instance, let's say
23 you're talking about Greyhound Bus Station. They have
24 to turn on the lights, right? They have to turn on the
25 light. So, TCU accounts for electricity use for

1 lighting Greyhound Bus Station, while we are accounting
2 for diesel used for the buses in moving from point A to
3 point B. That's what we are doing. So, TCU accounts
4 for electricity use.

5 However, when we were completing our off-road
6 transportation electrification in the last IEPR, most of
7 what was in that contract, off-road transportation
8 electrification, was accounted for in the TCU. We did
9 not account for most of those.

10 Any questions?

11 COMMISSIONER SCOTT: I do have questions, but
12 I'll wait until you're finished.

13 MS. BAHREINIAN: Okay. All right. So, we had,
14 as most of you may remember, in 2015 we had a contract
15 with Aspen, and Marshall Miller of UC Davis. And he
16 completed a project for us, or one of our forecasts that
17 was called "Off-Road Transportation Electrification."
18 It includes things like forklift, for instance.
19 Forklift is used in industrial and commercial sector.
20 Forklift, really, is moving things, right? I mean,
21 technically, theoretically, it's something that moves,
22 right? And I just said, multi-power, right? So,
23 really, we should be accounting for it, right?

24 But it was accounted for in the TCU. That's
25 what I'm saying, that off-road use of electricity in

1 commercial and industrial sector is accounted for by
2 TCU. This is what we did last time.

3 And we have to improve upon this distinction
4 between the TCU and transportation energy forecast,
5 which is done by our unit.

6 Key assumptions, when it comes to travel, is
7 that changes in sector economic activity change travel
8 demand for goods movement. So, for instance, if there
9 is an increase in agricultural production, there's going
10 to be an increase in demand for goods movement in that
11 sector. That's what it means.

12 Land use changes do not change travel demand.
13 This is an assumption. Why is this an assumption?
14 Because we don't have a model that accounts for it. It
15 doesn't mean that that is correct, it is just because we
16 don't have a model that accounts for the impact of land
17 use changes on travel demand.

18 When it comes to commercial light-duty vehicle,
19 what we do is we use VMT per vehicle. Part of our
20 distinction between commercial and household vehicle
21 choice is that our commercial light-duty vehicles -- the
22 commercial sector has higher VMT. And that is one of
23 the good things that we do, we segment the markets. We
24 have higher VMT. And, but the way we account for it is
25 we have VMT per vehicle.

1 But we are really forecasting that into the
2 future, how this VMT per vehicle is going to change over
3 the forecast period. So, we keep it constant over the
4 forecast period. So, as the number of vehicles grow
5 over the forecast period, total VMT grows. But VMT per
6 vehicle remains the same.

7 Again, key assumptions for economic, income
8 distribution does not change with changes in income.
9 Notice that in all of our economic forecasts, we are
10 growing income, but we haven't said anything about
11 income distribution. And I, for one, have not seen any
12 forecasts of how the income distribution is going to
13 change in the future. I haven't seen any, actually.

14 Income scenarios cover the range of plausible
15 outcomes over the forecast period. That's, again, an
16 assumption that is true for all of the forecasts in our
17 division.

18 Growth rates over the range of plausible
19 outcomes cover the range of plausible outcomes over the
20 forecast period. So, growth rate refers to things like
21 agricultural sector, how it is growing in different
22 scenarios. We are covering the range of plausible
23 outcomes industrial sector, commercial sector, financial
24 sector, et cetera, et cetera.

25 Key assumptions explicit. Air passengers behave

1 the same whether they travel for business or personal
2 reasons. Air travel remains the same whether they
3 travel for business or personal reasons. Again, I said
4 that the model is capable of distinguishing between
5 these, but we don't have the data that can distinguish
6 between business travel and personal travel. And for
7 that reason, because we are using the same coefficients,
8 then we are not distinguishing. Because we don't have
9 the data to support it, we have to use just one set of
10 coefficients.

11 We also are saying that there is a single growth
12 path for aviation fuel economy. We get that from EIA,
13 and there's only one path. And, so, we have to make the
14 assumption that there's only growth path.

15 And, finally, we are saying that light-duty
16 vehicles do not migrate between commercial and personal
17 market segments. So, we said that we have the household
18 market segment, residential market segment, and we have
19 the commercial market segment, and we also said we have
20 government and rental. We have all these market
21 segmentations. But these are separate models, lining
22 alongside each other. These models do not talk to each
23 other. There's no bridge between them.

24 We all know, all of us know that cars move from
25 one segment to another segment. I, myself, I bought a

1 car from a fleet. It was a one-year-old car, and it had
2 89,000 miles on it. So that car, the car I bought,
3 moved from the commercial sector to me, in the
4 residential sector.

5 But our models, currently, do not allow for
6 that. It is our plan, sometime in the future, to create
7 a bridge model to move the cars from one segment to
8 another segment but, currently, we don't have that. And
9 that's why we say the assumption, if we don't have that
10 model, then we are implicitly making the assumptions
11 that LDVs do not migrate between commercial and personal
12 market segments, while we know that it actually happens.

13 Even in 2009, when we were looking at the DMV
14 data, when the prices were high, we did notice in the
15 DMV data that some of the cars, some of the hybrid cars
16 actually moved from the residential sector, where the
17 flow was actually reverse. Commercial sector was
18 actually buying some hybrid vehicles from the
19 residential sector because fuel economy was better and
20 prices were higher in that time. So, moves actually had
21 reverse -- some of the cars had reverse flow. We saw
22 that. It is happening. It's just that the models
23 currently do not allow for that migration. That's all.

24 Questions, comments?

25 COMMISSIONER SCOTT: I do have some questions

1 and comments for you. Kind of back near the beginning,
2 I will note that I'm really happy that you are working
3 with the Fuels and Transportation Department, and also
4 with NREL on the vehicle attributes. That's really
5 important. The vehicle attributes that we had are quite
6 out of date. They don't reflect the different types of
7 models that we have available in the plug-in vehicle,
8 plug-in hybrid electric, and hydrogen, and the ranges,
9 the chargers, the infrastructure, all of that. So,
10 having that updated will really help provide some
11 robustness to that component.

12 I also want to note that I was glad to hear you
13 mention, when you were talking about the key inputs and
14 sources, that we are collaborating closely with the Air
15 Resources Board and with CalTrans. I think it's
16 important for the State to kind of speak with one voice
17 and not have a bunch of different numbers out there,
18 where we spend half of our time explaining why our
19 numbers are different. And, then, sort of the message
20 we're trying to send with those numbers is lost because
21 you've spent so much time trying to explain why one
22 number is different than the other. So, I appreciate
23 you all working together with CalTrans, with the Air
24 Resources Board to make sure that we have a robust set
25 of numbers.

1 And I had some questions for you. On your slide
2 10, we talked about key assumptions of regulations. And
3 you mentioned that that's supply side, and so that it's
4 not really included in our demand, transportation energy
5 demand. And I'm not quite sure I understand that. I'm
6 not sure how we put together a demand forecast that
7 doesn't account for any of the regulations in the space
8 that we are looking at demand.

9 MS. BAHREINIAN: Okay. So, this is the slide
10 10, right?

11 COMMISSIONER SCOTT: Yes, and you mentioned that
12 the first three bullets were related to supply.

13 MS. BAHREINIAN: Yes.

14 COMMISSIONER SCOTT: And, therefore, cannot be
15 accounted for in the demand model that we have. So,
16 what is the demand model reflecting, if it's not
17 reflecting the regulations that go with the sector that
18 we're looking at?

19 MS. BAHREINIAN: And because notice that the ZEV
20 Regulation, for instance, is a regulation that is
21 designed for manufacturers. It is there to motivate the
22 manufacturers to offer these vehicles in the market.
23 They are required to offer them in the market and sell
24 them.

25 Our consumers are motivated by the price of

1 these vehicles. And, so, the only thing that can
2 motivate our consumers to purchase them is the price.
3 And as I said, the ZEV doesn't directly apply to the
4 consumers, the ZEV Regulation doesn't directly apply to
5 the consumers. Rather, what they need to do. What we
6 do is work with NREL, prior to that with Sierra
7 Research, or prior to that with KGD (phonetic). What
8 our direction to our attribute contractors was, one of
9 our directions was that you need to project these
10 attributes in a way to ensure that ZEV Mandate is met.

11 So, it was their job to make sure that the ZEV
12 Mandate is met. How do they do that? They do that by
13 lowering the prices. So, they project, for instance, EV
14 prices. And whether that is, for instance, comparable
15 to gasoline vehicle prices.

16 And we take their prices, input it into the
17 model, and then see how the consumers respond, that they
18 are buying the same number of -- the vehicles that would
19 be required by the ZEV Mandate.

20 COMMISSIONER SCOTT: So, to follow up on that,
21 most of the regulations that we account for in the
22 Energy Demand Forecast are not regulations directed at
23 consumers. So, when we're talking about anything on the
24 appliance efficiency side, on the building efficiency
25 side, on solar, on any of those other things that we're

1 accounting for, those are not regulations aimed at
2 consumers. But they're still able to be counted in the
3 demand forecast in those sectors. So, I'm not really
4 understanding why we can't do that here. I mean, I
5 heard what you said. But, you know, if we say we're
6 have a million solar homes program, we assume that
7 there's a million solar homes out there. Not that we
8 have to talk somebody into buying a solar home, is my
9 understanding.

10 And I might be getting that wrong, but I can't -
11 - I'm not understanding how we can have a transportation
12 energy demand forecast that doesn't include the
13 regulations that go along with transportation energy
14 demand.

15 MS. BAHREINIAN: Because our demand, in our
16 models, in our demand, consumers have to respond to the
17 prices. They don't know anything about the ZEV Mandate.
18 And, for instance, when we had -- even when we had our
19 focus groups for the survey, we asked all of these
20 questions. And a lot of our respondents don't even know
21 about the regulations.

22 Some of them, I should tell you, when we gave
23 them some of the handouts about the different types of
24 vehicles, they did not even know that these vehicles
25 existed.

1 COMMISSIONER SCOTT: But you don't have to know
2 that the vehicles are there for the regulation to be
3 either driving down the fuel economy standard, to be
4 providing additional models that people can buy. You
5 don't need to know that an energy efficiency regulation
6 is there, when you go and pick a computer, or when
7 you're designing a building, but those things are still
8 incorporated in. So, I'm trying to understand. And,
9 you know, maybe we can take the discussion offline.

10 But I really don't understand how we can have a
11 robust and useful transportation energy demand forecast
12 that doesn't account for the things that are driving
13 some of that.

14 The reason you put a CAFE standard in place is
15 not to talk a consumer, necessarily, into buying a car
16 that gets better miles per gallon, because overall we're
17 trying to reduce petroleum consumption, right? So, to
18 not count that in where we're going with petroleum
19 consumption I'm not -- that's the disconnect I'm having
20 here.

21 MS. BAHREINIAN: Well, the consumer, when they
22 are going to the dealership and they want to make a
23 purchase, they look at the vehicle price, they look at
24 the fuel economy, and then they also look at the
25 gasoline prices.

1 One, for instance -- first of all, you know, the
2 manufacturers have to offer vehicles with good fuel
3 economy because CAFE standard requires them, right?
4 They have to offer those vehicles.

5 But it is the consumer's choice to buy that
6 vehicle or not. It is their choice to purchase that or
7 not. And if you look at, for instance, when the prices
8 of gasoline fell in 2014 and after, you could see a
9 distinct increase in the number of larger vehicles. You
10 could see that in the vehicles that are sold on the
11 market.

12 Why? Because when they see that gasoline prices
13 are lower, they have the tendency to move towards the
14 larger vehicle. This is how the consumers are making
15 their choices.

16 CHAIR WEISENMILLER: Yeah, but aren't the auto
17 manufacturers adjusting the sales price to basically
18 comply with government regulations?

19 MS. BAHREINIAN: Yes, they do that.

20 CHAIR WEISENMILLER: Okay. So, I mean, so we
21 don't -- so, I guess what I'm saying, we don't
22 necessarily have to get into the question of, you know,
23 should GM provide a \$9,000 -- you know, lower the cost
24 of the Volt by \$9,000 to encourage sales. It's going to
25 happen because of the regulations.

1 MS. BAHREINIAN: Yes. But that is why the
2 attribute contractor is going to account for the fact
3 that GM is lowering their price.

4 CHAIR WEISENMILLER: But I mean, again, GM has
5 to comply, so they will adjust the prices of their
6 models to comply with the regulations using the CAFE, or
7 the California regulations.

8 MS. BAHREINIAN: Yes. But it is GM that is
9 doing that.

10 CHAIR WEISENMILLER: Yeah.

11 MS. BAHREINIAN: And it is those lower prices
12 that are going to -- so, from our demand side, consumer
13 is responding to that lower price. They're not
14 responding to ZEV. They don't even know what ZEV
15 Mandate is. They are responding to the lower price of
16 the vehicle and the performance of the vehicle.

17 Just consider, for instance, the Tesla.
18 Consumers are falling head over heels for that.

19 CHAIR WEISENMILLER: Right.

20 MS. BAHREINIAN: Just consider, you know, the
21 fact that 400,000 people just went and bought the Model
22 3. They put their money. They like the vehicle
23 performance, they like the price, and they go for it.
24 They don't even think about whether this is a regulated
25 -- this is part of the regulation or not. They look at

1 the price, they look at the performance, and then they
2 spend their money.

3 COMMISSIONER MCALLISTER: Well, I guess let's
4 just elaborate on that Tesla example. I mean, so we
5 have a goal. I think there are two ways to look at it.
6 One is we're going to achieve the goal and the market is
7 going to figure out how to do that. So, GM is going to
8 figure out how to sell those cars. Part of it is price,
9 but part of it is many other hedonic, you know,
10 characteristics, right.

11 So, I mean, how are you distinguishing, say,
12 between a Tesla, that is an expensive car with, you
13 know, a high price and, you know, fuel economy that's
14 not that different from other electric vehicles, and
15 another electric vehicle that's cheaper? I mean, are
16 you segmenting customers and saying, oh, there's a
17 certain customer segment that wants this more expensive
18 car? I mean, low price -- it is about a huge variety of
19 attributes. And it seems like a little bit of, at
20 least in the near term, just sort of out of thin air to
21 sort of say we understand, you know, the breadth of
22 consumer influence is a little bit beside the point.
23 When we're really just trying to -- we're trying to map
24 a path that gets us to our goal. Which we have a solid
25 regulatory environment that I think will ensure that the

1 market takes that seriously and achieves it.

2 So, it seems like it's a little bit cart-before-
3 the-horse here, in terms of, you know, you're trying to
4 sort of going to make the case that consumers really are
5 going to do this, when we actually know that it's going
6 to happen.

7 MR. BAHREINIAN: In the case of the Tesla, it
8 all follows on the attribute contractor and how they are
9 projecting the prices.

10 If you recall, in 2015, one of the things that
11 we did, which was new, actually, was we used the DMV
12 data and we came up with what we called the sales-
13 weighted transaction price.

14 So, we don't look at the individual vehicle
15 prices because, remember, our models are class average.
16 They are not make and model based. They are based on
17 class average. So, we looked at the class of Tesla,
18 whether the class, let's say, is large car of EVs, with
19 that range, with those characteristics, and then we
20 looked at all of those cars in that class that are
21 offered, how many people purchased them. And we looked
22 at the prices of those cars and we took an average, a
23 sales-weighted average price.

24 Now, whether the attribute contractor is also
25 going to use that sales-weighted average price or not,

1 that's something that we can discuss with them. But we
2 are using that because you have the luxury class, and
3 then you have the regular vehicles. We don't
4 distinguish between luxury and non-luxury. We have an
5 average price for the class of vehicle, with different
6 attributes.

7 So, whatever is decided, it is reflected in
8 those prices. And the price projections that our
9 attribute contractor, based on their knowledge of what
10 is going to come to the market in the future, they are
11 going to give us those price projections. Then, we use
12 those price projections, we provide that to our
13 consumers and we tell them, okay, these are the prices.
14 This is the range of the vehicles. We have the fuel
15 economies. This is the price of gasoline. This is the
16 price of electricity. This is how much it is going to
17 cost you per mile to drive this. Because we all know
18 that EVs are more efficient than gasoline vehicles, and
19 the cost per mile is a lot lower than gasoline vehicles.

20 We give our consumers all of that information
21 and then we let them make their choices. And that's all
22 that they need to know.

23 Now, ZEV, to the extent that it is going to
24 influence the manufacturers to lower their prices, it is
25 going to be reflected in the attributes that NREL is

1 going to provide us with.

2 COMMISSIONER SCOTT: Well, maybe you can help me
3 with an analogy here. And I don't know a good,
4 necessarily, one to pick. But maybe it's a new
5 appliance standard. And, to me, what I feel like what
6 you're saying is let's say we put in a new appliance
7 standard that all refrigerators across California have
8 to meet. But we aren't going to count that in our
9 demand on electricity because people may or may not
10 decide to buy the refrigerator. And, so, we've got to
11 make a bunch of different assumptions about what the
12 price of that refrigerator has to be in order to figure
13 out how to calculate that into the electricity demand
14 forecast.

15 But, really, the point of that regulation is to
16 drive down the overall amount of electricity that's
17 being demanded at a certain point in time, and so that's
18 how you would roll that kind of a regulation into it.
19 So, to me, it sounds like on that one you -- we wouldn't
20 count those because we can't guarantee that people would
21 buy the refrigerators, and so that would put it into
22 this same kind of supply assumption, and not into the
23 demand forecast.

24 And, so, if you're missing key regulations or
25 key -- yeah, regulations that are designed to drive not

1 one person, but an entire industry a direction, or
2 designed to reduce petroleum consumption, or designed to
3 reduce electricity consumption, but we're not going to
4 count that because it really depends on what the
5 consumer wants to do at the end of the day. That's the
6 part I'm having a hard time making the connection with.

7 MS. BAHREINIAN: Okay, so let me ask another
8 question. Does the standard, the refrigerator standard,
9 does it require the stores in California not to carry
10 anything but that standard?

11 COMMISSIONER SCOTT: It might or it might not,
12 I'm just --

13 MS. BAHREINIAN: Because that would make the
14 difference. If it is --

15 COMMISSIONER SCOTT: So, on the CAFE side, all
16 of the cards have to meet a CAFE standard.

17 MS. BAHREINIAN: Exactly.

18 COMMISSIONER SCOTT: Now, and so, but what I
19 hear you saying is if a person won't buy that car, then
20 we can't count the CAFE standard into the transportation
21 energy demand. I just -- I don't think I'm articulating
22 this very well, but I'm having a hard time making this
23 connection.

24 MR. KAVALEC: Maybe I can add something.

25 COMMISSIONER MCALLISTER: The analogy with the

1 standard, I mean, yeah, it's a -- if you don't meet the
2 standard, you can't even sell -- you know, you can't
3 sell that device. So, it's a little -- I mean, it's a
4 good analogy, but it's not quite exactly complete.

5 But I guess I'm just kind of trying to
6 understand why we, at the Commission, who -- I mean, so,
7 it seems like in these averaging assumptions and sort
8 of, you know, the choosing of certain characteristics, a
9 limited quantity of certain characteristics that cars
10 have, that fully captures consumer behavior. I think
11 it's kind of folly.

12 I mean, people are going to -- the market is
13 incredibly rich. People buy things for a variety of
14 reasons. They buy cars -- you know, the larger piece is
15 important for people, the prestige piece, the color. I
16 mean, people buy cards for all sorts of different
17 reasons. And I think that, you know, the manufacturers
18 and the sellers of cars know that way better than we
19 ever will.

20 So, you know, I feel like it's good to have an
21 appreciation of that in the model, but that's more of
22 the tail, not the dog. Right, the information from the
23 marketplace about what is and what we assume will, or
24 what we need to happen to sort of get to where we need
25 to go, that's kind of what we need to model. And, then,

1 as we go, we can understand, you know, in a deeper way
2 what customers -- why customers are making those
3 decisions. But that's more of an after-the-fact thing,
4 instead of a driving.

5 Like, I think if we've purporting to predict
6 consumer behavior and make that drive our forecast, then
7 that seems like a little cart before the horse to me.

8 MR. KAVALEC: So, years ago, I worked in
9 transportation and this issue came up a lot. Ideally,
10 what you would want to do is go through an iteration
11 process between supply and demand. So, to the best of
12 your ability, you project what vehicle attributes are
13 going to be, then you make the forecast based on how
14 consumers are going to respond to those attributes.

15 The result may be, for example, that CAFE is not
16 met. Then you go to the next iteration. We're not
17 meeting the CAFE. We're going to have to add -- we, the
18 suppliers, are going to have to start adding more fuel-
19 efficient technology, or change the models that we
20 offer, change the prices among the different models.
21 And then you go for the next round.

22 The same with ZEV. You're only getting, you
23 know, 2 percent penetration. Well, you're going to have
24 to add more ZEV models or you're going to have to lower
25 the prices.

1 And we did this to a limited extent in the past,
2 but we always ran out of time. So, basically, the
3 problem we're dealing with here is we have a partial
4 equilibrium and we don't have -- we haven't had the
5 time, at least in the past, to go through and do a full
6 equilibrium model with supply and demand.

7 COMMISSIONER MCALLISTER: Yeah, so I agree with
8 that. I totally agree with you, this iterative process
9 helps us learn, it helps the market adapt. We can come
10 up with policy recommendations. Okay, we're not meeting
11 our goal. We're going to have to do the same thing with
12 the doubling of efficiency and any other -- you know,
13 any other big policies that we have.

14 Yeah, so I agree with that. I guess, I feel
15 like I've heard some version of this for a couple of
16 years running.

17 CHAIR WEISENMILLER: What I would say is that,
18 you know, we're talking about the transportation demand
19 forecast. You know, we're not necessarily looking at
20 the supply side of the equation. And that's true, you
21 know, like when you're doing the residential forecast,
22 we're not trying to figure out whether the four-wheel
23 take industry can build up -- match the demands for what
24 we've built in. You know, it's hard-wired in. It's not
25 an overall system. It's the demand forecast. And, so

1 far, it's been a pretty good assumption the Chinese are
2 going to build every PV plant module we need, if not
3 more.

4 And, similarly, we're assuming something on
5 residential housing. You know, that that's going to
6 occur. And, you know, in some areas of the State it's
7 not occurring in terms of actually getting it built.
8 But, again, it's a demand model that we do to simplify
9 life. That, you know, that if you really tried to do an
10 all-encompassing model, we'd probably never get to a
11 conclusion on an IEPR cycle.

12 So, I guess what I'm saying, on the
13 transportation part some of what -- you know, you've
14 flagged a number of simplifications. I don't mean
15 defensive. Again, you're doing a demand forecast model,
16 yeah. You know, and the more we can simplify things,
17 get it done, and then start flagging some of the second
18 order effects, you know, as we go forward, that would be
19 good.

20 MR. SCHREMP: And Commissioner --

21 CHAIR WEISENMILLER: And keep the boundary.

22 MR. SCHREMP: Oh, I'm sorry.

23 CHAIR WEISENMILLER: Yeah. Keep the boundary,
24 you know, tight.

25 MR. SCHREMP: And, Commissioner Scott, this

1 Gordon Schremp, Energy Commission staff.

2 Asking about -- as Aniss pointed out, there are
3 supply aspects on this slide. And she says this is not
4 a supply model. It doesn't mean that those regulations
5 are ignored or they don't exist. If we were doing, as
6 Chris suggested, a supply assessment, we'd look at
7 availability of certain transportation fuels, say, to
8 meet the Low-Carbon Fuel Standard.

9 And, then, in that kind of analysis one might
10 observe, later on in the regulation, some specific fuels
11 might be not as available, scarcity, links to higher
12 prices, or higher market clearing credit prices, as an
13 example in that kind of supply analysis.

14 But, no, that's not the work that we're doing
15 that feeds into the demand model. Although, we
16 recognize the regulations are in place, we have
17 different fuel specifications. So, how we capture that
18 is on the price side. We look at higher prices in
19 California for specific fuels because we have
20 regulations that differ from most of the United States
21 and maybe most of the neighboring states.

22 So, in a way, we are -- we know what the
23 regulations are on the fuel side, and we try to capture
24 that in more expensive fuels over time, if we think
25 that's appropriate, because of the nature of the

1 regulation.

2 COMMISSIONER SCOTT: Okay. I don't have any
3 other questions right now.

4 CHAIR WEISENMILLER: So, good. Let's take a
5 break until 1:15. Thanks.

6 (Off the record at 12:23 p.m.)

7 (On the record at 1:51 p.m.)

8 CHAIR WEISENMILLER: Okay, let's restart.

9 (Pause.)

10 MS. RAITT: Okay. We're improvising here.
11 Thank you for your patience. Gordon Schremp is going to
12 go ahead and start his presentation, and we'll be
13 changing the slides for him. Thank you, Gordon.

14 MR. SCHREMP: Good afternoon. Remember, good
15 things comes and go too late, so now you're going to
16 find out why you had to wait so long for my
17 presentation.

18 So, the next slide, please? Are we on, or not?

19 Apologies. Can you hear me, now? There we go.

20 So, the next slide, please. So, Aniss, before
21 lunch, was talking about the modeling effort for the
22 Demand Forecasting Unit. And one of those inputs
23 certainly was transportation prices. But before I get
24 to sort of the end part, the purpose of why we're doing
25 that, which Aniss explained a little bit, I want to sort

1 of step back and look at the historical information
2 because that can be instructive as to where we've been,
3 what happens with the prices to provide some context to
4 the whole -- you know, the whole forecasting genre of
5 looking forward in prices, either in a low, mid, or high
6 point.

7 The next slide, please. So, this slide is
8 historical prices going for both gasoline and diesel
9 fuel in California, all the way back to 1995. And I
10 think a couple of important takeaways from this slide
11 is, certainly when we do a forecast, do we forecast a
12 50-percent drop in prices over a period of less than a
13 year? The answer, of course, is no.

14 Do we forecast significant deviations down and
15 back up, oscillations like that for transportation fuel
16 prices? No, we don't do that.

17 Although, we've had those in California and
18 certainly in other parts of the nation, they do occur.
19 So, that's just to let people know that, yeah, there
20 will be a price forecast, but it's not precisely
21 predicting what prices are going to be one year to the
22 next. There is a great deal of uncertainty.

23 This is what was covered in a previous IEPR
24 workshop, when we did a panel, and we were talking -- we
25 had some experts talking about price projections, crude

1 oil prices, and they were talking about a significant
2 amount of uncertainty associated with crude forecasting
3 values because of what goes on in the marketplace, the
4 players, both OPEC, non-OPEC, geopolitical events, and
5 the significant changes in demand.

6 So, just wanted to let you be aware, let that
7 sink in that what happens historically can be
8 significant deviations from what we forecast, even in
9 the very near term.

10 The next slide, please. So, gasoline prices in
11 California are more expensive and there are reasons for
12 this. Certainly, taxes, which will fluctuate over time
13 relative to that of the U.S. average do change. That
14 difference is now down to 7 cents. It's been as high as
15 17 and 19 cents in the past. Although, taxation policy
16 in California, and the formula used to calculate tax on
17 gasoline was changed in 2010. And, as a consequence,
18 there's been a degradation in the amount of tax applied
19 to gasoline and that of diesel fuel.

20 So, we also have a higher production cost for
21 gasoline and that's because we use a unique formulation
22 in California. It's California reformulated gasoline,
23 and an assessment made by the Air Resources Board, it
24 costs between 10 and 15 cents a gallon more than
25 conventional gasoline.

1 There are some newer fees, environmental fees,
2 and these are significant to include because they're
3 meaningful in magnitude. They're not just a penny or
4 two, or fractions of a penny. So, these are fuels under
5 the CAP, and these is part of the AB 32 program for Cap
6 and Trade that apply to transportation fuels, and Low
7 Carbon Fuel Standard, or LCFS.

8 So, both of those have a monetary
9 quantification. The Oil Price Information Service is
10 one entity that endeavors to calculate what they think
11 those transaction prices are, and the value, and the
12 size of the credit. So, currently, in 2017, that's
13 about 14 cents per gallon.

14 So, the last is refinery issues. And we
15 certainly have our share of those in California. 2015
16 was a very significant year for refinery problems. And,
17 as a consequence, we saw much elevated prices in
18 California. So, you put those all together and that's
19 why California prices are more expensive.

20 Now, going forward, as Aniss was talking about,
21 assumptions you'll keep levelized going forward. And I
22 think for us it's wherever the taxes are in place, now,
23 we assume that differential will be maintained. We
24 know, historically, that hasn't happened. But there are
25 changing taxation regulations in other states. There

1 are changing, even, proposals this year, in California,
2 to increase the excise tax for both gas and diesel that
3 have not yet been adopted. I'm not saying that they
4 will be, but that would change that differential we have
5 in our assumption.

6 So, the next slide, please. This just shows a
7 bar graph and what the relative difference in California
8 retail was versus U.S. average. And, then, you see the
9 huge jump in 2015. That was a consequence of refinery,
10 significant refinery problems that lasted, for
11 ExxonMobil almost 17 months. So, that rolled into 2016,
12 which is why the differential was so high in that year
13 relative up through, say, 2009 through 2014. And, now,
14 it's back down to a -- I wouldn't say a more normal
15 level, about 47 cents. Right, I think this morning, it
16 was about 62 cents a gallon. So, there's some other
17 refinery problems going on right now. So, this just
18 shows that we do pay more for our gasoline here. It is
19 more expensive.

20 And this is something that feeds into the model
21 into the amount of, you know, the cost of the fuel for a
22 vehicle that's of a specific fuel type or, if one's
23 looking at different types of technologies, with
24 different types of fuel prices.

25 The next slide, please. Diesel, it's the same

1 thing. There's the same number of factors that we look
2 at for why the fuel is more expensive. Taxation, it's
3 about the same as gasoline differential. The production
4 cost is not as great for California's own reformulated
5 diesel fuel regulation. And we also have fuels under
6 the CAP, and the Low Carbon Fuel Standard, which account
7 for about 17 cents a gallon.

8 And refinery issues, I know for gasoline it's 10
9 cents or more. We see, in the diesel market, the diesel
10 market's a little bit different in California. Meaning
11 we're a bit more excess production capacity for diesel
12 fuel. And, so, refinery problems we've seen over the
13 years haven't impacted diesel prices as significantly as
14 they have gasoline.

15 So, the next slide, please. In a similar
16 fashion, we're showing the various annual average
17 differentials to the U.S. diesel price, and that's on-
18 road, ultralow sulfur diesel, more recently. And you'll
19 note that in 2015 there was a jump up, but that's really
20 not associated with the refinery problems we had in that
21 year. It's more associated with fuels under the CAP
22 coming into the program January of 2015, and that sort
23 of pass through of that fee, if you will, is nearly
24 equivalent to the average differential increase between
25 2014 and 2015.

1 The next slide, please. The next slide. So,
2 looking at -- I want to look at crude oil and some other
3 factors. The biggest push to move retail gasoline,
4 diesel, and jet fuel is crude oil. Crude oil is the
5 driver. That's the way it is in California, that's the
6 way it is in the United States, other parts of the
7 country. This is the feedstock that's used to make
8 these fuels and it's the same feedstock used to make all
9 these fuels in refineries.

10 So, you can just look at this chart and you see,
11 wow, red line goes up, green line goes up. The red line
12 goes down, the green line goes down. But similar, they
13 follow each other very closely. That's because this is
14 the dominant factor determining what the retail price of
15 gasoline will be.

16 The next slide, please. Diesel, different color
17 blue, the same result. It will follow crude oil very
18 closely, mostly. But looking at these lines moving
19 around a little bit, it's hard to discern what -- is
20 this difference the same one year to the next? One
21 period to the next?

22 Let's go take a look at the next slide. And one
23 more, please. Thank you. So, this is the difference
24 between the retail price and subtracting crude oil. So,
25 if the difference was always the same, this would be a

1 flat line. Of which, clearly, it is not. It moves all
2 over the place. It's been rising a little bit later in
3 the period, and that's when we had some significant
4 refinery problems. So, there are other reasons the
5 retail prices fluctuate, other than the change in price
6 of crude oil.

7 The next slide, please. Here are a laundry list
8 of reasons, and there is an arrow next to a specific
9 bullet to indicate what impact these kind of factors
10 have on prices. Moving them up, both directions, if
11 they're in the middle of the pack there, or down below.
12 You could have a change in the futures contract prices,
13 for example they fluctuate all the time. And they have
14 a direct impact on retail prices in California because
15 of the nature of how wholesale, DTW prices are set
16 relative to futures contract prices. So, that's an
17 example that that moves around.

18 So, these kinds of factors are what will change
19 prices significantly over very short periods of time.
20 However, as Aniss was explaining before lunch, we have
21 to make assumptions about what will the taxes be going
22 forward over the forecast period. What will be some of
23 the other environmental factors? Will they change?
24 Will they become more difficult to achieve, you know,
25 compliance in a specific regulation? Therefore, will

1 the fee go up? And, so, that's our assumptions for the
2 Low Carbon Fuel Standard, the fees will escalate over
3 time, as the regulation becomes more challenging.

4 And, so, in a preliminary release of the
5 information, we'll show you what our assumptions are for
6 how high those fees might be, as one example.

7 The next slide, please. This is just an example
8 of you can have a situation where crude oil prices in
9 the first red oval are -- the crude oil is the yellow
10 squares in the bottom. They're dropping a little bit,
11 flat and then dropping. And you're seeing that the
12 wholesale prices, the lines in the middle, are rising
13 rapidly.

14 So, this is an example where crude oil is not
15 really pushing up those prices of wholesale and then on
16 to retail, this is really a result of refinery problems,
17 significant ones. As well as the transition to a --
18 from one winter recipe to summer recipe gasoline that
19 always increases prices because the cost of making
20 gasoline goes up for that transition.

21 And similar, the second oval, red, in the middle
22 of the chart you see crude oil prices are falling and
23 here we have prices rising significantly in the whole
24 sale market, and to a lesser extent in the retail
25 market. So, crude oil movement is not the final say in

1 where retail prices will end up because other factors
2 can, for a shorter period of time, have a stronger
3 influence on retail prices.

4 The next slide, please. So, let's talk about
5 here's some purposes of what it is used for, meaning the
6 price forecast, which you don't see in front of you at
7 this time. And that is, what Aniss was talking about,
8 vehicle purchases, utilization, how much I drive my
9 vehicle? Do I shift to some other type of mode of
10 transportation because prices are high? And, so,
11 changing prices over time can influence decisions like
12 this.

13 So, then, you also have other types of price
14 comparatives. I'm looking at compressed natural gas
15 prices, or LNG prices versus diesel price. I'm a long-
16 haul trucker. Okay, Aniss was talking about in the
17 freight model you have payback periods. Change to a
18 fuel and a technology type and it pays back in a certain
19 number of years. Well, how do you calculate that?
20 That's because there's a price difference between the
21 fuels and how many miles you travel for your vehicle,
22 and what the cost of your vehicle is relative to the
23 other technology.

24 And, so, differences in prices over time, in our
25 forecast, will in the model influence some of the

1 results you see for freight and fuel switching.

2 The next slide, please. So, here's another
3 example of where you're looking at a chart of the bars
4 are the percent of new vehicles sold in the United
5 States, that are in the passenger car category. Not
6 light truck. The red line is the price of retail
7 gasoline in the United States.

8 So, price of gasoline rises, consumer, U.S.
9 preference has been a greater percentage of passenger
10 vehicles which, arguably, have better average fuel
11 economy than the light-duty trucks and the SUVs. Prices
12 fall, I'm buying less passenger vehicles, more SUVs.

13 So, that's why the price forecast is important
14 in vehicle preference by consumers, based on the type of
15 information you have on the cost, the relative cost of
16 the vehicles in their classes, as Aniss was saying, not
17 individual makes and models.

18 The next slide, please. So, I think Aniss
19 covered this. We're covering, certainly, the
20 traditional fuels, gasoline and diesel, they're the
21 dominant fuels right now, and at least for the
22 foreseeable future.

23 Natural gas and electricity charging prices are
24 also covered in the division. And hydrogen, jet fuel
25 for the aviation model, propane and E85 are other fuels

1 we will also be projecting prices for, used as modeling
2 inputs.

3 Not covered, biodiesel, renewable diesel, bunker
4 fuel for marine vessels. We do not project prices for
5 those. Biodiesel and renewable diesel are blends that
6 are incorporated into diesel fuel that goes into
7 commerce. It's unusual one would be purchasing,
8 especially in the private sector, a B100, 100 percent
9 pure biodiesel or 100 percent pure renewable diesel.
10 So, these other fuels are, really, they would be
11 reflective of what the going price is for diesel fuel at
12 the time.

13 The only sort of nuance or caveat to that
14 statement is the fact that those different types of
15 fuels will command premiums in the Low Carbon Fuel
16 Standard that will be LCFS credits. So, that has a
17 value to the seller and those credits can be sold to
18 obligated parties and it will be a revenue stream.

19 So, even if your cost of making those other
20 renewable fuels is more expensive, this is an example of
21 a revenue stream that helps offset higher cost.

22 The same goes for E85. Ethanol has been, for
23 most of 2016, more expensive than gasoline. And E85 has
24 a fuel economy penalty of about 25, 28 percent compared
25 to the normal blend of gasoline, E10. So, it's

1 challenging, just on the current market prices, to find
2 discounted ethanol sufficient to discount your E85
3 price.

4 But what purveyors of E85 are doing are using
5 the credits in the Low Carbon Fuel Standard that they
6 have imbued in that fuel, and selling those to obligated
7 parties as an additional revenue stream. So, once
8 again, an example of an environmental program providing
9 other revenue stream for retails and even commercial
10 clients to sell those fuels.

11 The next slide, please. So, our methodology is,
12 as I mentioned, what drives prices for the petroleum-
13 based fuels? Crude oil. So, we look to the Energy
14 Information Administrative, EIA, their Annual Energy
15 Outlook, or AEO. And they do this once a year. they
16 will do an update in the spring. And they have many
17 different cases or scenarios, whatever the word one
18 wants to use.

19 And what we want to do is try to best align what
20 those crude oil prices are in their scenarios to our
21 three common cases. So, we want to try to be on as much
22 of the same page, at least make sure the crude oil is,
23 as long as we can be. So, we think there's enough cases
24 and selection there to do that.

25 We'll be making some adjustments to the retail

1 prices that EIA has. Since they don't forecast
2 California retail prices, we will have to make our own
3 adjustments. And, so, higher taxes, higher production
4 costs, and low carbon, and the fuels that are under the
5 CAP fees will be part of our adjustment that we'll be
6 rolling out with our preliminary analysis and showing
7 you what those are.

8 So, an example can be, where Aniss was talking
9 about, a high scenario and a low scenario, as to with
10 prices, a high-price scenario, for example, could be
11 where the carbon markets are going up to a higher level.
12 Versus a low price environment, where the carbon prices,
13 there is ample supply, they're at a moderate level,
14 likely around where they are today, about \$100 a ton.
15 And, so, you don't see a large escalation of the fuels
16 that are under the CAP. But you would see a rise in the
17 market for Low Carbon Fuel Standard because of how you
18 calculate that credit is based on how far away you are
19 from the baseline and your carbon deficit.

20 So, that program will become more expensive over
21 time, even if one assumes the price of carbon stays at
22 \$100 a ton.

23 So, hydrogen, the last point there, we will be
24 working with our colleagues, in the Fuels and
25 Transportation Division, to come up with a joint

1 hydrogen fuel price forecast. The division is
2 responsible for working with outside parties to put
3 additional retail hydrogen out there, in California.
4 So, there's a great deal of experience and data being
5 collected on what it does cost for these facilities, and
6 what kinds of prices one might expect over the forecast
7 period. So, that's why we want to work closely with
8 them to be on the same page.

9 The next slide, please. So, just, yes, you have
10 no slides here with the prices, preliminary prices.
11 You'll have to wait a little bit more. In an upcoming
12 workshop, and we'll be presenting that information. And
13 even more important, what are assumptions are that we
14 use and what adjustments we did make to EIA's cases.

15 And, so, we look for people to give us, at that
16 time, feedback on why did you select those EIA cases?
17 Why did you make those adjustments? Why didn't you make
18 other adjustments? And, so, that would be the kind of
19 input we'd like to see from stakeholders on what we did
20 do. But, unfortunately, I can't show you just yet.

21 So, any questions?

22 CHAIR WEISENMILLER: Yeah, I've got a couple.
23 So, you about the carbon allowance price. I just wanted
24 to make sure you ended up consistent with the graph on
25 Lynn Marshall's presentation, page 3? Actually, I'm

1 looking at it right now. But she's got a high/low for
2 Cap and Trade. So, anyway, I wanted to make sure we tie
3 to that.

4 MR. SCHREMP: Yes, we will be consistent with
5 the price of carbon, which goes directly to fuels under
6 the CAP.

7 CHAIR WEISENMILLER: Right.

8 MR. SCHREMP: The Low Carbon Fuel Standard,
9 that's part of the calculation. And, so, we want to
10 make sure, to your point, that we're using the same
11 carbon price in the three common cases, yes.

12 CHAIR WEISENMILLER: Okay. The other question
13 is, obviously, forecasting gasoline and diesel are very
14 uncertain. So, I'm trying to get a sense, from you, of
15 the range of uncertainty and whether it's symmetrical,
16 or high or, you know, where you think the greater
17 uncertainty is in terms of upside or downside?

18 MR. SCHREMP: I think the biggest uncertainty --
19 I mean, when I was showing that one chart, if we could
20 maybe go to slide 2, or 3, the next one, please. So,
21 you see that, I mean we had the mother of all
22 recessions. And that was global, that was U.S., that
23 was quite a commodity bubble burst. And a monstrous
24 drop in crude oil prices and retail prices. I would say
25 highly, highly, highly unusual that did occur. I mean,

1 it did occur, it's an historical event.

2 But to your point, the uncertainty, I would say
3 based on what's gone on and how our market is a more
4 isolated for transportation fuels in California, and the
5 West Coast in general, that the uncertainty is we have
6 seen several instances of a (indiscernible) in the
7 system that results in what? An increase in price, and
8 a rather significant one at times. Not the opposite.

9 I mean, so I think going forward you could have
10 an underlying base forecast for crude oil. You might
11 stay in that range over the next three to five years
12 pretty close. But you could, in California, have some
13 very significant deviations in the upward direction
14 because of significant unplanned outages at refineries
15 in California.

16 So, to your question, I think, yes, the risk or
17 the uncertainty is some of these deviations, we can't
18 predict how many exactly. But we've had enough, now, to
19 have one really good one every other year to have that
20 be an expectation.

21 CHAIR WEISENMILLER: Okay. Andrew?

22 COMMISSIONER MCALLISTER: No.

23 CHAIR WEISENMILLER: Okay, thanks.

24 MR. SCHREMP: You're welcome.

25 MS. RAITT: So, our next speaker is Asish

1 Gautam, and he's from the Energy Commission staff.

2 MR. GAUTAM: Good afternoon, Commissioners,
3 members of the public. My name is Ashish Gautam, staff
4 members in the Assessments Division. And I'll be going
5 over some of the changes and updates we're planning to
6 make for the treatment of distributed generation in the
7 2017 IEPR.

8 First, just a quick review of where we were in
9 2015 and 2016 IEPR. When we were finalizing the 2015
10 IEPR, we had some uncertainty surrounding the expiration
11 of the Federal Tax Credit, and the PUCs NEM decision.
12 So, we decided to go and assume that the tax credit was
13 going to expire. At least, that seemed to be the
14 consensus back then. And we created some bookend
15 scenarios regarding net metering. We assumed reform of
16 net metering in the high demand case, and full retail
17 credit in the low demand case. And, then, split the
18 average additions between the two bookend cases.

19 And when we were presenting in the 2015
20 workshop, you know, just a week before the PUC gave the
21 solar industry a big win there and, you know, we weren't
22 able to accommodate any of the changes there. At the
23 same time, the Congress passed the extension of the ITC.
24 And, then, so these were some outstanding issues that we
25 promised to resolve in the 2017 IEPR.

1 In the 2016 IEPR, we looked at some of the
2 issues surrounding forecast PV additions. We had
3 utility staff, federal labs, and the Federal EIA come
4 by, in one of our workshops, to give us an overview on
5 how they approach forecasting PV additions.

6 We also addressed some of the issues surrounding
7 the whole peak shift phenomenon and the need to go to an
8 hourly forecasting to really handle some of these
9 issues.

10 And, so, we've listened to some of the feedback
11 we received in the 2015 and 2016 IEPRs, and we've made
12 some changes that we want to address in the 2017 IEPR.

13 First up is the ever-increasing call for more
14 geographic disaggregation of our forecast. So, Chris
15 has talked a little bit about some of the changes that
16 he's made for us. What remains is to map our
17 consumption profiles from our sector surveys, to the new
18 climate zones. With the new geographic layout, we also
19 have to update our PV shapes.

20 This third sub-bullet here is a point I think
21 the Chairman made last -- in the 2016 IEPR, about the
22 need to kind of go beyond just the large POUs, mainly
23 SMUD and L.A., and it also coincided with some of the
24 responsibilities the Energy Commission has for the POUs'
25 IRP filings. Staff, in our Supply Office, reached out

1 to us about how we might be able to disaggregate some of
2 our DG forecast to kind of support their efforts there.

3 So, we're looking at how -- what changes we can
4 make. I think there are 16 POUs in total. Of that six,
5 we already are forecasting, and of the 10 that's
6 remaining, we're still trying to wrestle with what we
7 can do, how many of the 10 we can cover. There are some
8 data issues. It appears a lot of the POUs don't have
9 the load research capability to give us the data we
10 need. We haven't made a decision, yet, but we're still
11 trying to figure out what we can do.

12 Let's see. So, a big focus for us, in the 2017
13 IEPR, is the achievement of big PV adoption in the
14 residential segment. This is where additions are really
15 concentrated. PG&E has about 60 percent of their total
16 PV stock in the res sector. Edison has about 66
17 percent. And San Diego, a lot more, roughly about
18 three-quarters of the PV is in the res sector. And, so,
19 one of the -- can we move to the next slide -- issues we
20 faced was to create more customer profiles to model
21 adoption.

22 In past IEPRs, we've only used a single profile.
23 So, there was a question of can you really rely on a
24 single profile to characterize all the different
25 residential customers out there?

1 So, we have expanded our profiles. It seems
2 like every IEPR we address one issue, but a whole bunch
3 of other issues keep coming up. So, you know, this is
4 one effort of trying to get more data to help us create
5 more customer segments to model adoption of. And, so,
6 this is what we are proposing for the 2017 IEPR.

7 So, the next slide. The other changes we want
8 to make, Lynn presented earlier about some of the
9 efforts she's doing on the time-of-use rates, so we do
10 plan on incorporating the TOU rates for IOU residential
11 customers in the 2019. And I think, I believe we're
12 also addressing it for SMUD. For the other POU's, we've
13 not addressed a whole lot, yet, but hoping to get more
14 feedback on the upcoming DAWG workshop on how we can
15 move forward there.

16 Regarding net metering, one scenario we have for
17 post-2019 is to look at maybe just giving wholesale
18 compensation based on the TOU periods, and also that
19 Lynn's working on. You know, in the NEM proceeding,
20 there was a range of proposals that stakeholders put
21 out. We'd like to hear more in the next DAWG meeting
22 about option scenarios we could take, and try to look at
23 for the 2017 IEPR.

24 And, then, the other change is the extension of
25 the tax credit. Obviously, we missed it in 2015. But

1 we do plan to address it for this IEPR. It's been
2 extended until 2021, where there's a phase-out of it.
3 And I think the res credit goes away and the non-res
4 stays at 10 percent.

5 The next slide, please. One of the other issues
6 we're dealing with is the Net Zero Energy Homes. I
7 believe the 2019 Building Standards are going to try to
8 take this on. So, we are coordinating with our
9 standards -- the building standards on what their
10 thoughts are about net metering, and how we can roll
11 that into our analysis for one of the optional
12 scenarios.

13 We received a lot of feedback about adoption
14 modeling for PV. And prior IEPRs relied on the payback
15 period. It's the holdover from earlier studies.

16 Last year, when we had NREL and other staff,
17 other utility staff members out here, they talked a
18 little bit more in detail. And NREL actually had a
19 study that they did, looking at how -- what kind of
20 factors customers are responding to. So, they looked at
21 environmental and economic reasons. The economic
22 reasons were kind of the dominant one, the dominant
23 issue that decided -- that was a factor in them adopting
24 PV.

25 Within the economic factors that they looked at,

1 there was payback, bill savings, and the levelized cost.
2 And in their analysis, they determined that customers
3 were really responding to monthly bill savings. This
4 had more to do with the whole leasing structure that,
5 you know, the sales staff of the national companies were
6 really pushing.

7 And, so, we did receive data from NREL about how
8 we could incorporate their survey findings into our
9 process, so we're looking into that.

10 The other thing that -- other source of data we
11 see from NREL is a new, potential analysis for solar
12 regarding granular geospatial data they have in their
13 possession regarding potential by different building
14 types, and county efforts. Narrower than county, I
15 think, looking at rooftop orientation and just kind of
16 what kind of a lens they are. So, that's another piece
17 that we want to incorporate, and try to map that to our
18 20 forecasting zones right now. So, that's where we
19 are.

20 The last part here, energy storage is making a
21 lot of waves here. So, we are looking at incorporating
22 both stand-alone and net payer energy storage. This is
23 still an ongoing work and we're hoping to have some
24 materials for the upcoming DAWG workshop.

25 The next slide. And just some other updates.

1 We're trying to think about longer-term about how we can
2 do a better jobs in terms of modeling adoption. And we
3 did become aware of a tool from NREL, that they had
4 developed, and last we received approval at the last
5 week's business meeting, to enter into an agreement with
6 NREL to bring this tool in house. So, we're looking
7 forward to working with them on that.

8 We have a couple of studies underway, looking at
9 changes in load shapes, and new sector surveys. We're
10 hoping to incorporate some of their findings in there.
11 I think for the sector surveys, they might not be
12 finished until 2018, but that's just a timing issue that
13 we have to deal with.

14 And, then, this last part, we had a workshop
15 early this month regarding coordination on DER, growth
16 scenarios for the DRP. You know, the work always has
17 been that the IEPR Demand Forecast feeds into other
18 processes. But the utility staff have access to much
19 more granular data. And, you know, depending on how
20 they do the studies, their results might depart from the
21 IEPR Demand Forecast. So, what will be the process to
22 align their findings into ours, so there's a possibility
23 that the findings from these other processes would
24 actually feed back into the IEPR. So, this will be a
25 topic for future DAWG meetings.

1 I believe that is it for me, so I'll take any
2 questions you may have.

3 CHAIR WEISENMILLER: Well, I mean, I think,
4 again, I'll go back to my normal point that from the
5 Barrier Study (phonetic), it's pretty clear that low
6 income -- you know, owner-occupied housing is one thing.
7 Rented space is a different thing. And at least the
8 NREL stuff I've seen so far hasn't really distinguished.
9 I mean, you may have a lot of sunlight on the roof, but,
10 A, you might not have a very good roof, or you might not
11 own the building.

12 MR. GAUTAM: Yeah.

13 CHAIR WEISENMILLER: So, in those cases, you've
14 got to somehow figure out a way to parse those out.

15 MR. GAUTAM: Yeah, so what we have done, for the
16 most part, is limit our analysis just to single-family,
17 owner-occupied housing types.

18 CHAIR WEISENMILLER: Right.

19 MR. GAUTAM: And there's a lot of effort for the
20 disadvantaged communities regarding community solar.

21 CHAIR WEISENMILLER: Right.

22 MR. GAUTAM: I believe that's more on the front-
23 of-the meter type deal, so we're not addressing directly
24 here, but it's not really being ignored. There's a lot
25 of interest going.

1 CHAIR WEISENMILLER: Yeah, there's a lot of
2 interest. There's not much in California. As President
3 Picker would say, don't expect much. But I don't know
4 how good his forecast is on that.

5 One of the other things is that going forward
6 you need to keep your eye on potential tax reform. You
7 know, that certainly, if the Ryan Tax Measures pass, and
8 you get to a marginal tax rate of 15 percent, that's
9 going to have a big impact on a lot of the leases.

10 MR. GAUTAM: Yeah.

11 CHAIR WEISENMILLER: You know, going forward.
12 But, certainly, as costs go down on the solar systems,
13 they're going to be less dependent on the least side of
14 stuff.

15 MR. GAUTAM: I think, roughly three or four
16 years ago, leases we remaking the dominant share. But
17 now, I think what we've looked at is about 60 percent or
18 so interconnected in the IOUs are owner owned.

19 CHAIR WEISENMILLER: Yeah. Another thing would
20 be to look at -- Borenstein has some pretty good data
21 that he's tried to parse out on the income distribution
22 of solar adopters. You know, they tend to be -- and
23 he's tried to go through it census tract by census
24 tract, and spin that out. So, that's sort of another --

25 MR. GAUTAM: Dimension.

1 CHAIR WEISENMILLER: -- another dimension to
2 look at. Obviously, the early adopters tend to be
3 wealthy.

4 MR. GAUTAM: Right.

5 CHAIR WEISENMILLER: But that also, at the same
6 time, I think a lot of the battery interest is basically
7 upselling. If you've got a lot of early adopters who,
8 you know, have had a solar system, it's pretty easy to
9 go back and sell to them. It's easier to sell to them
10 the batteries than to the low-income places.

11 MR. GAUTAM: What we've looked at NSHP
12 (phonetic) data is that most of the storage is really
13 stand alone. We haven't seen much uptick in NEM there,,
14 yet.

15 CHAIR WEISENMILLER: Uh-huh.

16 MR. GAUTAM: But, you know, depending on how the
17 net metering decision goes, that could really switch
18 things up.

19 CHAIR WEISENMILLER: Yeah. Andrew?

20 COMMISSIONER MCALLISTER: Yes. Okay, so, yeah,
21 thanks for that. And, you know, it's good to see the
22 sort of continuity from the last couple of discussions,
23 and you're following through on the issue of the day,
24 and making progress on resolving them. So, that's
25 great.

1 I wanted to just -- this idea of granularity
2 and, you know, the whole process of all the forecasts as
3 moving to be more granular. So, just really a broad
4 encouragement to say, you know, let's be ready for
5 having very granular data, at some point, that we can
6 use to match up with the other kinds of information we
7 have, demographics, et cetera. You know, ZIP plus 4
8 (phonetic), or even more granular than that, you know,
9 depending on how we want to do projections on going
10 forward.

11 MR. GAUTAM: Yeah.

12 COMMISSIONER MCALLISTER: So, you know, the 802
13 benchmarking data, you know, so that will include much
14 of this multi-family population, and we'll know about
15 those buildings and, hopefully, we can do some
16 segmentation.

17 MR. GAUTAM: Yeah.

18 COMMISSIONER MCALLISTER: You know, low income,
19 market rate, different sizes, different types, different
20 jurisdictions, different program impacts, for example,
21 that will effect diffusion of solar.

22 MR. GAUTAM: Yeah.

23 COMMISSIONER MCALLISTER: So, I think that's
24 very exciting and I think it will really help our --
25 help do better local projections.

1 Let's see, I guess an encouragement to align on
2 the TOU front. I think you may have said that, already,
3 but the Chair may have said that already. But,
4 certainly, the scenarios that Lynn talked about earlier,
5 and what the PUC's working out, you know, we definitely
6 want to have the same suite of possibilities and have
7 that aligned across the various sub-forecasts.

8 And, then, I had a question. One other sort of
9 recommendation is you mentioned, along the way, that
10 you're coordinating with the Building Standards Office,
11 which is great. I think there are a whole bunch of
12 areas, actually, a number of areas where they are asking
13 similar questions. So, how NEM is going to work out,
14 you know, I think we're all interested in that and
15 there's a lot of work going on. And, certainly that
16 impacts the cost effectiveness of the Building Standard
17 development. You know, measures that do or don't pass
18 muster, depending on the NEM scenario.

19 MR. GAUTAM: Yeah.

20 COMMISSIONER MCALLISTER: But, you know, would
21 also, would encourage you to talk with them about that,
22 and about how storage is characterized, because they're
23 also thinking about that.

24 And, then, finally, a question. On the POUs,
25 are they collecting the individual system information?

1 MR. GAUTAM: Well, I believe they all --

2 COMMISSIONER MCALLISTER: The interconnection
3 information?

4 MR. GAUTAM: So, from the IEPR, we do get
5 interconnection data. We make a request for most
6 payers, only POU's with 200 megawatts or higher report.
7 So, we do miss -- I believe there's like 45 or so POU's,
8 but we only capture about a dozen or so. So, there is a
9 gap that we have for the other ones.

10 We've relied on the SB1 POU report. But this is
11 the last report, I believe we'll be getting from there,
12 so there will be an issue there about data gaps.

13 COMMISSIONER MCALLISTER: Okay. So, I guess --
14 go ahead.

15 CHAIR WEISENMILLER: I was going to say, we may
16 want to talk to MCP and CMUA about continuing that
17 report, if that would be helpful on the data side.

18 MR. GAUTAM: Yeah, we'll follow up with them.

19 CHAIR WEISENMILLER: Okay.

20 COMMISSIONER MCALLISTER: You may have brought
21 that up. The IOUs are supposed to be, you know,
22 basically continuing that databased, based on
23 interconnection data. And I guess last year we had this
24 discussion a little bit, and it seemed like some of the
25 fields that they had been collecting under the CSI were

1 falling away. I guess, maybe, do you have an update on
2 all of that?

3 MR. GAUTAM: Let's see, so in terms of CSI --
4 the fields that -- from what I understand, a lot of the
5 fields are still being collected, but there was a gap
6 between when the CSI data collection stopped and when
7 the IOUs started collecting the extra fields, so there
8 is a gap there.

9 I'll have to get back to see if there are other
10 issues regarding collection on those fields. I think
11 one of the issues we've had is the solar tilt and
12 orientation seems to be not as clean as we had hoped, so
13 that's an issue when we're trying to characterize the
14 generation profile.

15 COMMISSIONER MCALLISTER: Anyway, I agree with
16 the Chair that it would be great to have that be truly
17 statewide, smaller POUs notwithstanding.

18 MR. GAUTAM: Okay.

19 COMMISSIONER MCALLISTER: Okay, thanks.

20 MR. KAVALEC: Hi. I'm, once again, Chris
21 Kavalec. And my final presentation, today I'm going to
22 be talking a little bit about our timeline, a little bit
23 about the way that we forecast, summarize that, and then
24 talk about the remaining important inputs and
25 assumptions that are going into the 2017 IEPR Forecast.

1 The next slide. So, our timeline looks like
2 this. First off, just a reminder, the 2017 IEPR Demand
3 Forecast is a full forecast, one that we do every two
4 years, as opposed to the forecast update that we did in
5 2016.

6 The first step has already been taken. We've
7 requested the information from the utilities, including
8 their own forecasts, in our demand forms and
9 instructions that have been sent out. And most of them
10 are coming back this month, and then some are coming
11 back in April.

12 Here we are, today, in our Workshop on Forecast
13 Assumptions. And we will get to work on the forecast
14 and have a workshop on our preliminary forecast in early
15 August.

16 And at this workshop we will typically compare
17 our forecasts to those of the utilities, in an attempt
18 to reconcile any differences we may have. Taking that
19 information, along with other comments from stakeholders
20 and internally, we will develop a revised forecast and
21 have a workshop sometime in December of this year.

22 The next slide. As far as the way we forecast,
23 you've all seen this before, I'm sure. We, basically,
24 forecast using a bunch of different sector models,
25 residential, commercial, industrial, TCUs, as was

1 mentioned earlier. We have, our residential and
2 commercial models are full end-use models.

3 We also incorporate the transportation energy
4 forecasts, and self-generation that Ashish was just
5 talking about.

6 All of these results get aggregated, and
7 summarized, and calibrated in our summary model. And,
8 then, the summary model provides annual data to our peak
9 model, which applies load shapes to give us an annual
10 peak. And, also, I put in there hourly model. That's
11 going to be integrated with our peak model.

12 On the sort of the top left there, what I'm
13 going to be focusing on, in terms of additional input
14 assumptions, we've already talked about the economic and
15 demographic inputs. We've talked about self gen, and
16 electrification and electric vehicles, TOU rates.

17 Some of my remaining discussion on inputs and
18 assumptions is focused on efficiency and demand
19 response.

20 The next slide. As is confirmed by this slide
21 here.

22 Okay, the next slide. For efficiency, in our
23 demand forecast we distinguish between what we call
24 committed efficiency savings, and that means savings
25 from efficiency initiatives that have been finalized,

1 approved, and/or already implemented. And that includes
2 codes and standards, as well as utility programs.

3 And the other category is efficiency reasonably
4 expected to occur in the future, through future programs
5 and updates to codes and standards. We refer to that as
6 additional achievable energy efficiency, or AAEE.

7 So, what we call our baseline forecast includes
8 only the committed efficiency. And, then, we adjust
9 that baseline forecast to account for AAEE, and that
10 gives us a managed forecast that is used in the State
11 for resource planning purposes.

12 The next slide. So, first off, a little about
13 committed efficiency. As we move from forecast to
14 forecast, some of the efficiency initiatives, previously
15 considered AAEE, become committed. And, therefore, have
16 to be integrated into our baseline forecast.

17 So, for this forecast that includes what's
18 listed here. A new update to Title 24, in 2016, 2016
19 Appliance Standards. We also have 2016 and 2017 IOU
20 programs, previously AAEE, but are now fully funded and
21 implemented. And, as well as 2016 POU programs.

22 The next slide. As far as AAEE savings, because
23 of the timing of the various analyses, we're not
24 incorporating a new round of AAEE savings until the
25 revised forecast. It won't be in the preliminary. More

1 specifically, the IOU 2018 and beyond efficiency goal
2 setting is not going to be completed until August. And
3 from those, we derive our AAEE savings.

4 And for POUs, again, this will be in the revised
5 forecast. But that will come from potential studies and
6 individual utility plans, along with target setting
7 related to SB 350. And just a little bit about SB 350.
8 This is the way I see it working, and the Commissioners
9 can correct me if I'm misguided here. For the IOUs, the
10 CPUC, through their goal setting, will decide how
11 aggressive they're going to be in lieu of SB 350. And
12 those goals will give us, at least for our mid-case
13 forecast, the IOU contribution to the SB 350 targets.

14 On the POU side, our AAEE is going to come
15 through a combination of existing potential studies,
16 individual utility plans, and what the Commission comes
17 up with through our target setting process for the POUs,
18 for SB 350.

19 The next slide. The other category is here
20 load-modified demand response. We include some demand
21 response on the demand side. That is specifically
22 programs that aren't integrated, fully integrated into
23 the CAISO market. That includes, at the moment, two
24 subcategories, non-event based, which includes the time-
25 of-use rates and permanent load shifting. And event

1 based, which is peak pricing and peak time rebates.

2 We get estimates of the savings from those
3 programs, from IOU Load Impact Reports that come out
4 every April, and are vetted through the CPUC process.

5 In the past, the impact of load-modifying demand
6 response has been in the couple hundred megawatt range
7 for the IOUs, combined. Of course, this time it will be
8 higher because we're integrating more default TOU rates.
9 So, expect a significant change in the amount of what we
10 call load-modifying demand response.

11 The next slide. Other miscellaneous
12 assumptions. We incorporate climate change impacts into
13 our forecast through scenarios, temperature scenarios
14 provided by the Scripps Institute of Oceanography.

15 We discussed, before, transportation
16 electrification, including EVs, and high-speed rail,
17 coming from our Transportation Unit.

18 Project CHP impacts, in terms of on-site
19 generation, are provided to us from our Supply Analysis
20 Office in the Division.

21 And kind of a fun topic here, the impact of
22 legalized marijuana. We hear stories of marijuana
23 growers crashing the grid in Oregon. And in our Econ
24 Demo Workshop, we had a representative from the ag
25 industry, and he mentioned that the impact of marijuana

1 was probably one of the more significant impacts or
2 determinants in how much growth there's going to be in
3 the ag sector, in California.

4 So, this is probably not something we can build
5 in directly into the forecast, yet. But I think it
6 warrants at least some discussion about potential
7 impacts.

8 So, that does it for the demand forecast.

9 CHAIR WEISENMILLER: A couple questions, Chris.
10 One of them is the sort of proverbial elephant in the
11 room. On the energy efficiency side, one of the things
12 we have to figure out this year is what the new
13 Administration means in terms of Federal programs. You
14 know, at this point it's all sort of oh, my God. But,
15 presumably, between now and forecast adoption we'll have
16 a better sense of exactly what they're doing.

17 MR. KVALEC: Yeah, and in terms of estimating
18 those impacts, I was thinking that this could be done
19 through, at least for the IOUs, the potential study.
20 And including in the potential study more and less
21 aggressive amounts of Federal standards. And because
22 you need to -- you can't just do it in isolation because
23 if you make a big change in the Federal standards,
24 that's going to impact how much savings you're getting
25 from the program side. Anyway, that was the way I

1 envisioned that.

2 CHAIR WEISENMILLER: And I guess the other
3 question is the reality is there's already marijuana
4 growing in California. How large the loads are we don't
5 know, and how much is either connected to the grid or
6 not connected to the grid. And, so, in a way we're
7 trying to figure out what the legalization could mean in
8 terms of deltas?

9 MR. KAVALEC: Uh-hum. Yeah, and it really
10 depends on how the industry shakes out and how fast it
11 shakes out. If it remains a bunch of small growers, in
12 their greenhouses, that's one thing. If it transitions
13 quickly to large growers, which means more energy
14 efficiency in terms of production, that would be -- that
15 would have a significant impact on your energy forecast.
16 So, like I said, it's probably too early to try and do
17 something relatively cohesive and precise. But it at
18 least warrants some discussion of the issues involved.

19 CHAIR WEISENMILLER: Yeah. And, certainly, if
20 it's possible to get any -- any information that anyone
21 has on so far what's going on, or what's going to
22 happen, you know, it would be interesting to sort of
23 feed that in.

24 So, you're right, I think this year is one of
25 more collecting information, trying to think about what

1 next steps are.

2 COMMISSIONER MCALLISTER: There is at least one
3 proposed utility program to target that sector, actually
4 the marijuana sector, with efficiency. So, there's some
5 anticipation that this will be a relatively big deal.

6 And I, you know, on a few of those real estate
7 sites, you know, there clearly is a submarket, now, and
8 I think a thriving market on buying and selling
9 properties that lend themselves to marijuana
10 cultivation. So, you know, certainly it's coming, so we
11 need to be prepared.

12 I just had a couple of questions.

13 (Inaudible comment.)

14 COMMISSIONER MCALLISTER: Yeah, exactly. And I
15 guess there's also the Fed overlay of the legality of
16 the whole thing.

17 So, let's see, so I guess I want to just build
18 upon something you said. I'm glad it's happening. So,
19 I agree with your characterization of the AAEE, and sort
20 of what it's going to be based on. And just encourage
21 the forecasting team to really keep tuned into the IRP
22 process, and to the goal-setting process, itself, and
23 sort of how that plays out, you know, with the POUs.

24 And I guess the idea is that the doubling, part
25 of the doubling will be -- will fall into that

1 relatively reliable AAEE category and part of it will be
2 beyond that, and more of a market transformation aspect,
3 and we'll have to encourage different things as they
4 happen, and that will be more of an iterative process
5 going forward.

6 But I want to make sure that we're not confusing
7 the issue by talking about different kinds of AAEE and
8 really trying to focus on, you know, in the IRP process,
9 have that resource be talked about as such, and have
10 that mean the same thing as it does when you're talking
11 about it in the forecasting context. I think that's
12 important because it's already confusing enough, so we
13 don't want to confuse people further.

14 the other thing I want to talk about a little
15 bit, and maybe get some ideas is, you know, as the AAEE
16 from one forecast moves over to be committed in the next
17 forecast, I think that's entirely appropriate and I
18 think, you know, makes a lot of sense.

19 On the other hand, when we do talk about the
20 long-term impacts of efficiency policies, we tend to
21 kind of lose what got subsumed into the baseline. And,
22 so, keeping a long-term view of what has happened, you
23 know, what used to be considered AAEE or additional, and
24 now is not, still sort of coloring that a different
25 wedge. Or, at least having the ability to crank out the

1 graphics that show that as a different wedge, than just
2 subsumed down there in the baseline I think is important
3 for the narrative. I mean, because the narrative is
4 that we've been doing this for a long time, and a big
5 chunk of what's now baseline energy consumption is as
6 low as it is because of the efficiency. And that's not
7 clear just from the individual IEPR, you know, forecast
8 in a given year discussion.

9 So, I want to work with you to produce some of
10 those kinds of visualizations of, you know, what we are
11 taking advantage of, what benefits are we accruing,
12 today, that are actually the result of what once was
13 additional? So, I think it's important to kind of do
14 both things in the present, and then also have the long-
15 term view.

16 So, I guess my question is, you know, can -- do
17 you have the levers and buttons to push to be able to do
18 that?

19 MR. KAVALEC: Yeah. In terms of the standards,
20 we model each set of standards individually, so it's
21 easy to break out a given set of standards. And the
22 programs, we also do year by year, so we keep track of a
23 program year to year, or year cycles. So, yeah, that
24 should be no problem. It's just a matter of sitting
25 down and talking about specifically what you want to

1 see, and I think we can do it.

2 COMMISSIONER MCALLISTER: Thanks, Chris.

3 MS. TANGHETTI: Okay, good afternoon. I'm
4 Angela Tanghetti, and I'm with the Supply Analysis
5 Office of the Energy Assessments Division.

6 So, as you notice from some of Chris's slides,
7 early on of the process flow, that the production cost
8 model, or as he referred to it, as the electric dispatch
9 model, is the first model to be run in this IEPR
10 analytic process.

11 So, we're not only the first team to provide --
12 you know, to start input assumptions, but also to
13 provide some simulation results here, today. Since
14 these production cost model simulations from PLEXES,
15 which is the production cost model we use here at the
16 Energy Commission, is directly used as input to the
17 NAMGAS model, specifically the natural gas use for
18 electric generation in the WECC.

19 So, the next slide, please. So, as you can see,
20 the topics that we're going to cover today are, you
21 know, the load forecast, the load profile updates, some
22 energy efficiency projections, some OTC compliance plan
23 updates that's different from the 2015 IEPR. Our hydro
24 generation projections have been updated. And from
25 that, we have also the RPS projections in different RPS

1 portfolios. And, then, we're also going to present some
2 selected simulation results.

3 What's not here, which we also have in our tool,
4 is the GHG projections, which Lynn presented earlier, so
5 those are also embedded in our simulation model.

6 And we've also incorporated some updated Burner
7 Tip prices that are based on the final IEPR NAMGAS
8 results, as well as the GDP Deflator that's been updated
9 for the 2016 updates.

10 Jason Orta's the next presenter and he'll
11 probably go over a slide on that.

12 But just some noteworthy differences that have
13 impacted, slightly, some simulation results from the
14 2015 Final IEPR Burner Tip prices is that we're noticing
15 less of a margin of gas prices between Northern and
16 Southern California, so the deviation is really
17 narrowing.

18 And the gap is increasing just slightly from the
19 southwest prices to Southern California. So, the
20 southwest is becoming a little bit cheaper throughout
21 the forecast period, compared to the Southern California
22 prices.

23 Another update for this IEPR cycle, that we're
24 kind of proud of, is that Paul Deaver, a colleague of
25 ours in the System Modeling Unit, spent many months

1 refreshing our generator heat rates. And this was based
2 on 2010 to 2014 SIMS data, which is hourly reported of
3 generation and fuel use data. And this is for all
4 generators in the WECC.

5 So, right now, this Heat Rate Report and the
6 heat rate details are in the review process and we hope
7 to have that posted soon.

8 And it's interesting, for some of the
9 observations, is that previously we modeled vintages of
10 combined cycles that were, you know, based on the years
11 they were built. Say, 2002 to 2005, 2006 to 2010, and
12 2011 to present. So, everything in that vintage,
13 basically, had the same heat rate curve. But now that
14 we've utilized some SIMS data to look at this, we've
15 noticed that some of the heat rates have some
16 degradation in them, as opposed to what we previously
17 thought we observed. And we're trying to understand
18 whether this is more of an owner type of maintenance
19 policy, or whether it's because of more cycling of these
20 combined cycles. So, there is a slight degradation in
21 some of these heats rates. So, we're going to do a
22 little bit more research to see if we can understand the
23 reasons for this degradation in heat rate. Not all of
24 them but, you know, each one has a personality, so we've
25 been able to capture that in these updates of our heat

1 rate curves.

2 The next slide, please. What I kind of wanted
3 to go over here is everybody talked about their three
4 common cases, and we've kind of introduced this fourth
5 common case. And we're calling it the high EE common
6 case. And I'll go over the exact projections in a later
7 slide. But we just wanted to let you know that this
8 slight -- this case is, basically, just an informational
9 effort. And it does not attempt to predict how policy
10 issues will ultimately be addressed.

11 There's a parallel 2017 IEPR technical analysis
12 underway, with the recent staff report and workshop last
13 month, and it was called "The Framework for Establishing
14 the Senate Bill SB 350 Energy Efficiency Savings
15 Doubling Targets."

16 So, this staff paper was presented in a workshop
17 about a month ago and there's a link to it on our
18 website.

19 So, go ahead to the next slide. This is just a
20 link to the load forecast updates that we've included in
21 the rest of the WECC load forecast that we have used, as
22 well. So, again, these are just linked to those
23 forecasts and how we extrapolated the TEPPC forecast to
24 the years 2027 and 2028, which this IEPR cycle's going
25 towards.

1 The next slide. It's hard to try to figure out
2 how to present this data, because there's so much of it,
3 because we modeling the WECC. So, I just kind of wanted
4 to go -- since we've gone, in other workshops, over the
5 updates to the demand forecast, I just wanted to show a
6 little bit about what we're assuming for out-of-state
7 load forecasts.

8 And, in general, the 2017 preliminary forecast
9 is less than what we assumed in the 2015 IEPR, for
10 regions outside of California.

11 What we don't show here, too, is also we do
12 develop a high and a low demand case for regions outside
13 of California. Previously, in the 2015 IEPR, we used
14 the TEPPC common case assumptions, which was just kind
15 of a gross estimate of 10 percent above or 10 percent
16 below the mid case, which caused some big variations.

17 And, so, what we decided to do this time was
18 take the same differential between the high and the low
19 that California is assuming. It's just kind of -- it's
20 hard to gather that kind of data for every region in the
21 WECC, so we just are trying to assume as California
22 goes, potentially the rest of the WECC goes. A
23 simplifying assumptions, but we did try to generate
24 something for the rest of the WECC for a high and a low.

25 Go ahead, the next slide. Oh, another -- this

1 was a long overdue update on our team's part. And,
2 again, Paul Deaver, as our staff who's kind of replaced
3 me as a lead heavy data lifter, updated our Mr. Load
4 Shape tool. And it's a tool that takes recently hourly
5 load data for LSEs, or balancing authority areas in the
6 WECC. For California, we're able to obtain a lot of the
7 LSE data, which is better on a BAA basis, because each
8 LSE does tend to have its own kind of individual load
9 shape. So, we're able to gather that more. So, in
10 California, as we get further and further from
11 California, sometimes we're just limited to the BAA or
12 sometimes the utility is able to provide us hourly
13 loads. But we have to have a consistent set of data.
14 It just can't be 2014 here, 2015 here. We want to
15 develop the same forecast period.

16 So, for this update, we used 2009 to 2013 hourly
17 loads to generate hourly load curves for all regions in
18 the WECC that we're doing load forecasts for.

19 And, in general, this did cause the hour -- the
20 peak shift hour in our historic load shape. So, we're
21 looking at the peak load hour, in general, going from
22 hour 15 to 16, shifting to hour 17. But, again, it's
23 definitely each LSE has its own personality, so there's
24 been different shifts in different regions.

25 To this historic load shape, we then are able to

1 study the impact of the behind-the-meter PV and AAEE
2 projections, because we do have hourly profiles to
3 describe those, as well. So, we're able to understand a
4 peak shift throughout the forecast period, as well.

5 We're not only seeing a trend in the peak shift
6 hour, but also the peak shift month. It seems to be
7 shifting later and later in the summer, at least in
8 California.

9 And we did use the same -- were consistent with
10 the Demand Office on their PV profiles and hourly AAEE
11 projections.

12 Okay, the next slide. Again, these assumptions
13 have already been covered in another workshop, but I
14 just wanted to provide a link to exactly what we're
15 assuming in the production cost model.

16 And I just wanted to note that the TEPPC common
17 caseloads we're using are what they call Version 1.5. I
18 think they're up at 1.7, now. But at some point we have
19 to hold off. So, maybe in our revised forecast. Not
20 maybe, in our revised forecast we will include more
21 current assumptions from the TEPPC common case.

22 The next slide, please. Here's our specific
23 assumptions for that fourth scenario that we talked
24 about. And these are the details, again, for our high
25 AAEE common case. And, again, this only impacts

1 California loads. We didn't develop high AAEE or EE
2 projections for other regions in the WECC. And, again,
3 these are simply developed projections and they're going
4 to be replaced by more in-depth analysis being conducted
5 in parallel processes through the IEPR. So, again, it's
6 just a very simple approach. And, again, this is just
7 an illustrative case that we'll be running to look at
8 the impact on RPS targets and natural gas use.

9 COMMISSIONER MCALLISTER: Just a quick
10 clarification question. So, this is the high AAEE --
11 this is basically the doubling scenario, right?

12 MS. TANGHETTI: Yeah.

13 COMMISSIONER MCALLISTER: Okay, so it's not the
14 high AAEE in the forecast terminology. Okay, so, I got
15 a briefing yesterday on this, and other things, and
16 looked at this. And these numbers actually do go along
17 well with the conversations we're having about what the
18 doubling goal looks like.

19 I guess my suggestion, which I've sort of mulled
20 over since then, would be maybe to call this a high EE
21 scenario and not a high AAEE scenario. And that way
22 it's clear that it's sort of, you know, all of the above
23 efficiency and not just what we're calling, more
24 surgically, AAEE. So, that's the only change.
25 Otherwise, I think it's great.

1 MS. TANGHETTI: Oh, and, yeah, just to make it
2 clear, again we're -- again, this is our preliminary, so
3 we're working to refine these things. And, yeah, we
4 struggled with the name for this one, for the longest
5 time. So, again, we'll consider that in the future.
6 Thanks.

7 Okay, so the next slide. This is just a kind of
8 a little overview of some of the OTC changes. And,
9 mainly, the Encina is of interest. It's been pushed out
10 a year. Encina One, we're looking at retiring the first
11 quarter of this year.

12 Moss Landing 6 retired as of last December.
13 And, then, the Diablo Canyon, we're assuming that
14 they're adhering to the Joint Proposal Settlement
15 Agreement, with Unit One going out in 2024 and Unit Two
16 going out in 2025. This is a little bit different than
17 the current OTC schedule, but we've been assured that
18 PG&E will update that filing with the State Water
19 Resources Control Board.

20 Again, and these are the same in all common
21 cases, high, mid and low.

22 Okay, the next slide. This is just of interest.
23 We just wanted to show what the hydro projections,
24 because hydro projections do impact gas use in our
25 model, and how they have evolved over time. And 2015

1 definitely is the lowest, with 2016 looking much more
2 promising.

3 For our revised simulations, we plan to include
4 the 2015 hydro generation in our average monthly hydro
5 projections. In PLEXES we used average monthly hydro
6 projections based on a rolling, 15-year average. So,
7 those do continue to -- the same average value is used
8 every year throughout the forecast period because we are
9 building average load shapes, we're using average
10 temperature conditions. So, we've just gone ahead and
11 used our average hydro conditions.

12 So, by April, we plan to have a complete set of
13 scrubbed 2016 monthly hydro generation that we'll just
14 roll into our next forecast.

15 And the impact of -- the next slide, please.
16 So, for California, we're just showing the impact of one
17 more years' worth of hydro generation. It really,
18 basically, had no impact in our hydro projections for
19 California for the 2017, compared to our 2015 IEPR
20 projections.

21 Okay, the next slide. The next slide is the
22 rest of the WECC. So, this is a little bit more
23 interesting. Incorporating another years' worth of
24 hydro generation did have an impact in, specifically,
25 the northwest region. So, hydro projects, just with

1 this one year, have gone up for -- in the 2017 IEPR,
2 compared to the 2015 IEPR. And, again, this has an
3 impact on gas use, so that's an interesting update.

4 Okay, the next slide. These are our annual RPS
5 targets compared to the 2015 IEPR. In the early years
6 it's similar. Again, driven by a slightly different
7 demand forecast. Our demand forecast is lower for the
8 2016 IEPR update, than in the 2015 IEPR. And you're
9 going to see significant differences by the end of the
10 forecast period because, in the 2015 IEPR we assumed
11 that 33 percent persisted from 2020 on. And in this
12 IEPR cycle, we're looking at 35 percent RPS targets in
13 the year 2021, up to 47 percent by the year 2028. So,
14 these, again, are our RPS targets for each scenario.

15 Okay, the next slide. Okay, this slide has
16 caused -- now, we're on simulation results. I've kind
17 of gone through some of the key inputs. This slide
18 caused me some deep thought and, well, angst, really,
19 and to understand the drivers for the drop in the 2017
20 forecast values, in the early years, compared to the
21 2015 IEPR.

22 Oh, no, no, no, back on the California side,
23 that one. That one's where I'm still on, is this one.

24 So, you know, this is just an example of
25 assumptions driving forecast. So, what we want to go

1 over here is some of the key assumptions that have
2 driven this drop. And modeling assumptions, as well as
3 data assumptions.

4 And the first, again, is the 2016 IEPR update
5 has a lower starting point, but not that much lower, so
6 compared to the 2015 IEPR. Well, except for the
7 exception of LADWP, but we're looking at it statewide
8 here.

9 So, in this round of IEPR simulations we added
10 or replaced some modeling constraints. And the first
11 one we added was that we're now requiring all generation
12 that's contracted for, that's out of state, be delivered
13 to California via contractual pass. And the reason we
14 didn't include this assumption before is we thought, you
15 know, this generation, significant amounts are
16 forecasted -- the contracts are forecasted to expire
17 throughout the forecast period. And that, you know, we
18 have this trend toward ore regional coordination, so
19 let's not hardwire these imports into California.

20 But what turns is just looking at two years' of
21 EIM data, now, that it really hasn't, significantly, in
22 the near term changed dispatch. So, that hardwiring
23 these imports into California, be it renewables,
24 nuclear, and a little bit of coal that's still left out
25 there, a small amount of hydro, that we are driving down

1 some of the gas generation in California, as well as
2 kind of seeing a little bit higher levels of imports.

3 And, then, the second thing is we've also
4 removed the Cal ISO local min. gen. constraint. And in
5 the previous set of modeling we said that for all
6 regions in California you had to have 25 percent of your
7 generation being met locally, by gas-fired resources.

8 And, now, what the ISO is recommending in our
9 simulation modeling, and what they have implemented, is
10 something called the NERC BAL 003. It's a frequency
11 response obligation. And what this turns out to do is
12 actually be less binding than the 25 percent local min.
13 gen.

14 So, the ISOs have observed this in their
15 simulations, and they're trying to recalibrate their
16 frequency response model to see if, in fact, these
17 generators really are, and can't respond as quickly.
18 So, we might be a little bit increase in that, but for
19 now it's not as binding as a local min. gen.

20 However, for L.A., SMUD, and IID, we still do
21 implement a 20 percent local min. gen. constraint, so
22 there is still that there.

23 We may look at for -- I was having discussions
24 with the ISO, they just presented these results last
25 week. And they said, for San Diego and the greater Bay

1 Area, we may want to consider adding some kind of local
2 min. gen. because the ISO, as a whole, the frequency
3 response, some of it needs to be more localized. So, we
4 may look at enhancing that. But it still won't bring
5 the gas generation up to the levels that we were
6 forecasting in the 2015 IEPR.

7 Yeah, so we're also observing more renewables on
8 the margin, certain hours of the year.

9 We've also incorporated a 4,000 megawatt net
10 export constraint. Whereas, in previous simulations we
11 allowed a free flow of exports. And, you know, right
12 now the bound is 2,000 and 5,000 for specific cases in
13 the LTPP, or the PUC's IRP process. But, again, that's
14 only Cal ISO wide. So, 4,000 megawatts, we don't really
15 have a strong analytic basis for it. But we, through
16 this process in the next few months, we're hoping to
17 work with either a contractor and looking at historic
18 data to kind of try to calibrate a more robust net
19 export constraint.

20 Minor drivers, again, is the Burner Tip price
21 deviation between Southern California and the southwest.
22 So, that's it for the California slides.

23 So, when we go to the next slide, we look at
24 WECC --

25 CHAIR WEISENMILLER: And I just want to note

1 that if you think about this years' actual hydro
2 conditions, the gas burners are going to be dramatically
3 decreased.

4 MS. TANGHETTI: But we've tried to look at 2016
5 generation data so far, but we don't have enough in,
6 yet. And, so, what we did is we looked back at 2015.
7 And 2015 is definitely higher than what we're seeing in
8 2017, but it was one of the worst hydro generation
9 years.

10 So, we think we're doing a better job in
11 calibrating to history, now, with this -- with these
12 updates to the simulation. So, yeah, hydro generation
13 does have an impact and what we assume here is average
14 hydro conditions.

15 So, now going on to the WECC wide, now we see,
16 in general, the gas use is just basically redistributed.
17 So, instead of it being more California-centric, based
18 on our assumptions in our model, we still have kind of
19 the same range of gas use on a WECC wide basis. So,
20 other regions had to step up for the assumptions that we
21 made in California about local min. gen. and kind of
22 allowing the generation that we're contracted for to
23 stay in those regions.

24 And, then, the other thing is we have a narrower
25 band in this set of fuel use results. And that's

1 because we're using the differential between the IEPR
2 update high and the IEPR update low cases, instead of
3 just 10 percent higher and 10 percent lower for the high
4 and the low common cases.

5 I think -- again, through this process, we also
6 would like to present, at some future IEPR workshops,
7 the GHG implications of these scenarios. But they're,
8 basically, just hot off the press this week. So, we're
9 struggling to get the data out there because we owe
10 results to the NAMGAS team. So, we're in the process of
11 being able to provide more interesting simulation
12 results in a future IEPR workshop.

13 So, I think that's it. Do you have any
14 questions?

15 CHAIR WEISENMILLER: Yeah, I've got one comment
16 and one question.

17 MS. TANGHETTI: Okay.

18 CHAIR WEISENMILLER: And I'll start with the
19 question. When you talk about the WECC going from plus
20 or minus 10 percent, to matching the California delta,
21 is that the California delta on a percentage basis, or
22 on a gigawatt basis?

23 MS. TANGHETTI: It's on a percentage. We it
24 based on the net energy for load and on the peak
25 forecast.

1 CHAIR WEISENMILLER: Okay, that's good. I was
2 also going to note, on the turbine question degradation,
3 what I was told, historically, by some of the generators
4 is they go through, say, a major maintenance, say, every
5 five years. And they will see degradation until they do
6 the major maintenance. And at that point, actually, may
7 even pick up the new BISRAM model, you know, parts from
8 GE and get better performance than they had the first
9 time.

10 But generally, so one of the questions as you
11 look at the data, is if you can really pick out when --
12 if any major maintenance occurred and you may, again,
13 see a performance enhancement then.

14 MS. TANGHETTI: Right.

15 CHAIR WEISENMILLER: At least a return to the
16 original, if not better.

17 MS. TANGHETTI: That was another thing that Paul
18 Deaver's going to look at with this data, is looking at
19 that, as well.

20 But even with the time period that we're looking
21 at, in some of the same vintages, just some generators
22 seem to have more aggressive maintenance policies than
23 others. So, that may be part of it, too. Some may
24 replace them sooner and some maybe replace them later.

25 CHAIR WEISENMILLER: Well, we certainly had the

1 one unit we lost down, you know, between -- you know,
2 at PG&E and Edison. And, basically, what the owner had
3 said was they had just deferred -- they didn't have any
4 money, so they deferred maintenance until finally
5 something went and, now, the plant's dead, you know.

6 COMMISSIONER MCALLISTER: It seems like the
7 other thing is that, you know, maybe their business
8 model might have shifted, or just the dispatch that
9 they're receiving shifts, so their capacity factor
10 changes, or they -- you know, they're just -- what am I
11 trying to say? Just they operate more hours at, you
12 know, some non-optable [sic] -- you know, in one
13 position or other of efficiency. And, therefore, maybe
14 their heat rate goes down as a result.

15 You know, operating at a lower efficiency with a
16 different kind of call.

17 MS. TANGHETTI: Yeah. If there's stops and
18 starts that are impacting these degradations, as well.

19 CHAIR WEISENMILLER: No, I remember when Edison
20 sold off its plants, the VP at the time told the workers
21 that, historically, they used to have like six starts a
22 year. And, now, they're like two to three hundred. So,
23 it was going to be they needed -- they told the workers
24 to really be prepared to, you know, turn the thing up
25 and down more than ever before, but amazing.

1 COMMISSIONER MCALLISTER: So, they're heat rate
2 would go down.

3 CHAIR WEISENMILLER: Yeah.

4 MS. TANGHETTI: Okay, thanks.

5 CHAIR WEISENMILLER: Okay, thanks. I think
6 that's all we have.

7 MR. ORTA: Good afternoon. My name is Jason
8 Orta and I'm with the Supply Analysis Office, in the
9 Energy Assessment Division.

10 The next slide, please. So, I'm here to discuss
11 the inputs and assumptions behind the North American
12 Market Gas Trade Model, which has been referred to here
13 and which I'll refer to as NAMGAS.

14 They key word here, in terms of that model, it's
15 a North American model. So, the model simulates natural
16 gas supply basins, pipeline infrastructure that's
17 connected to them, which is connected to demand centers.

18 And this is an iterative model. It iterates
19 back and forth between these components to find and
20 economic equilibrium at all nodes. So, what we get out
21 of this model is a forecast of prices, demand and
22 supply.

23 The next slide, please. So, this model is run
24 on the Market Builder Platform, which is a platform
25 produced by Deloitte. And, basically, in order to do

1 these forecasts well, we have to reconstruct the way the
2 natural gas market looks like in North America. And,
3 so, it's changed a lot in the last couple of years, so
4 staff has been incorporating these changes.

5 The model will include the assumptions in the
6 California portion of the model to account for the
7 common cases, which have presented already.

8 In recent years, there's been quite a bit of
9 change in the pipeline system capacity in North America,
10 as last IEPR, in this presentation they discussed the
11 new resources, fairly new resources coming online in
12 states, such as Pennsylvania and Ohio. But after that,
13 some of the infrastructure to transport that gas to the
14 south, towards the Gulf of Mexico, has come in, in the
15 last few years. So, we include that additional pipeline
16 capacity.

17 And closer to us, there is additional pipeline
18 capacity going in from Texas, and Arizona, and New
19 Mexico into Mexico, which expects to have a substantial
20 increase in natural gas demand over the next 15 years.

21 The market is becoming more internationalized,
22 as additional liquefied natural gas export capacity has
23 come online and is under construction.

24 And another change that we've done with this
25 model is our approach to it, is the staff approach to

1 it. So, it's more of a team effort than it used to be.
2 And staff, working in conjunction with our technical
3 support resources, so that, you know, we have multiple
4 eyes on this model. There's a lot of inputs going back
5 across time, and across space. And, again, which is the
6 North American Continent, 49 states, Canada, and Mexico.

7 The next slide, please. You've heard this
8 already. These are the assumptions we are going to --
9 the scenarios we're going to build for this model.

10 The next slide. An important -- so, what we
11 have to simulate is supply and demand of natural gas.
12 And, so, on the supply side of things, the model
13 distinguishes between proved and potential resources.
14 This is an important distinction. By proved, we mean
15 resources in which the capital has already been
16 invested, but there's some operational costs to be
17 incurred in the future. Potential resources are
18 underdeveloped resources, in which capital costs have
19 not occurred.

20 And, so, the costs of developing these resources
21 define -- you know, these are technically recoverable
22 resources and they're more likely to be developed as
23 prices rise. And, so, which, if you look at the market
24 in its current state, we've had production go up each
25 year for the last ten years. Prices are very low and

1 we're probably not going to see many of these resources
2 developed in the near future.

3 The next slide, please. So, just to give you an
4 idea about additional resources, this graph here
5 compares the user supply cost curves. The one on the
6 left is the supply cost curve in the 2007 IEPR reference
7 case, compared to the 2015 case. And we're going to get
8 updated data from the Colorado School of Mines'
9 Potential Gas Committee, in April, to update this.

10 But as you can see, basically, this is the --
11 this is, basically, because of the advent of fracking,
12 and shale, and extraction of gas from shale, you see the
13 cost curve going to the right, which means more can be
14 produced at the same cost.

15 The next slide, please. A lot of the time that
16 we spend on this model is trying to build reference
17 cases for demand. And this means putting in
18 information, demand-type information for the 49 states,
19 Mexico, and Canada. So, this is done through what we
20 call the small M model, which is a model within this
21 large model. And, so, this model will include once we -
22 - we're currently building the reference case. And once
23 we're ready to input, for instance Angela's data, we
24 will modify this to include modifications for California
25 and the WECC.

1 So, the next slide, please. So, what we do is
2 we model demand in five sectors, residential,
3 commercial, industrial, power gen, and transportation.
4 So, a lot of this relies on recent historical demand for
5 gas. That, you know, basically, that what's happened in
6 the past is an indicator, not the complete indicator,
7 but it's an indicator of what will happen in the future.

8 So, in the area of residential and commercial,
9 the variables we use are mostly similar, historical
10 demand population price, and so forth. The difference
11 is that in commercial we don't incorporate population as
12 a variable. But in residential we do figure that more
13 people need heating when it gets cold in the winter, if
14 there's more people around then, potentially, you'd have
15 an increased demand for heating.

16 So, we also look at the industrial sector. In
17 modeling, the assumptions are a little bit different
18 there. We include industrial production. And, also,
19 all the demand factors incorporate various types of
20 weather. So, cold weather in the industrial/commercial,
21 and in residential. So, we incorporate cold and hot
22 weather.

23 But in power generation -- the next slide,
24 please. Power generation, we also -- and this is a very
25 important sector for, you know, obvious reasons. You

1 know, we're all concerned with the interaction between
2 gas, the gas system and the power system. So, what we
3 look at here, we look at costs of other fuels that are
4 used to generate electricity, hydroelectric and
5 renewable generation. Which, just looking at EIA's data
6 for 2015, natural gas use in the power sector, you see a
7 pretty good spike. And part of the reason for that is,
8 is that, as Angela showed you in her slide, there was a
9 decrease in hydroelectric generation in the Western
10 United States.

11 But also, since we have to pay attention to
12 natural gas demand in the rest of the country, you'll
13 see that other utility fleets in the South, in the
14 Midwest, and the East Coast, are switching more to
15 natural gas. And, so, we do see that in the data.

16 We also include -- we have a demand -- we model
17 transportation demand, as well. And this is, in terms
18 of gas use, this is a very small portion of gas demand
19 in California and throughout the country, but we do
20 include that in our model.

21 So, the estimated price elasticity, as you can
22 see it on the screen there, this is given to us by the
23 Baker Institute. And we assume that the demand for gas
24 is a fairly elastic one because of, for instance, the
25 availability of substitutes and, you know, the ability

1 to choose to whether -- for instance, residential, you
2 can use a blanket instead of turn on the heater, for
3 example. But I'm not cold right now. I know some other
4 folks were, earlier.

5 The next slide, please. Oh, next slide. Thank
6 you. So, we talk a lot about what goes on in North
7 America, as it's inputted into this model. And, so, we
8 -- one of the purposes of this exercise is to examine
9 what are some potential vulnerabilities for California?
10 What are some potential opportunities for California.

11 And, again, I keep repeating this, because this
12 is very important, the gas market is linked, so we
13 cannot look at California in isolation. Which, you
14 know, we get a lot of our gas from Canada. And some of
15 the supply in the southwest, more of it could
16 potentially go to Mexico as they switch the fuel in
17 their electricity fleets, as well, and also for in their
18 industrial facilities there.

19 So, there's definitely -- you know, we're at the
20 end of the line here, in California, but these factors
21 create opportunities and vulnerabilities.

22 The next slide, please. So, in our reference
23 case we've constructed this reference case and we
24 started with 2014. And the thing that -- what you
25 really see here is you go across these years here is

1 that, you know, we go from 2014, 2020, to 2025.
2 Throughout the continent, you definitely see the growth
3 for gas demand in the power sector. You know, we were
4 kind of -- we were looking at these numbers at first,
5 you sure that it's going to go up this much? Well,
6 between 2014 and 2015, which is the 2015 is not on this
7 slide, we saw a one trillion cubic foot increase in gas
8 demand in the power sector. And just, you know, and
9 it's -- and, so, that's huge. I mean, that's pretty
10 substantial.

11 And these are increases that you don't -- you
12 know, we have data going back about 30 years that you
13 don't really see very often.

14 Another thing that we have to assume is the
15 proved reserves. So, that's approximately 324 trillion
16 cubic feet. This was the most recent EIA estimate.
17 That is a little bit lower than the last IEPR cycle.
18 These numbers, I have colleagues who have done this for
19 years, who tell me that these numbers are revised a lot.
20 The estimated resources in places like Texas, West
21 Virginia, Pennsylvania and Louisiana decreased in that
22 time.

23 We also make assumptions, in addition to the
24 supplies, we make assumptions in terms of, for instance,
25 how much the electricity systems throughout the country

1 will go away from coal. So, we assume, based on an
2 analysis of the EIA's forecasted fuel use, that 53
3 gigawatts of coal will be converted starting in 2015,
4 going into 2050.

5 And we also incorporate, it's not on this slide,
6 but we also incorporate renewable mandates. Because
7 since we're looking at the whole continent, we look at
8 what are the various renewable standards throughout
9 North America.

10 So, the next slide, please. So, again, these
11 are some additional assumptions. These haven't changed
12 from the last report. Again, we're going to be updating
13 the reserve total.

14 Since this is a simulation that includes, that
15 tries to simulate behavior or market participants,
16 including pipelines, suppliers, et cetera, we have to
17 make assumptions on, you know, their rates of return.
18 Resources, we're assuming 12.2 percent, real after tax.
19 Pipeline investment, 8.4 percent return. And over the
20 years this has been -- these estimates come from
21 financial reports submitted by publicly traded companies
22 in this area. And these are -- you know, this is where
23 this comes from.

24 And, so, we also include scenarios for
25 additional technologies that could come in. But, you

1 know, it's other than mandates. But at the current
2 price levels right now, prices are really low so there's
3 not much discussion of that these days.

4 And, then, also include a factor for a one
5 percent technology development. Because one of the
6 things that we, going back, that you can see, basically,
7 the difference in gas and available reserves, and the
8 cost, and the ability to get more of them is based on
9 technological change. So, since we're looking at a
10 long-term horizon, that's going to be very important.

11 The next slide, please. So, the next part of
12 this presentation is where the information, the HUB
13 prices that are produced, what other Energy Commission
14 models this will be used at. For an example here, the
15 HUB prices from PG&E, City Gate, Malin, SoCalGas, and
16 others, will be used to estimate power plant Burner Tip
17 prices.

18 Another thing I forgot to mention, but now is a
19 good time to mention it, is that we produce here annual
20 HUB prices. And, so, in order to run this model here,
21 the annual price needs to be converted into a monthly
22 price, and to try to demonstrate, you know, estimate a
23 seasonal effect based on power demand throughout the
24 year. And using pipeline utilities tariffs,
25 transportation cost is added on top of that.

1 The next slide, please. One thing that I
2 figured out in listening to these presentations today is
3 that I owe a bunch of groups here some data. And, so,
4 I've listed the various models that will incorporate
5 that HUB price data.

6 And one of the ones that I didn't include here
7 is a cost of generation model that the person running
8 that is patiently waiting for data, as well.

9 And again, when will that be available? The
10 next slide, please. Staff is scheduled to have these
11 results in mid-March. And the findings from those runs
12 that will include the IEPR scenarios, will be ready by
13 then, with a workshop that's already been scheduled for
14 Tuesday, April 25th.

15 So, if there's any questions or comments, I will
16 be glad to address them.

17 CHAIR WEISENMILLER: Yeah, I had a question and
18 a comment, both.

19 MR. ORTA: Sure.

20 CHAIR WEISENMILLER: So, starting with the
21 question. You know, from when I've been in Mexico, it's
22 pretty clear that Texas is trying to really sell a lot
23 of gas to Mexico. And I was wondering how you're
24 factoring that into the analysis?

25 MR. ORTA: Well, we do include demand nodes,

1 demand centers on the other side of the border. And to
2 build our reference case, we used their forecasts of
3 demand from their Ministry of Energy in Mexico. And
4 they're looking at pretty aggressive growth. And, so,
5 we incorporate that.

6 But we've also, as I mentioned earlier, there's
7 additional pipeline infrastructure coming in from West
8 Texas. And, so, that's being incorporated. That's
9 already incorporated into the model, as well. So, we've
10 -- a lot of the work we've spent so far, since there's
11 been all these changes in the last few years, is try to
12 play catch up with the existing infrastructure.

13 CHAIR WEISENMILLER: Okay. And in terms of
14 comments, I mean, one of the things we struggled with on
15 the last full IEPR was sort of gas prices.

16 MR. ORTA: Uh-hum.

17 CHAIR WEISENMILLER: And we had, I'm going to
18 say, relatively low prices and the model output was
19 relatively high prices. We tried to smooth that in a
20 way. But, certainly, going forward it's going to be
21 important to sort of -- you know, the shape's important.

22 MR. ORTA: Uh-hum.

23 CHAIR WEISENMILLER: And I think, as we get
24 closer to where the step was supposed to occur, you
25 know, not, obviously, we have that much of a step up.

1 But, again, I think as we go through this, it's just all
2 of us will need to focus on the gas prices. And,
3 certainly, commentary from any of the stakeholders on
4 gas prices or gas would be good.

5 MR. ORTA: Okay, great. Thank you.

6 CHAIR WEISENMILLER: Okay, so thanks a lot.

7 MR. ORTA: Thank you.

8 CHAIR WEISENMILLER: We're going to go to public
9 comment. And we'll start off with our Public Adviser.
10 We're doing some work arounds around some of the
11 logistical challenges.

12 MS. MATHEWS: Yes, this is Alana Mathews, the
13 Public Adviser. And I have a few announcements. I
14 believe Heather is going to announce that we're going to
15 have a break. And, then, I'll have some instructions on
16 how we're going to facilitate public comment.

17 So, do you want me to make those instructions
18 now, or just wait for her to make her announcement?

19 MS. RAITT: So, basically, Alana covered it.
20 Because we're having technical troubles today, we're
21 going to take a little break so that we can have folks
22 in the room be able to make comments at the tables. And
23 Alana's going to talk about how folks on WebEx can still
24 participate, because we won't be able to hear your voice
25 in the room. But she's got a work around so that we can

1 still relay any comments over WebEx.

2 MS. MATHEWS: Okay, thank you. So, what we are
3 going to do is those who are joining us by WebEx, and
4 would like to make a public comment, the Public
5 Adviser's Office is going to read your comment for you.
6 So, we are just asking that you e-mail that to the
7 Public Adviser's e-mail address. And that's simply
8 publicadviser@energy.ca.gov. And just stay on WebEx
9 because we're going to post that for you. Again, it's
10 publicadviser@energy.co.gov.

11 Once you e-mail those comments to us, we will
12 read them for you on the record. What we are also
13 asking is that you can use the chat function to let us
14 know you intend to submit a comment that you want to be
15 read. That way, we can monitor the e-mail address
16 account and be looking for the comments that we want to
17 have, because we don't want to miss anyone the
18 opportunity, to have anyone speak and offer their public
19 comment.

20 So, again, the e-mail is now up on WebEx. Thank
21 you.

22 Okay, the Chair is making sure that everyone
23 heard me. And I do apologize if you were just recently
24 muted. Yu didn't miss anything. Again, we have sort of
25 a two-step process. If you are joining us by WebEx and

1 you would like to make a public comment, we apologize
2 that we're having technical difficulty and are not able
3 to allow you to make your comments, yourself. The
4 Public Adviser's Officer will receive your comments and
5 read them for you.

6 So, the two-step process is, one, we want you to
7 use the chat function to indicate to staff you will be
8 submitting a comment that you want read. Once you
9 indicate that, using the chat function, please e-mail
10 your comments to publicadviser@energy.ca.gov. And I
11 believe that the three-minute allowance is what's usual
12 given at the Energy Commission. So, we will do our best
13 to make sure what you e-mail to us can be completed
14 within the three-minute time frame.

15 If you have any additional questions about how
16 this process is going to work, or you want confirmation,
17 you can still use that e-mail address,
18 publicadviser@energy.ca.gov. Thank you.

19 (Off the record at 3:46 p.m.)

20 (On the record at 3:52 p.m.)

21 CHAIR WEISENMILLER: Great, we're ready.

22 Please, we have one public comment. Yeah, we
23 have one public comment in the room.

24 MR. ADDY: I guess this is it?

25 CHAIR WEISENMILLER: Yeah. Actually, so there's

1 two mics there. One of them is on the internet and one
2 of them is for the room.

3 MR. ADDY: I see.

4 CHAIR WEISENMILLER: So, if you can somehow
5 speak into the room, we're set.

6 MR. ADDY: Both of them, all right. Okay.

7 Well, thank you, Commissioner. My name is
8 McKinley Addy and I'm with Atra, the virtual integrator
9 of low-carbon/high-efficiency technologies at scale.

10 I appreciate the opportunity to comment. I have
11 a greater appreciation for the value of the IEPR process
12 and the exercise, now that I'm no longer with the Energy
13 Commission, and I want to comment the staff for their
14 work.

15 By way of feedback, I want to highlight the
16 importance of the CEC's IEPR work and, in particular,
17 the transportation energy price forecasts.

18 In my past role as part of the team here, my
19 colleagues and I were consumers of these fuel price
20 forecasts for internal analytical purposes, and policy
21 reports, and goal setting, and so on.

22 In my new capacity with Atra, we rely on these
23 forecasts for investment decisions. And I was
24 surprised, recently, when a leading industry partner,
25 who's considering investing in California's auto tech

1 space, highlighted the uncertainty around natural gas
2 prices into the future as one factor in the investment
3 decision making process.

4 And as I listened to Lynn Marshall's
5 presentation, it seemed to me that changes in
6 electricity rate structures can also be a consideration
7 by private parties exploring investments in the
8 transportation electrification segment.

9 Both observations point to the importance of
10 CEC's transportation energy demand and fuel price
11 forecasts, and staff's efforts to develop robust
12 forecasts on which business decisions can be made.

13 We are looking to the CEC's IEPR process for
14 competent forecasts that industry has confidence in to
15 make investment decisions, as several industry leaders
16 are relying on the timely availability of this
17 information from the transportation energy demand and
18 fuel price analysis to make some pending decisions.

19 The timely availability of this information will
20 move these decisions forward. And we encourage the
21 agency to do the best that it can. And to the extent
22 that we can contribute to the process, we'll be happy
23 to. Thank you.

24 CHAIR WEISENMILLER: Well, thanks. Thanks for
25 being here today. I think it's really good to hear the

1 feedback, to the staff that, indeed, their analysis
2 really matters.

3 And, also, at the same time to really get it
4 right. You know, I remember over the years, when I was
5 doing due diligence, I always got to sign the affidavit
6 saying, this is based on my best professional judgment.
7 And always wondering, okay, this billion dollar project
8 goes down the tube, what happens next? But,
9 fortunately, I maintained my reputation. So, thanks.

10 MR. ADDY: Thanks so much.

11 CHAIR WEISENMILLER: Do we have anyone on the
12 phone? As we said, we have this arrangement where, if
13 you send an e-mail to the Public Adviser, it will be
14 read into the record.

15 If there's none then, certainly, again, we're
16 happy to take -- I'll go back to Heather to make the
17 public comment -- or not the public comment, but the
18 comments on this workshop and whatever, two weeks.

19 MS. RAITT: Maybe you can repeat this, as this
20 is not going over the WebEx, but due on March 8th, I
21 think.

22 CHAIR WEISENMILLER: Okay, on March 8th, written
23 comments are due. We're certainly looking forward for
24 written comments. As I say, we've flagged a number of
25 issues we'd love to have more comment on from today, or

1 feedback from anything from today would be great.

2 So, again, thanks. And this meeting's

3 adjourned.

4 (Thereupon, the Workshop was adjourned at

5 3:57 p.m.)

6 --oOo--

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2017.




Kent Odell
CER**00548

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of March, 2017.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520