

DOCKETED

Docket Number:	17-IEPR-13
Project Title:	Strategic Transmission Investment Plan
TN #:	217924
Document Title:	Transcript of 05242017 IEPR Lead Commissioner Workshop on Strategic Transmission Planning
Description:	Transcript of 05/24/2017 IEPR Lead Commissioner Workshop on Strategic Transmission Planning: Interactive Data Platforms to Support Collaborative Planning and Advanced Technologies
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/7/2017 2:46:55 PM
Docketed Date:	6/7/2017

CALIFORNIA ENERGY COMMISSION
 IEPR LEAD COMMISSIONER WORKSHOP

In the Matter of:) Docket No.
) 17-IEPR-13
)
) WORKSHOP RE:
2017 Integrated Energy Policy) Strategic Transmission
Report) Planning: Interactive
<hr/>) Data Platforms to
	Support Collaborative
	Planning and Advanced
	Technologies

IEPR LEAD COMMISSIONER WORKSHOP ON
 STRATEGIC TRANSMISSION PLANNING:
 INTERACTIVE DATA PLATFORMS TO SUPPORT COLLABORATIVE
 PLANNING AND ADVANCED TECHNOLOGIES

CALIFORNIA ENERGY COMMISSION
 THE WARREN-ALQUIST STATE ENERGY BUILDING
 FIRST FLOOR, ART ROSENFELD HEARING ROOM
 1516 NINTH STREET
 SACRAMENTO, CALIFORNIA

WEDNESDAY, MAY 24, 2017

10:04 A.M.

Reported By: Peter Petty

APPEARANCES

Commissioners Present

Robert Weisenmiller, Chair

Karen Douglas

Andrew McAllister

CEC Staff

Heather Raitt

Scott Flint

Misa Milliron

Judy Grau

Also Present

Ken Alex, Director, Governor's Office of Planning and
Research and Senior Advisor to the Governor

Panelists

Kevin Hunting, CA Department of Fish & Wildlife

Zachary Townsend, California Government Operations Agency

Lorelei Oviatt, Kern County

Kevin Richardson, Southern California Edison

Kim Delfino, Defenders of Wildlife

Steve Chung, Department of Defense

APPEARANCES (Cont.)

Panelists (Cont.)

Garry George, Audubon

Stephanie Dashiell, The Nature Conservancy

Ed Thompson, American Farmland Trust

Neil Millar, California Independent System Operator

Tom Bialek, San Diego Gas & Electric

Tony Deluca, Sacramento Municipal Utility District

Wendy Zhang, Pacific Gas & Electric

Alex Morris, California Energy Storage Alliance

Public Comments

David Townley, CTC Global

Todd Ryan, Smart Wires

I N D E X

Welcome & Introduction	5
Opening Comments	6
Policy Perspectives on Using Interactive Data Platforms to Support Collaborative Planning	16
Project Examples - Using Interactive Data Platforms to Support Collaborative Planning	61
Maximizing Existing Transmission through Use of Advanced Technologies and Targeted Resources	102
Public Comments	177
Closing Comments	182
Adjournment	183
Court Reporter's Certification	184
Transcriber's Certification	185

1 P R O C E E D I N G S

2 May 24, 2017

10:04 a.m.

3 MS. RAITT: Good morning and welcome to today's
4 IEPR Workshop on Strategic Transmission Planning:
5 Interactive Data Platforms to Support Collaborative
6 Planning and Advanced Technologies.

7 I'm Heather Raitt, I'm the IEPR program manager.
8 I'll go over housekeeping items. If there's an emergency,
9 we need to evacuate the building, please follow staff --
10 please go ahead and follow staff to Roosevelt Park which is
11 across the street from the building.

12 We are being broadcast through our WebEx
13 conferencing system so please be aware that you're being
14 recorded. We'll have an audio recording for the workshop
15 posted in about a week and a written transcript in about a
16 month.

17 We will have an opportunity for public comments
18 at the end of the day. If you'd like to make public
19 comments, please fill out a blue card and give it to our
20 public advisor Rosemary is here, she can take your blue
21 cards. And we will be limiting comments to three minutes.
22 For WebEx participants, go ahead and raise your hand to let
23 our WebEx coordinator that you'd like to make comments at
24 the end of the day.

25 Written comments are welcome and due June 7th.

1 The materials for the workshop on the public notice
2 explains the process for submitting comments.

3 And with that, I'll turn it over to Chair
4 Weisenmiller for opening remarks.

5 MR. WEISENMILLER: Good morning. I'd like to
6 thank everyone for being here and for their participation
7 today. Obviously this is a very important topic going
8 forward as we look at major infrastructure such as
9 transmission to really figure out how to be smart from the
10 start on where to put it.

11 And also as part of that smartness is to think
12 through adaptation, you know, and again I think we've
13 developed a -- had a fairly long vigorous activity on the
14 DRECP, we've developed some tools coming out of that.
15 Certainly in the R&D side, we had some great tools on
16 climate adaptation and I think it's with this -- today's
17 workshop is really try to figure out how to get those into
18 more general use and what things they need in terms of, you
19 know, make it more user friendly and more usable. But
20 basically it's very important on our infrastructure to do
21 stuff right.

22 MS. DOUGLAS: Thank you, Bob.

23 I'll just add as Chair Weisenmiller said, you
24 know, we have been at this a long time. The state has been
25 working very hard and the energy agencies when we talk

1 about energy infrastructure to meet our climate goals, our
2 GHG reductions, our renewable energy goals, and that has
3 necessarily involved the construction of new
4 infrastructure, planning for new infrastructure, both
5 renewable energy projects, transmission in particular.

6 And of course as we've moved forward and done
7 that, we've seen that there's been a tremendous amount of
8 interaction between our energy goals and how those play out
9 on the landscape when you meet those goals and other
10 sectors and other values whether that be conservation, you
11 know, biodiversity, water sheds, water impacts, water
12 supply, farmland, local economic interest, military uses of
13 land, you know, other infrastructure plans and planning
14 processes. Climate change, climate adaption considerations
15 on both the mitigation side and possibly on the, you know,
16 climate impacts on infrastructure side.

17 And so -- so there's been a real need to stitch
18 together these different considerations both because
19 actually permitting infrastructure works better when people
20 are consulted in advance and build the idea, the
21 infrastructure into their planning and it meshes with other
22 ideas that are -- are also moving forward in the landscape
23 and of course the local governments are often the epicenter
24 of where all of this comes together. So working with local
25 governments and ensuring that the energy perspective from

1 the state perspective, and the utility perspective, and the
2 local government perspective, come together and we can work
3 in a collaborative way.

4 And so the, you know, the DRECP, the desert work
5 was really, you know, on the energy side, you know, the
6 first time that we moved in to using these advanced data
7 platforms. And a lot of the examples that we'll talk about
8 today use one particular platform.

9 But in general, the concept is platforms that
10 allow for a really interactive use of data. Platforms that
11 allow multiple parties to provide data that allow you to
12 access data from multiple sources, that allow you to work
13 together in one work space, you know, from different
14 agencies that allow you to involve and engage stakeholders
15 in different ways and much more interactive ways. And that
16 allow you to take the work that's been done in the past or
17 that you're doing today and position it so that the next
18 project that comes along doesn't have to start over. The
19 next project that comes along can see exactly what you did,
20 how you did it, what needs to be updated, what needs to be
21 added, and build on what you've done instead of the first
22 step being, you know, finding somebody to go manually or
23 otherwise gather everything that's been done in the past.

24 And so there's a lot of potential for efficiency,
25 there's a lot of potential for working collaboratively, and

1 it helps not only in avoiding impacts, but -- or reducing
2 impacts, which is the way I think we initially came into
3 this and thought about this. But it helps in terms of
4 setting the stage to solve for multiple problems together
5 in a landscape where there are limits and there are --
6 there are policy drivers that are pushing us in different
7 directions in multiple ways. And whether those policy
8 drivers come from water or ag or renewable energy or
9 national security or where they come from and we need to
10 find ways to harmonize those policy drivers as best we can
11 and meet those goals.

12 So this is a way of helping us do that. I'm
13 really looking forward to the presentations. We're going
14 to hear from some people who've -- who've really shown a
15 lot of leadership and creativity in this area. And I'm
16 pretty excited about it.

17 Ken.

18 MR. ALEX: Thank you, and good morning. I really
19 want to thank the Energy Commission and commend them for
20 the work in this area. I think they've taken very much the
21 lead in the state and in particular Karen Douglas and Scott
22 Flint of her staff have been really instrumental in moving
23 this set of issues forward.

24 Having said that, I think the state still has not
25 taken full advantage of the massive availability of data

1 and the various data software and platforms that we could
2 use, I think, to fuller advantage. I think it can lead to
3 and hopefully we'll hear -- I know we'll hear today about
4 some of the prospects for improved decision making,
5 transparency, public participation. It's going to require
6 some investment and some work but I think we've already
7 established that it has really substantial rewards.

8 We have the ability now to have multiple
9 participants use the same data in different ways pretty
10 much simultaneously doing things like building maps based
11 on their data that as they see it and then comparing them
12 in real time to maps drawn by other individuals and other
13 interest groups. Very quick example that we may hear a
14 little bit more about today. We did a convening around the
15 potential to locate solar projects in the San Joaquin
16 Valley. The way historically it's been done is solar
17 projects pick -- project proponents pick a location and
18 then everybody tells you why that location isn't really
19 great.

20 So we thought maybe we should think about looking
21 at places that -- that are the least conflict areas and to
22 try to do that up front so that we have a sense of least of
23 what areas might be possible. So over a process that took
24 really just a few months, we had over 200 stakeholders
25 including local governments, businesses, NGOs, state and

1 federal advisors, and a whole slew of different types of
2 participants with over a hundred WebEx interactions. They
3 drew multiple maps and identified some hundreds of
4 thousands of acres of possible least conflict areas to
5 think about building solar. That has a lot of implications
6 for decision making.

7 We think that, as Karen just mentioned, that this
8 approach could be more durable. The Desert Renewable
9 Energy Conservation Plan used some of these techniques and
10 now we're following up with some research conservation
11 evaluations that build on the Desert Renewal Energy
12 Conversation Plan.

13 It's clearly more transparent. Some of these
14 processes live today in a very public way and we encourage
15 people to use them and to interact with them. And one of
16 the most appealing things to me is how easily the
17 information can be integrated. You can look behind the
18 assumptions that go into the mapping processes and to any
19 of the evaluations done by the parties in real time.

20 It's also conversational in a sense, it really
21 leads to different groups and individuals talking to each
22 other. We saw this in the San Joaquin solar effort.
23 People who really hadn't discussed issues directly actually
24 had some very useful conversations that we think will lead
25 to better decisions in the future.

1 So I'm a very strong advocate for increased use
2 of these tools. I would like to see us continue to build
3 what I think of as something of the California mosaic where
4 we have many layers of data from groundwater up to
5 atmospheric conditions. With the onset of climate change,
6 we can add models that show change over time that integrate
7 and interact with this data as well. So I -- I think it's
8 something that the state needs to continue to develop and
9 strongly move forward with.

10 Thank you very much.

11 COMMISSIONER MCALLISTER: So just briefly. I'm
12 lead on energy efficiency so maybe people are wondering
13 what the heck I'm doing here.

14 But actually, you know, Commissioner Douglas's
15 and Ken Alex's comments just now really segue very nicely
16 into why I'm here. I feel like, you know, not only is it
17 groundwater to atmosphere, it's also everything in between
18 which includes our build environment. And, you know, I've
19 been a very strong advocate on the data front in the energy
20 efficiency arena, and certainly we're building a bunch of
21 tools that actually have a lot in common with the DRECP
22 analyses for determining how and whether we're meeting --
23 how we're going to meet and whether we're meeting our
24 doubling of energy efficiency goals.

25 So that's parcel data. It's got locational, it's

1 got, you know, locational geographic aspects to it,
2 temporal aspects to it. Certainly we all would benefit
3 from having visual representations of our local
4 jurisdictions, overlaying that on our various resources
5 certainly for, you know, for rooftop solar, say, or that
6 sort of thing but also just under using, you know, the
7 evolution of energy consumption data, building that into
8 these kind of tools so that we can actually do much more, I
9 think creative analyses. I mean, the analytical
10 possibilities are endless and I think if we build these
11 tools, a lot of smart people will engage with them and come
12 up with things we never imagined.

13 And so I'm interested in being here today to find
14 out a little bit more, you know, more than peripherally
15 which is kind of where I've been on the DRECP, but
16 understand some of the powerful tools have been developed
17 in that context and look for commonalities. These bottom
18 up resources really matter whether you're looking at
19 transmission or large-scale investments all the way down to
20 individual property-level investments, you know, for a
21 homeowner, say. And so the aggregate really matters and I
22 think we all start with a relatively small scale and we --
23 we roll up into this aggregate.

24 So if we want to do good policy and truly if we
25 want to integrate, you know, we live in a diverse complex

1 multiple scale kind of energy system now and it's only
2 going to get more so. If we really want to make integrated
3 decisions, we have to be able to compare apples and oranges
4 and we have to feel like we are understanding all the
5 various implications of those decisions. And so if we're
6 talking, you know, power plants, large-scale renewables, or
7 we're talking demand response, we need to be able to
8 understand how those actually compare in reality and I
9 think these kind of tools will enable that in a very
10 compelling way. And that's kind of the leadership that I
11 think we need to show in California is think about these
12 things creatively.

13 So anyway, I'll stop there. But that's why I'm
14 interested in leveraging investments that we've made on one
15 side to do things better and more efficiently on the other
16 side. And all the arenas that we cover here at the Energy
17 Commission and across the state, I mean, this is actually a
18 relevant conversation across the energy agencies and the
19 Natural Resources Agency. And I -- I don't think any one
20 person, certainly not myself, knows -- has a good sense of
21 all the potential power of these kinds of tools.

22 But that's why we live in California and we've
23 got 39 million people and growing and we've got Silicon
24 Valley just down the road and a lot of smart people in
25 universities and we're going to have some beautiful

1 knowledge come out of these resources.

2 So thanks.

3 MS. DOUGLAS: I just wanted to say really briefly
4 in response to Commissioner McAllister's comments. You
5 know, I'm really pleased with his leadership and supportive
6 of his leadership on the data front and energy efficiency
7 and just finding ways to think about how we deliver energy
8 efficiency, how we demonstrate the benefits of the
9 programs. And I do think there's a real potential to look
10 at tools like this and think about, you know, how do we
11 target programs? How do we best account for their
12 benefits? How do we identify areas of real potential where
13 you have multiple benefits? And you can begin to quantify
14 those, whether those are multiple benefits on, you know,
15 certain areas where you get more efficiency savings, more
16 benefit to the transmission or distribution system, where
17 there are water use or other implications that support and
18 that can help justify programs in some areas. Because it's
19 really obviously not uniform, and there are some areas
20 where there's just tremendous potential for multiple
21 benefits. So it's pretty exciting to think about how to do
22 that.

23 So I think with that, why don't we go to Scott.

24 MS. RAITT: I'll just say that we have three
25 panels. The first one's on Policy Perspectives on Using

1 Interactive Data Platforms to Support Collaborative
2 Planning. And the moderator is Scott Flint.

3 MR. FLINT: So, thank you, Commissioners and good
4 morning. Thank you, Mr. Alex.

5 Good introduction, I can get through my slides
6 faster. Thanks. I can't get away from slides for some
7 reason. I'm going to lay out a couple of things just to
8 kind of prep the panel and say a little bit about what the
9 Energy Commission has been doing and what we're still doing
10 this year that's relevant.

11 Next slide, please.

12 So for the past ten -- it's been ten years now
13 CEC has led or participated heavily in a series of
14 collaborative planning processes and they're on the slide
15 here, I won't go through them all. But they range from the
16 Desert Renewable Energy Conservation Plan which was agency
17 driven and regulatory -- for regulatory purpose. And the
18 complete opposite San Joaquin solar -- San Joaquin Valley
19 solar lease conflict lands which Mr. Alex described earlier
20 that was a stakeholder driven process by using similar
21 approaches and tools and information that we participated
22 in.

23 And all of these processes have been driven by a
24 common set of overarching mandates and goals. The
25 California climate goals for GHG reduction, renewable

1 portfolio standard energy goals, conservation goals for
2 species and habitat, and state -- and also to maximize the
3 use of the existing transmission system. So we've been
4 bringing information to bear on supporting delivering
5 renewable energy generation, the associated transmission in
6 an environmentally responsible manner. These processes have
7 all been supported by an unprecedented amount of outreach
8 and input from stakeholders and unprecedented amount of
9 partnering with agencies. Agencies, NGOs, and the local
10 governments, so at least 35 by my last count. And we're
11 not talking about once or twice, it's routine and ongoing.

12 Next slide, please.

13 And each of these efforts were supported by and
14 guided by the use of high-quality science and science-based
15 information. For several reasons, most agencies do have
16 a -- follow a mandate to use best available science to
17 support their decisions, use of the best available
18 information is demanded by the stakeholders and the public
19 that participates in these processes. And in the end,
20 we've learned that through utilizing the best available
21 information and making it be easily understood by folks, we
22 have plans and permits, for example, that harbor less
23 uncertainty about environmental impacts and mitigation and
24 better -- and plans and permits that are better understood
25 and accepted by those who have to implement them and those

1 who are watching over them.

2 In doing this work this way, we've assembled a
3 massive amount of information to assist with these planning
4 efforts. And I'm not kidding, just some of the climate
5 modeling work that goes into the California Climate Console
6 which is a planning overlay that we can use for -- in
7 various purposes has 900 data sets. And so each of these
8 efforts have -- and each of these different groupings of
9 data sets of data that we're putting together have a
10 tremendous amount of data behind them.

11 Next slide, please.

12 Taking direction from recommendations in the
13 Renewable Energy Transmission Initiative 2.0 plenary and
14 technical reports and the 2016 integrated IEPR policy
15 report update, Energy Commission staff are working to
16 complete the assembly of planning data sets and decision
17 support tools to assist with ongoing and future energy
18 planning work.

19 I'd just like to point out a few of those
20 specific recommendations. First from the RETI 2.0 plenary
21 reports and technical reports, agencies and stakeholders
22 should work together to complete the environmental report
23 writer which is a functionality that we developed during
24 that process and use the data in landscape scale planning
25 processes. So that information could be easily used in

1 planning and decision making.

2 Next slide, please.

3 The integrated energy policy report update
4 directing us to continue to apply proactive tools and
5 approaches like landscape planning to help meet renewable
6 energy and GHG reduction goals and to integrate the
7 information gathered from the processes that we've already
8 completed so that it could be used to inform additional
9 planning work for other areas of the state.

10 Next slide, please.

11 So that's what we're doing and in the next -- the
12 Commission staff have already initiated this work in
13 completing, building out data sets to assist with statewide
14 energy planning. And so when I talk -- I use the word
15 statewide but if you look at the map when we say statewide,
16 we're really focused on the areas with the highest
17 renewable energy resources that we've been working on.

18 So the maps here, they're a little misleading.
19 There is a legend but the pinks are different in the
20 different areas. In the south, we just want to represent
21 that we have completed a consistent set of data for the
22 DRECP planning area which is the farthest southeast on this
23 map. The San Joaquin Valley planning work that we did but
24 we have not built that data and we're currently working to
25 do that for the other two areas of the state. So what

1 you're seeing in those other empty things but in pink and
2 purplish color are high-energy resource areas identified in
3 various ways by various data sets. So we still have to
4 continue the work to fill out that part of the state. And
5 that's what we're doing.

6 So we expect to apply the information we have
7 developed and it will be invaluable to facilitate
8 additional energy planning activities both by the Energy
9 Commission and the local agencies, look at siting
10 considerations, even help identify preliminary
11 environmental work and information needed when we get to
12 the site-specific level. But also folks involved with
13 planning in California know that this type of information
14 which consists of information on energy resources
15 information, biological information on species and
16 habitats, and then information on land use, land cover, and
17 agricultural land use are, you know, are key data sets to
18 have a starting point for any planning effort in
19 California.

20 So we expect the data and tools that we're
21 building to be relatable and certainly usable in climate
22 adaptation planning, conservation planning including the
23 regional conservation assessment work, regional
24 conservation investment strategy development,
25 transportation planning, local land use planning, water

1 planning, et cetera. The information is universal. We've
2 been using it and focused on energy.

3 Next slide, please.

4 Another thing that we're doing as part of our
5 work going forward, we've built data and the tools in
6 somewhat of an ad hoc fashion to support these projects or
7 bring that information all together on a statewide energy
8 gateway. This will be available soon and will serve as a
9 single point of access to access the information, data, and
10 tools from those applications in Data Basin. And we have
11 been using and working with the Cal -- the Conservation
12 Biology Institute in Corvallis, Oregon, to utilize their
13 Data Basin -- existing Data Basin system which is a web-
14 based mapping and data platform.

15 So here future here this would also be the main
16 point of access for the California Climate Console which we
17 put together. And when it goes online, we'll have
18 placeholders for the work that we're currently doing to
19 build new functionality that will help us use that
20 information we're developing statewide for additional
21 planning work.

22 Next slide.

23 So Data Basin has quite a bit of functionality.
24 It was designed not just as a data portal, it was designed
25 to provide enhanced access and integration of data. It was

1 designed to be easy to use and it was designed to support
2 collaboration. We went to Data Basin for the science. We
3 went there really to get science support building
4 ecological modeling and helping us assemble data in ways
5 that were more meaningful to display and easier for folks
6 to understand in using the process and that includes agency
7 staff and stakeholders and the public included.

8 So we went there for the science, but we stayed
9 for the collaboration. Because when we were there working
10 with Conservation Biology Institute -- next slide,
11 please -- we also found that the Data Basin site that they
12 have -- that they had already built had pretty robust
13 functionality for what I call data socialization or
14 allowing you to interact, communicate, collaborate with
15 users. So it's really those points in the system where
16 we've been really innovative in our planning. And so just
17 to mention a few things, we've built a lot of what are
18 called data logic models, they assemble complex data sets
19 and multiple data sets into more useful sorts of maps and
20 allow people to understand that. We've included
21 stakeholders in building those so they can see their own
22 values reflected in the various tools and maps that go into
23 the process and the analysis and that's a pretty innovative
24 approach.

25 Another innovation is we've put all the data up

1 here from all of our projects and it's freely -- it's
2 freely accessible and downloadable so anyone can get it.
3 And there's a guarantee you'll have the most current and
4 the right data to work on your project.

5 And thirdly, we went as far as during the DRECP
6 using functionality, existing functionality in Data Basin
7 to create an online commenting tool during the EIR review
8 process, EIR, EIS review process that allowed people to
9 just get on the map and give us their comments specifically
10 by drawing on a map, putting a dot on a map, putting
11 comments that are attached to that dot, much really easy
12 for them to do, really easy for the agencies to interpret
13 and understand the comment in relation to the maps and the
14 information that we used to develop the different
15 alternatives in the plan.

16 So that's -- next slide. That's all I really
17 wanted to do to set things up here today. So just to give
18 you an idea some of the uses and a continuing use. So
19 coming back -- and moving -- coming back and moving forward
20 as we do the Energy Commission work. As other agencies
21 both state and local are using this information, tools have
22 been developed as a starting point or as again put to their
23 ongoing planning work, come back to the questions that we
24 shared with the policy panel. And they're here on the
25 screen, I'll just briefly paraphrase.

1 How do geospatial planning and access to quality
2 data sets and information help inform renewable energy
3 development and assist conservation planning in local
4 efforts? How should this information be used to best
5 assist planning efforts and improve collaboration in
6 stakeholder participation and the quality and transparency
7 of decisions? So we're talking about information and
8 systems that we've described here. And how can this
9 interactive data platform be deployed and improved to best
10 support a variety of planning efforts?

11 So those are the questions we've put out. Panel
12 members are welcome to talk to whatever points they want
13 from the point -- their point of view or to address one or
14 several of these questions that went out.

15 So we have -- each panel -- we'll go around, each
16 panel member, please take about five minutes to discuss
17 your position and what you want to get out on this. And
18 we'll just go around the room this way and we'll have some
19 time -- about five minutes each will leave us some
20 interaction time with the dais. So that's the plan.

21 I'll just start on my right, Kevin Hunting,
22 California Department of Fish and Wildlife.

23 MR. HUNTING: Thanks very much, Scott.
24 Commissioners. Appreciate you raising this topic, it's
25 obviously a very contemporary and important topic and one

1 that, you know, from the perspective of the programs that
2 my department administers is, you know, at kind of the apex
3 of our thinking about how we move new things forward from a
4 planning standpoint.

5 So I will address these questions here in a
6 minute, Scott, I want to make a few remarks and I've got
7 four or five suggestions that I hope just again from kind
8 of the natural resource planning perspective I can offer
9 for those that are practitioners of multiscale planning and
10 are using data and collaboration tools as part of those
11 efforts.

12 So, you know, back in I think it was 2004 I was a
13 newly minted chief of our habitat conservation branch, got
14 invited to a meeting at the Bureau of Land Management,
15 Department of Energy was there, and they pulled out some
16 topographic maps and a big felt pen and said here's our
17 corridors for transmission and here's where they go through
18 California. And, you know, I thought to myself is this how
19 it's done? You know, raised some issues about possible
20 conflicts certainly with our conservation as their state
21 owned lands. We'll get to that later.

22 You know, I think that kind of illustrates how
23 far in maybe just ten years this has evolved. And, you
24 know, our natural community conservation planning program
25 which is our flagship kind of conservation planning efforts

1 from my department really started the same way, topo maps,
2 felt pens, pens, you know, what species are out there. It
3 was just professional judgment. We didn't have a lot of
4 good data and information to rely upon. And those first
5 NCCPs, you know, 20, 25 years ago are still moving but sure
6 would have benefitted from a more robust approach to data
7 management and incorporating data.

8 And, you know, here we are in 2017, I've been
9 through DRECP for several years, was involved with a lot of
10 the individual permitting for these energy projects and
11 kind of watched the evolution of how we use data in these
12 systems. And I think the DRECP was a huge step forward.
13 You know, love it or hate it, it delivered a data, a robust
14 data and collaborative platform that didn't exist before
15 that planning effort. And that's one of the real big take
16 homes from that effort.

17 You know, I said it then and I'll say it now. I
18 mean, we would not start another NCCP in California without
19 first having something like that in place. It's that
20 central to what, you know, to our -- to meeting the needs
21 from the Natural Resource Trustee Agency perspective and I
22 think from the regulating community perspective as well.

23 So I'm just going to offer a couple of ideas that
24 I think are important when considering these efforts and
25 how we, you know, look at data. You know, I would

1 especially in transmission but just also in the regional
2 conservation investment strategy world or NCCP world, I
3 would encourage you to really consider scale as a real
4 important first step and factor in the planning process.
5 And by that I mean, you know, it's equally important to
6 have a relatively high level, a look, you know, kind of a
7 conservation assessment approach across eco regions or
8 other large landscapes to set the stage and the framework
9 for the conversation, but siting is where the rubber hits
10 the road. I think everybody is aware of that. Certainly
11 the regulating community is and we are too from an
12 organization that provides permitting support for these
13 projects. So I scale that support siting I think is
14 critical for these planning efforts. And obviously better
15 quality data is essential for those finer scale planning
16 efforts.

17 You know, decide on these planning efforts
18 whether this is a regulatory or nonregulatory or a hybrid
19 approach to planning. I mean, for example, DRECP really
20 was a high kind of a large-scale expression of conservation
21 priorities and renewable energy development opportunities
22 in California and the California desert. If you look at
23 our NCCPs, those are really highly reg -- those are permit
24 program, highly regulatory kind of perspective on planning
25 at a much finer scale. So it's important to think about

1 scale when you're embarking on these efforts.

2 And then just kind of going back to a comment
3 that Ken offered, you know, these data platforms should not
4 only support the robust planning effort but really
5 implementation of the plan. If you're going to build the
6 platform to support the planning, it should follow through
7 with implementation.

8 I agree with Scott, Data Basin, the collaborative
9 feature of Data Basin is really beneficial and is one of
10 the reasons why I would say an NCCP is we wouldn't do
11 another one without it. It provides a common language for
12 those conversations. And, you know, Ken mentioned a
13 conversation starter, another benefit of that kind of
14 platform is, it -- it provides the vehicle for interactions
15 between a regulated entity and the trustee departments like
16 mine. You know, oftentimes we find we're speaking slightly
17 different language than the planning proponents or the
18 regulated community at some of these efforts and I think
19 these kind of platforms can provide that level playing
20 field to have the conversation start kind of on an equal
21 footing. So I think that's really important.

22 Whether it's Data Basin or another platform,
23 integrating existing data sets and existing data platforms
24 into the picture is critical. So a mechanism through which
25 we can pull in not just the data, for example, from my

1 department, but the approach to analyzing or providing
2 those data to the public is also important. Integrating
3 those approaches so that we have the most robust look at
4 the data possible.

5 And then finally, I'd offer, you know, we should
6 consider policy incentives both in the legislative and just
7 in the regulatory kind of arena to strongly encourage the
8 use of these approaches in planning whether it's
9 transmission planning or other types of conservation
10 planning. You know, I've seen some recent and through
11 recent legislative efforts, nods towards this but I would
12 suggest we could probably use a little bit stronger signals
13 from a policy standpoint, especially from the state to make
14 sure that we're reinforcing to everyone the importance of
15 having robust data sets and delivery systems for these
16 planning efforts.

17 So, Scott, back to your question here --
18 questions here. I mean, Number 1, the obvious answer is
19 they do those planning tools and access to these data sets
20 do promote, I think, responsible renewable energy
21 development and assist conservation by providing the
22 foundation for decision making on whether it's renewable
23 energy development or the conservation element of planning.

24 And how this information could be used to best
25 assist the planning efforts, we talked about it a little

1 bit. You mentioned it in your presentation, Scott, I think
2 I've offered a couple of ideas on how we can make that
3 better. The most important one in my mind is at the --
4 develop these systems, these data delivery and analytical
5 collaboration systems at the beginning of the process
6 rather than at the end or in the middle. That was a lesson
7 learned from DRECP and from other efforts. It's important
8 to get that established right off the bat, I think.

9 And how can they be deployed and improved to best
10 support a variety of planning efforts? You know, that's a
11 great question, there's a lot of data systems out there.
12 State departments have them, NGOs have them, CBI has one,
13 they exist everywhere. There's several smaller underground
14 data systems that really aren't even visible to many of the
15 planning -- those in to the planning community. So the
16 deployment of those systems is critical, you know, getting
17 back to making sure you're fully inclusive on these data
18 systems when they're deployed. But that, you know,
19 deployment is really important to the entire stakeholder
20 community, to the trustee departments like mine, and to the
21 planning entities.

22 And I'll stop there, Scott.

23 MR. FLINT: Thank you, Kevin. Thanks, Kevin,
24 right on time.

25 Kind of hard to facilitate -- I'm used to

1 facilitating my peers not my -- facilitating upwards so,
2 I'll do my best.

3 Next -- next Zachary Townsend, California
4 Government Operations Agency.

5 MR. TOWNSEND: Hi. And thank you for having me.
6 My name's Zach Townsend, and for those of you don't know
7 the California Government Operations Agency is the sort of
8 the back office of government. We're -- we have functions
9 like the Department of Technology, Cal HR, Franchise Tax
10 Board, CalPERS, CalSTRS, things like that.

11 So it's critical to mention that since I want to
12 be clear I know nothing about transmission planning and
13 have very little expertise approaching zero on energy of
14 any kind.

15 So why am I here? Why I'm here is I'm the chief
16 data officer of California which is a very grandiose title
17 for a relatively simple concept which is that I work with
18 departments and agencies across state government to think
19 about how they can use data in new and different ways. So
20 although I won't really be able to speak to the particular
21 application that we're talking about here today, I hope to
22 give some overview on how we're thinking about these
23 questions and how different people think about them across
24 the state government.

25 I think the most important thing that I'd like to

1 just sort of say is that the purpose I think the people who
2 get the most benefit from thinking about these types of
3 tools are the people who think about the tools and then
4 reevaluate their policy process. So it is -- it can be
5 done, you just have your policy process and then you insert
6 the tool at some point of it, and I think it makes you feel
7 really good, but then you really haven't done anything
8 different than you would have done historically.

9 So it's necessary to consider how you can do the
10 process differently. One way that I see this is that the
11 feedback loop by which you sort of think about whatever the
12 policy is can be so shortened that you can do that loop
13 many more times. So if you imagine a planning process
14 where normally -- and again, I don't know anything about
15 transmission planning so I don't know what the process is
16 right now. But if you imagine a process that normally you
17 think about it for two years, you talk to the public once,
18 and then you think about it for another two years. What
19 you can do instead is say okay, we're going to use the
20 tools we have, the new tools we have to get feedback on our
21 plans every two weeks if not every two minutes over a
22 period of time to continually iterate on sort of that
23 feedback from the public.

24 And one of the most important things that I would
25 say there also is to think about the distinction between

1 the specific questions you want to answer and also what
2 sort of platform you should build so that people can answer
3 all sorts of questions.

4 When thinking about a platform, I sort of think
5 through five different steps, whether it's data or the
6 technology. The first is to think through sort of what the
7 standards are around that platform. And the reason that
8 you set standards first is so that everyone can participate
9 in the platform. It's really great if you have one
10 department who works on their 800 data sets. But if they
11 put their data in a format that is meaningless to other
12 departments or collaborators, that doesn't do you very much
13 good. So it's useful to have some sort of governance
14 process at a high level to say this is how all the data
15 should be structured, here's how we're going to describe
16 it, here's the format we hope to see it in. Completely
17 separate from where the data comes from just so that you
18 can as Commissioner Douglas said mash up the data in a
19 meaningful way.

20 The second step, I think, is to think about data
21 as a product itself. It is not merely a means to answer
22 any questions you have but is itself a product that people
23 want to consume. People inside your -- the Commission
24 would want to consume and people across, your stakeholders,
25 they want to consume that data as a product, not just as a

1 series of maps, not just inside an application but as a
2 product itself. And you need to think about how you're
3 going to open up that data, how you're going to describe
4 the data in a meaningful way. Also, how you're going to be
5 transparent about the creation and the process by which
6 that data came to be.

7 That leads to my third point -- or the third step
8 in sort of these platforms which is to have some important
9 measure of transparency. I think it's -- the distinction I
10 would draw here is to make sure that you're as transparent
11 as possible about all the elements that sort of make up
12 that system, not just the data itself. I think sometimes
13 there are terms like open data and they're thrown about,
14 but the reality is if you don't have an open standard and
15 you don't have an open process, then the transparent
16 isn't -- transparency isn't particularly meaningful. And
17 again as Commissioner Douglas said, if one of the goals is
18 to make sure that the process is replicable in the future,
19 then you have to be transparent about the process, not just
20 sort of the outcomes.

21 Fourth I think is the tools. There's obviously a
22 lot of talk about Data Basin but the tools themselves are
23 sort of obviously part of the platform thinking through
24 this but they're -- it's also important to ask questions
25 about, you know, equity, and like who has access to those

1 tools? Are they publicly available? Do they work on --
2 the simple things like do they work on browsers? Can they
3 be accessed from library computers? These are really
4 important points, they're often forgotten because we're
5 sitting on our really fancy computers in our really fancy
6 state offices. But -- well, actually, I don't know anyone
7 who has a fancy office, so. But in people's minds, I'm
8 sure they're fancy.

9 And then lastly, I would ask -- a lot of people
10 have mentioned collaboration, but I think it's important to
11 think through the question of collaboration with whom and
12 how that drives the questions you're asking in the entire
13 process. If your goal is to sit in a room with policy
14 experts and make very fine decisions, then you want a
15 platform that does certain things, answers certain
16 questions that engages people in certain ways. And if
17 you're trying to engage stakeholders that are very
18 informed, that's one -- that's, you know, another, a
19 different platform and different collaboration tool -- and
20 -- but if you want to engage John Q. Public, then you need
21 even different tool that is asking questions in different
22 ways and is much friendlier.

23 So I can say much more, I've been asked to wrap
24 up and I would -- I'm happy to answer any sort of generic
25 questions while leaving it to the expert panel on all

1 questions transmission.

2 MS. FLINT: Thanks, Zachary, for that great
3 input. I was being really subtle, thanks for announcing
4 the wrap up thing.

5 Next we have Lorelei Oviatt from Kern County
6 director of planning.

7 MS. OVIATT: Thank you so much for having me
8 today, Commissioners and Director Alex. I am not an expert
9 on energy but I think I'm an expert on siting when it comes
10 to large-scale renewable energy.

11 First, we want to thank the Commission for the
12 DRECP portion that brought Data Basin and this idea to us.
13 We have taken this idea, and I'll be talking a little later
14 about some of our projects, and actually embraced it. But
15 we've embraced it from a slightly different perspective.
16 We do think that the large-scale collaboration is a good
17 point. We've actually taken it down to the site plan level
18 because of some issues which Zachary has pointed out with
19 information technology.

20 Fifteen years ago, property owners would have
21 rebelled if you said you were going to have an online or a
22 hard copy map that showed where a San Joaquin kit fox was.
23 And it was a true issue for property owners. Now because
24 of Google Maps and you can look in your own backyard
25 online, the entire thought process has changed. And while

1 local governments have GIS systems, I can assure you they
2 are not a high priority in the budget against public safety
3 money.

4 And so GIS systems have become important at the
5 local level, but they are not funded appropriately, they
6 are not, you know, they are not used at a county and a
7 city. Some have, some haven't. Data Basin and these other
8 gateways provided an opportunity for us to go to the level
9 that we needed to go to, which is to make streamline
10 permitting and engage applicants. Applicants and property
11 owners are the ones who drive the government budget. They
12 are the ones who will clamor for these types of platforms.

13 We've actually created it as a solution to a
14 couple of issues. One is staff resources. Even at the
15 state agency level, it is highly staff -- there's a lot of
16 staff work that goes into dealing with consultants, looking
17 at the accuracy of information, and dealing with the
18 questions that developers bring or companies bring. And
19 this platform is extraordinary for actually cutting through
20 that, and creating a permit system that can streamline that
21 information and make sure that accurate information is
22 available for everyone.

23 Consultants may not like this platform direction
24 as much because it actually creates a system where we will
25 know as staff at an agency you either check -- you can

1 check the box that say it's not in a floodplain but I know
2 it is in a floodplain. And we will no longer have an
3 argument about that because of this kind of permitting.

4 So from a local agency standpoint, it's not just
5 a collaborative planning at the general plan level, but we
6 are moving forward with our general plan and we will have
7 this kind of platform from the whole 8,000 square miles.

8 And we believe that thanks to the DRECP we think our
9 deserts are done, we may need to take it down to another
10 level, but we think this is the future. These new
11 collaborative processes, the public wants these types of
12 access. We already have a GIS system but this takes it to
13 a new level.

14 So another part of this for us is that it's very
15 critical aspect in what we're calling land use rebalancing
16 for water. So especially in the San Joaquin Valley and
17 probably in other basins, we are looking at an
18 unprecedented conversation at looking at how can the
19 rebalancing of landuses for our new water constraints
20 under the Sustainable Groundwater Act also benefit
21 renewable energy siting? We are using this platform as a
22 way to get that information, create that information, and
23 provide it to the public.

24 Last thing in regards to funding these efforts, I
25 certainly support Director Hunting's call for the

1 legislation to prioritize this, but in the meantime, we are
2 actually having applicants fund this. And the tradeoff is
3 streamlined permitting. If an applicant group, an industry
4 can get streamlined permitting, then we can have them
5 funded. And then for long-term maintenance, we've actually
6 already adopted an electronic maintenance permit fee that
7 goes on every single permit and that fee is enough for us
8 to be able to maintain our platforms. We think in the long
9 run, there will be a time, there already is a time, when
10 looking at a paper map is something that only someone an
11 old person like I do and that, you know, having larger
12 monitors and larger kinds of conversations about them will
13 be more collaboratively done online.

14 And I look forward to the comments of others and
15 I look forward to presenting some of the projects that
16 we've used this platform for.

17 Thank you.

18 MR. FLINT: Thank you, Lorelei.

19 Next up we have Kevin Richardson from Southern
20 California Edison.

21 MR. RICHARDSON: Good morning, I'm Kevin
22 Richardson, a transmission planner working in the
23 generation interconnection planning group at Southern
24 California Edison. I'd like to thank the CEC and other
25 stakeholders for the opportunity to participate in today's

1 panels.

2 Edison definitely supports the geospatial
3 planning tool such as the Data Basin because it allows
4 quick, collaborative and quality work to be performed in a
5 shorter amount of time and allows stakeholders to work off
6 the same tool which aids in the transparency and the
7 effectiveness. I can initially see about four
8 opportunities at Edison for such tools.

9 The first one we're currently doing, we have the
10 50,000 square-mile service territory, we have a lot of
11 operations and maintenance work so we have crews running
12 around all over the place doing this work. And there's
13 something about an interactive geospatial map that is just
14 so much better than just a static paper map that's allowing
15 us to kind of connect the dots and use our crews more
16 efficiently.

17 But getting back to renewable energy a bit more,
18 Edison's grid is also publicly available on a map so you
19 can kind of zoom in on different transmission or
20 distribution circuits, click on a line and you can kind of
21 see the capacity, how many queue projects or how many
22 existing generation projects are on the line. And it's
23 kind of a tool to try to help developers site their
24 projects better before they actually submit an application
25 to get on into the generation or connection process.

1 But, I mean, it's kind of one dimensional. I
2 mean, how much better would it be if you had environmental
3 layers or other layers as well that we've seen in the San
4 Joaquin solar Data Basin or the DRECP Data Basin? If
5 generation developers had those kind of tools within our
6 tool, those kind of layers within our tool, how much more
7 effective would they be in siting their projects so that
8 they'd have a higher percentage chance of getting all the
9 way through the process.

10 I mean, if we see something that looks a little
11 too crazy, we might be able to inform the developer when
12 they get to the scoping meeting but by then the developer's
13 already spent like a lot of time and money on their project
14 to where if this tool is a little more robust in addition
15 to seeing the capacity on the lines, you could see other
16 environmental issues, it might steer them even better to,
17 you know, a more fruitful location.

18 Another opportunity is actually siting a large
19 transmission facility. I remember being on a licensing
20 team for a large transmission line a couple of years ago.
21 We're actually in the field and we invited some
22 environmental NGOs out with us. We had the Center for
23 Biological Diversity, Kerncrest Audubon, Transition
24 Habitat, CalISO, and The Nature Conservancy, and we were
25 getting really schooled on the impacts of ravens on desert

1 tortoise, cryptobiotic soils, and desert ecosystems, the
2 significance of ancient creosote rings. But I sit here
3 wondering after partaking in the San Joaquin solar and
4 DRECP how much more fruitful would that site visit would
5 have been if before we went out there, we would have had
6 like a little Data Basin site set up for that transmission
7 project that all those environmental NGOs and whoever
8 participated could have uploaded layers. And they were out
9 in the field with like tablets kind of looking at all the
10 information. You know, it would make the utilities or
11 other transmission builders be able to submit better
12 projects for approval in that process as well.

13 Another opportunity I see is, you know, when
14 you're licensing a project, you're in a general study area,
15 you're in that general study area because some engineer or
16 transmission planner when they were doing the initial study
17 as part of the CalISO Transmission Plan or a generation
18 interconnection study thought it was a good area. A lot of
19 times the tools they're using don't have any of these kind
20 of layers, it's just white lines on a black background that
21 just show you transmission line or transformer capacities.
22 And they're being guided, you know, maybe if they're on a
23 project before like a licensing project before or if some
24 of their projects have failed in the past. But if they
25 actually had a Data Basin tool to kind of use when they're

1 actually performing the system impact studies for these
2 generation interconnections or connections to other
3 utilities, they might propose better projects even to begin
4 with so that when you get to the licensing stage and you're
5 looking at that initial area, it's a better area even to
6 begin with. I guess the only hard part would be about
7 still maintaining the timelines that we'd have to do the
8 studies in.

9 And lastly, I guess I have a question. In a FERC
10 Order 1000 world when a lot of people were allowed to bid
11 on transmission projects, do we think this is something we
12 would have kind of like a Data Basin analysis before
13 actually the project went to bid, so that the routing is
14 kind of somewhat already fleshed out for a new line or do
15 we think a tool like Data Basin might be used after someone
16 wins the bid and then they would kind of use Data Basin to
17 kind of help, you know, submit their project then.

18 So those are my initial comments. Thank you.

19 MR. FLINT: Thanks, Kevin.

20 Next we have Kim Delfino, Defenders of Wildlife.

21 MS. DELFINO: Thank you. And thank you for the
22 opportunity to come and speak this morning.

23 Defenders of Wildlife, I feel like I'm sitting
24 here and I'm representing a whole lot of other people,
25 other NGOs like The Nature Conservancy and Audubon Society

1 and NRDC, Center for Biological Diversity, California
2 Native Plant Society. There's a lot of organizations that
3 have been very invested in the development and the
4 deployment of these geospatial planning tools.

5 I mean, I can -- I don't want to cover ground
6 that's already been covered through the previous speakers,
7 but I think that you can see through the diversity of the
8 folks sitting here who are basically saying the same thing,
9 which is before it was like we were operating with, you
10 know, black and white television and now we have
11 Technicolor, 3D, 4D, Smell-O-Vision. I mean, it's -- the
12 amount of infor -- these tools have been invaluable in many
13 respects.

14 My organization talked a lot about for renewable
15 energy development, you know, doing it smart from the
16 start. And that sounded great, but it's these tools that
17 are showing us how to do that or we're using it to do that.
18 And it's been a learning process, I think as you've heard
19 with some of the comments of DRECP, but what we have seen
20 is that the development of these tools and the development
21 of this data has given us an opportunity to level the
22 playing field so that, you know, NGOs, local governments,
23 companies, state agencies, federal agencies, tribes, all
24 the various folks that are part of the collaboration are
25 operating off the same set of information and speaking

1 in -- with the same language which is really invaluable.

2 It's also given the opportunity for people to get
3 access to data whereas before you couldn't have access to
4 data. If you couldn't afford to pay CNDDDB for data
5 information, you wouldn't have that information. But this
6 is, you know, now you can go online, use -- open up your
7 browser and click on and have information again that can
8 help you participate more effectively. The transparency
9 has been absolute critical for people to have confidence in
10 the policy decisions that are being made that are based
11 upon this data.

12 And also it provides flexibility in that, you
13 know, and this is something I had conversation with Lorelei
14 yesterday afternoon and she pointed this out and I thought,
15 I thought yeah, she's completely right about this. Back in
16 the day you'd have a paper map. No one would want to
17 update that paper map until you actually got a bunch of
18 information together so it was cost effective to then
19 provide that update. So you may have a huge lag time or
20 like in the case of CNDDDB you had boxes of data that hasn't
21 yet been entered so you have no idea where that information
22 is and so that you would think the gap on the map might be
23 a good place to go if you were a developer.

24 But this has completely changed the playing field
25 on this. Now we can operate these tools in a real time

1 setting, people can upload information in a real time
2 setting. And again, that's been invaluable.

3 The other way it's been invaluable is that -- and
4 I think you've seen it with Lorelei's comments about how
5 Kern County is now using these tools. We're able to layer
6 and compare data in a way that we've never been able to do
7 it before and ask questions and answer questions that we
8 haven't been able to do that before. For example, or as
9 Kevin has pointed out, you know, in planning transmission
10 if you are then able to layer in biological values,
11 engineers and transmission planners can ask questions that
12 before they couldn't even -- they wouldn't even know that
13 they could ask that question and answer it.

14 With Kern County asking the question about if we
15 have to take agricultural land out of production because we
16 have a more restrained groundwater withdrawal number, where
17 should that -- where should we do that and how do we, you
18 know, if we could bring biological information in with
19 renewable information with, you know, housing infor -- it
20 allows you to layer and ask questions that opens up an
21 infinite amount of possibilities in planning decision
22 making. And so in that way it's been incredible useful.

23 Frankly, I appreciate Kevin's point about, you
24 know, the second question as how should this information
25 best be used? Of course he very politely says we should

1 create incentives. Of course from the NGO perspective I
2 would say we should make everyone do it. But the point
3 being is that whether you go through a carrot process or a
4 stick process, we should end up with the end result which
5 is these -- we need to be using these tools in our planning
6 and in our procurement, and in our permitting decision
7 making because we will be doing it in a way that maximizes
8 transparency, public confidence in the decision making, how
9 we spend our money in mitigation, and also I think reduce
10 conflict.

11 And, you know, you might think as an NGO, you
12 know, you thrive on conflict, but actually the opposite is
13 true. I don't want to file a lawsuit challenging a
14 project. That is not my idea of a win when I go home at
15 the end of the day. For me, that's the definition of a
16 loss. And so this allows us to change the paradigm. So I
17 would recommend that, you know, where we can, we should be
18 trying to push the industry -- to push, to incentivize or
19 push folks to use these tools and figure out how that they
20 can -- how they can afford it. I appreciate the Lorelei's
21 asking folks to pay fees, but, you know, there has to be
22 probably a diversity of ways to fund these efforts.

23 And then how to make them better. Well, one is
24 funding them so they can continue to stay viable and not
25 stale. The other is just making sure that when you're

1 doing them, you're doing the data in a way that's organized
2 and useful and it's not just a data dump. And I think that
3 Data Basin does a very good job of doing that. And also
4 the only other thing I would just say and, you know, this
5 is just me NGO world nothing's perfect but there should
6 be -- we do need to recognize our limitations with these
7 tools and the data sets. That just because we now have
8 these cool things that we can look at doesn't mean that we
9 know everything that's going on on the ground. And so that
10 therefore there should be caveats operate -- offered up
11 that while this is going to produce better planning in
12 permitting decisions, we still need to invest in on-the-
13 ground information gathering and we shouldn't forget about
14 that.

15 So I'm sure I'm forgetting points, but I again I
16 appreciate the opportunity. I'm glad that the CEC is
17 having this hearing and -- or workshop, and that has led
18 the way in really pushing this forward which I think it
19 energy planning is not the only thing that's going to
20 benefit. I see this benefit going across all -- all types
21 of use, land uses and for biology and conservation.

22 So thank you.

23 MR. FLINT: Thank -- thank you, Kim.

24 Bringing us home on this panel is Mr. Steve Chung
25 from Department of Defense. You said you needed just three

1 minutes, Steve. I'm going to hold you to that.

2 MR. CHUNG: I will not only cover it in three
3 minutes or less, I will also put out a pitch to recruit
4 Scott Flint to work for the military since he loves
5 PowerPoint, can't get away from them. I on the other hand
6 will go without PowerPoints here today.

7 Commissioner, Director Douglas, Mr. McAllister
8 and agency colleagues, thanks so much for having me here.

9 Let me go ahead and share a few thoughts with
10 regards to -- and again, I will not repeat many of the
11 positive comments that were stated here today. But having
12 been involved from the get-go on the DRECP from '08 to its
13 completion and signing last year as well as the San Joaquin
14 Valley, the military as a whole has seen these tool sets by
15 the state really help us in one key area. And that is
16 providing the necessary awareness, providing the necessary
17 education, and to promote, and again, I think every one of
18 my colleagues has mentioned the importance of
19 collaboration.

20 I'll put an additional caveat word with the
21 collaboration. I think these tools actually instill and
22 promote the sustainment of the collaboration and that is
23 critical so our engagements are not one-hit wonders like
24 The Ramones. I know they've had more than one hit, but
25 that's the line I use. That being said, let me share a

1 couple of contexts and lessons learned from the military's
2 perspective in the southwest region states here.

3 In the early 2000s, about 2002, when we began
4 seeing, we on the military side, began seeing an influx of
5 proposals that were coming in for renewable energy
6 projects, there were efforts early on to gosh, you know,
7 how do we track? We need to educate. And in certain cases
8 at the local level, many of our installations reached out
9 and did the necessary collaboration. But one of our
10 lessons learned through the years in from 2002 to two
11 thousand, let's say ten, was there's got to be a better
12 way. You know, we are just beating ourselves up. We don't
13 have the resources to multiply or clone ourselves. God
14 knows my wife would not want me to clone myself but
15 technology's just not there. How can we do things better?
16 How can we do things smarter? How can we be more efficient
17 leveraging what resources that we have on the military
18 side?

19 So when the state began to embark on leveraging
20 tool sets like Data Basin as we've seen in DRECP, as we've
21 seen in San Joaquin Valley, as we will see in the
22 California offshore planning initiative, from our
23 perspective internally within the military with -- within a
24 resource constrained environment, having the ability for us
25 to share our information when and where we can, to and into

1 a platform that provides a greater level of awareness, and
2 couple that with a multiplier effect in providing the
3 necessary education. So external parties, agencies, NGOs,
4 mom and pops, as well as our internal military team are
5 looking and utilizing the same information.

6 That's pivotal, that's key. Because quite
7 frankly as I mentioned earlier, we just do not have the
8 resources to send a hundred military personnel out to do
9 these ongoing sustainment collaborations and engagement.
10 So that's one of the key benefits that we have seen, we see
11 today, and we will continue to see as things progress.

12 That being said, I do want to quickly hit on the
13 three items, Scott, that you raised. And here's some
14 lessons learned that -- that I will share from bouncing
15 some of these questions off my colleagues, also have shared
16 recently with the state of Arizona because they are looking
17 at trying to do something similar. And that is this. Has
18 it helped? Of course on question one in siting. How has
19 it helped? Essentially from an agency industry
20 stakeholder, that awareness quite frankly, and my
21 colleagues and I go through early consultations with
22 industry probably once a week somewhere in the state of
23 California.

24 We think it has minimized conflict and it has
25 promoted compatible renewable energy projects throughout

1 the state. Where some of the elements could be improved as
2 we move out, collectively and together, is looking at and
3 understanding and setting those expectations. And I think
4 Kim mentioned it in part is this is not the Swiss Army
5 knife tool to do everything. I think that that expectation
6 is very important, it is pivotal. A 70 percent solution to
7 hit the majority I think will do the trick.

8 That being said, as data comes in from a variety
9 of different agencies, a variety of different sources, I
10 think one of the key things that would help the users is
11 establishment of a simple and straightforward interface as
12 well as an organizational construct that does not resemble
13 how a military's department may be organized which is kind
14 of complicated at times. So simple, simple.

15 But I think in the end from our military team
16 perspective, we have seen great benefit in past, we see
17 great potential moving forward, and we're glad to be part
18 of the efforts as they move forward.

19 Thank you.

20 MR. FLINT: Thank you, Steve.

21 And we'll entertain some questions or if -- from
22 the dais. But I just wanted -- before we do that, I want
23 to thanks -- thank all of you for coming so well prepared
24 and making the trip up here to participate. Your input's
25 invaluable and it was all very, very good. Thank you. I

1 know you didn't have a lot of time so I really appreciate
2 it.

3 Speaking of time, I left zero time for
4 discussion. So I failed.

5 MS. DOUGLAS: That's all right. I think we will
6 discuss anyway.

7 Ken, did you want to start?

8 MR. ALEX: Well, thank you. I mean, as it's been
9 noted, the variety, a group that does not always agree on
10 things and so it's I think indicative of the power of data
11 and the platform to bring you all together on this and be
12 so supportive.

13 A couple of comments. One, we -- this is great
14 to have this testimony and then when we go to the
15 Department of Finance to request funding for these efforts,
16 I think it would also be really helpful and Lorelei and
17 some of the others have hit on some points that I think if
18 we can gather some of the information would be great, which
19 is where there are cost savings and where there are
20 benefits that we can quantify monetarily, hugely helpful
21 from our perspective in getting budgets.

22 Zach, you raised a number of points that I want
23 to underscore. I think governance is hugely important,
24 QA/QC for both data and software. And then the durability
25 of the platform so that we know it's going to be available

1 into the future. I think those are -- all of you hit on
2 those in some ways but I want to underscore that.

3 I have probably any number of questions but since
4 we're a little short on time, let me ask one to Zach if I
5 can.

6 We -- a lot of the power of this is from the
7 government's perspective is that it can be cross agency,
8 crosscutting through lawyers of government, we have the
9 federal government, we have local government, we have state
10 government, and we have sources of data outside of that.
11 And gov ops is in sort of the unique position to run data
12 programs across agencies. Do you -- do you have the
13 capacity and the willingness to do sort of the cross -- to
14 be the location of a cross agency platform?

15 MR. TOWNSEND: I think my boss would want to know
16 who's going to make that Department of Finance request,
17 Ken? No. More --

18 MR. ALEX: Fair enough.

19 MR. TOWNSEND: -- serious --

20 MR. ALEX: No, fair enough. That's a fair
21 question.

22 MR. TOWNSEND: Right now we provide a sort of a
23 robust open data platform where data.state.gov where
24 standardized data sets can live and the state has
25 already -- every state agency and department has access to

1 that for free and that they're already paying for it in
2 sort of a way that's not important. So that exists.

3 As for Data Basin itself, I don't -- I actually
4 have no idea what its cost is. I think in principle if
5 Data Basin were a, if you thought of as a service that tons
6 of departments were going to consume, having it live at the
7 Department of Technology might make a lot of -- with gov
8 ops's support, might make a lot of sense. But then I
9 would, again, underscore governance as a critical question.
10 And right now I think there are nonmonetary incentives for
11 departments to participate and that they're solving those
12 specific problems and making sure that there's incentives
13 would continue to exist even if the platform was owned by
14 an outside entity where I think being really important.

15 MS. DOUGLAS: So this question's really for all
16 the panelists or for everyone, anyone who wants to jump in
17 on it.

18 You know, I've really been struck from what we've
19 heard this morning about the many ways that tools, you
20 know, like Data Basin, that these kinds of interactive
21 platforms can be used and at what stages, you know, from
22 high-level planning and opportunities and constraints and
23 what issues might you encounter, to kind of pre-project
24 filing conversations completely outside of a regulatory
25 process like what Kevin mentioned, you know, site visit

1 with NGOs; we're thinking about this, what do you think?

2 And making that a very informed -- a very
3 specifically informed discussion on the fly each step of
4 the way wherever questions come up to, you know, it's
5 possible use in permitting. You know, how do we, you know,
6 take these big picture understandings and translate them
7 into permitting to, you know, plan implementation? You
8 know, how do we take these tools and develop them so that
9 they not only get us a plan but they inform our
10 implementation, they help us sustain relationships going
11 forward? Not one and done, but we've worked together and
12 now we are figuring out, you know, now we are using this to
13 continue to work together which, you know. And so I've
14 been struck by all these different layers.

15 And I guess the question I have for the panelists
16 or for anyone who wants to jump in is, you know, how do you
17 all from your different positions and perspectives think
18 that we can support more engagement in these kinds of
19 tools? You know, how do we foster more use of these kinds
20 of approaches? And what are some of the barriers to that?
21 You know, how do we work together to overcome barriers to
22 doing more of it?

23 MR. CHUNG: I'll take a shot at that.

24 Commissioner, some of the ideas that have helped
25 out not only military but some of the agencies and industry

1 folks that we've dealt with in the past leveraging the data
2 sets, type of data sets that are captured not only within
3 Data Basin and DRECP as well as San Joaquin is to actually
4 bring some of those stakeholders together on an issue or an
5 item that was actually worked. Leveraging, utilizing the
6 various layers and data that existed.

7 One of the things that may be helpful if it can
8 be done, if other agencies are able and willing is to
9 incorporate a series of and maybe it's a category that's
10 called case studies for category A, B, C. The military
11 would be compatibility in planning. So that may be
12 something that could be leveraged or used to promote some
13 additional collaboration with actual case studies of real
14 prior activities with multiple agencies and in this case
15 industry that took place.

16 MS. DELFINO: I think that you can -- I think
17 we're already starting to see it, but I think that you can
18 look at where planning and permitting is done and look at
19 incentivizing the deploy -- the use of these -- of this
20 type of tool.

21 So, you know, Kevin was saying with NCCPs,
22 they're not going to do -- they don't want to do another
23 one without using something like Data Basin. The Regional
24 Conservation Investment Strategy process, you know, it fits
25 perfectly into utilizing this kind of tool. I think

1 that -- so I'm not, you know, part of me says just require
2 it but maybe the -- you know, the easier way to do is to
3 say -- is to show the efficiencies of you may get your plan
4 faster, you may get your permit faster, you may be able to
5 spend more efficient deployment of mitigation dollars by
6 using this type of tool so as you're demonstrating and
7 incentivizing through those demonstrations so that local
8 governments and companies and others would want to use
9 this.

10 You could as thinking through general plan
11 updates, you know, allowing -- having this as being part of
12 that, you know, the next generation of doing updates. You
13 know, working within the IRP process, building that into
14 the processes. Planning and permitting is constantly
15 evolving. It's not like you have to rewrite laws for it,
16 it's just how you implement them. And so you can start
17 building this in as sort of the best practices approach in
18 how you're doing, you know, the things that you're supposed
19 to do regularly. So that's one option.

20 I think the only -- the issue, you know, the
21 issue is going to come down to I think a cost issue in
22 terms of if it's going to cost -- if there's going to be a
23 fee charge, that's going to be a cost issue. But then
24 there's a cost issue that we've sort of and I think Ken's
25 got -- talking about this a little bit is how do we keep a

1 tool like this going after this administration leaves? How
2 do we ensure that it continues to be useful? That
3 investments are -- investments of information and the
4 ability to put that information in there is still viable.
5 Because the worst case scenario that I can think of is
6 that, you know, this administration change is over and we
7 stop investing information into this, it becomes stale and
8 then people just stop using it. And that would be, I
9 think, an enormous tragedy and stranded assets, frankly,
10 from the state's side.

11 MR. RICHARDSON: This is Kevin Richardson from
12 Southern California Edison.

13 I think we just really need to get over a lot of
14 the antagonism in licensing process to be able to work more
15 collaboratively. I mean, you'll see great collaboration on
16 an effort like San Joaquin solar or, you know, RETI when
17 the caveat is oh, it's just kind of like an FYI, you know,
18 to kind of sort of inform the regular process. But once
19 you get to the regular process and your, you know, \$500
20 million project is on the line, it's scary to try to be
21 collaborative.

22 COMMISSIONER MCALLISTER: So I see Heather is
23 hovering and wants to move along which is okay. So I'm
24 tempted to ask a question but I'm not going to, I'm just
25 kind of going to get something on the table.

1 So I wanted to first of all thank you, Zach, and
2 Secretary Batjer and the whole team over there for
3 supporting these efforts because I think it's huge just
4 within the state service context, it's really huge to have
5 that vision and that strong support certainly that would
6 that here at the Commission as we move forward on various
7 data projects, you know, it's important to check in and
8 sort of have that back up.

9 And I guess just on a very implementation just
10 nitty-gritty nuts and bolts kind of level, you know, hiring
11 people with analytical skills who can take advantage of
12 these tools is a real challenge. Definitely in state
13 service. I mean, it's a huge set of issues. And, you
14 know, the governor's leadership and Secretary Batjer and
15 others, you know, a lot of progress is being made I think
16 on reformulating some of the classification issues and all
17 that. So that's got to move forward, it's huge.

18 But, you know, I imagine throughout our economy,
19 I mean, granted we're in California, we've got Silicon
20 Valley, we have lots of big data, you know, young graduates
21 coming out that just have these skills that none of us even
22 imagined. That's all great but I think building the -- to
23 Kim's point -- building the teams that can make this a
24 long-lived effort and really build on it and build -- and
25 build a productive direction and give it this institutional

1 memory over time is really a big challenge.

2 And so I was tempted to ask a question about how,
3 you know, you're all doing that at your different context,
4 but I'm not going to do that. I just kind of want to get
5 it out there.

6 MS. DOUGLAS: Thank you for that. And I think
7 with that, we'll move to the next panel. But some of us on
8 the dais as we shift panels might take like a two-minute
9 break. But we're not -- this is not a 15-minute break. So
10 if anyone needs a super quick break, but we'll move to the
11 next panel.

12 (Off the record at 11:28 a.m.)

13 (On the record at 11:33 a.m.)

14 MS. MILLIRON: Welcome back, everybody. My
15 name's Misa Milliron, I'm staff here at the Energy
16 Commission. I work for Scott. And I'm going to attempt to
17 make up a little bit of time and keep us on track here for
18 our second panel.

19 Just one change to the agenda that you have in
20 your hand is that Scott Flint is going to be making some
21 comments on behalf of Vicki Campbell, BLM, who could not
22 make it today.

23 So with that, just want to introduce the panel
24 here today which is one that complements the previous one
25 nicely by diving into specific project examples of using

1 interactive data platforms for collaborative planning.

2 I'll kick things off with some examples with
3 usage of Data Basin that the Energy Commission's worked on.
4 And then each of our panelists, which we have a lot of
5 great diverse examples here, will share their experiences
6 using these kind of collaborative platforms, a variety of
7 different uses.

8 Next side, please.

9 So Scott mentioned our staff work. We have
10 kicked off a separate complementary process that will
11 inform this IEPR proceeding regarding landscape planning
12 work that's follow on from the RETI 2.0 process and past
13 IEPRs that focused on landscape planning.

14 We've established a new docket with the name
15 Environmental Information for Energy Planning to capture
16 this type of work and a variety of other kind of statewide
17 landscape planning and analysis efforts related to energy.
18 This is going to provide a venue for additional public
19 engagement around this topic, and we encourage people who
20 are interested, there's many of you in the room who've
21 already been engaged in that process but I've put this
22 slide up here so that you can get our website and see where
23 you can sign up to find out about other workshops that
24 complement this topic really nicely and will feed in to the
25 IEPR.

1 So as Scott briefly mentioned, the staff here are
2 working on defining considering case studies to test some
3 new analytical tools with real data and help us look at
4 transmission and landscape issues.

5 Next slide, please.

6 This is similar to one of Scott's slides. The
7 point is just to show the Energy Commission's work in the -
8 - related to statewide energy planning and really show how
9 we've assembled the significant body of environmental data
10 sets and models. The areas that are colored in show those
11 areas in the DRECP and San Joaquin Valley.

12 We're collaborating with others through gathering
13 data sets in the red areas, particularly the Modoc and the
14 North Sac Valley areas to assemble and share information in
15 those areas on Data Basin. The goal being developing
16 comparable and consistent sets of data elements that can be
17 applied across the state to evaluate transmission and
18 environmental issues.

19 We are hoping to provide that functionality
20 through Data Basin that will allow people, like I said,
21 we're focusing right now on areas of high renewable energy
22 resource as recommended through the environmental land use
23 technical group report of RETI but, you know, this approach
24 could be taken in other areas for other purposes.

25 Next slide, please.

1 So a little bit more to show you some examples of
2 these data elements that the staff are working on
3 assembling for our purpose related to energy planning. But
4 again, it can be applied to any -- any other types of
5 planning on a landscape scale.

6 Just wanted to show the categories of what we're
7 focusing on. We started assembling these data sets during
8 RETI and even before that and they're being expanded by the
9 staff and with collaborators. Again, the goal is to use
10 data in these categories to evaluate renewable energy in
11 transmission areas across the state in a consistent way.

12 So quickly, just to go through some of these.
13 We've assembled information and data sets on renewable
14 energy resources, conservation elements such as species
15 occurrences and habitat information, climate change. I'll
16 show you some examples of that. As well as county land use
17 data that folks can go on Data Basin and look at land use
18 as designation and also explore agricultural land uses.

19 Next slide, please.

20 So just want to show you -- show off some of the
21 great work that we've worked with Conservation Biology
22 Institute and to get up on Data Basin. As part of the
23 DRECP we put together this climate console and subsequently
24 expanded it to a statewide scale and called the climate
25 California Climate Console. That's available now online

1 and anyone can go on there to use it for landscape or
2 ecosystem planning and just go on there and use it to
3 evaluate climate effects, look at refugia for species of
4 interest. Even dive in to some of the climate models and
5 look at maps of climate data over time.

6 Next slide, please.

7 So again, just wanted -- main purpose here is to
8 show preview of some of the work that we started in RETI
9 2.0 and are continuing to work on as far as analytical
10 tools on Data Basin. This is one of the tools that we
11 began development that's still in a beta state at this
12 point. We are continuing to fill out the data sets and
13 test it. And essentially what you have here is report
14 writer and it allows a user to either draw an area of
15 interest or upload a GIS file of interest and get a
16 reporting of environmental and other characteristics in
17 those areas. You might be able to see there's a couple of
18 shapes there drawn as examples and so you would be able to
19 analyze things like protection status or terrestrial
20 intactness of an area or not, and look at whether there's
21 any designated Critical Habitat. And there's a button that
22 you would press and you can get a pdf report to look at
23 potential environmental constraints of an area that you're
24 interested in.

25 Next slide, please.

1 So just, again, showing, previewing a couple
2 other tools that are essentially the inverse of the one
3 that I just showed. The top one is one that we started in
4 RETI 2.0. The bottom one is another tool developed under
5 our R&D division for the Antelope Valley. The RETI 2.0
6 stakeholders saw an earlier version of this and we're
7 continuing to improve the functionality and improve the
8 interface. The goal being that you would have a
9 consistent -- consistency of look and feel between these
10 tools so that stakeholders can go on and either focus in on
11 a certain area for a certain purpose like with the lower
12 tool shown is focused on distributed generation in the
13 Antelope Valley or you could, you know, expand it out for
14 the top tool is going to be on a larger scale.

15 So essentially it would allow a user to specify
16 site characteristics like the renewable energy development
17 type, the level potential Covered Species and conservation
18 value. And then view the results of areas meeting those
19 criteria that they're inputting. Those blue dots are
20 showing areas that meet the criteria specified,
21 essentially, by the dials or sliders to the left of it.

22 So anyway, let's see. Next slide, please.

23 I'm trying to make up a little bit of time. Go
24 quickly here so we have enough time for all our panelists.

25 Just a little bit on our Energy Commission case

1 study approach that we're doing. We are using this
2 approach to finish and test the two tools that I just
3 previewed with you using real data and questions that
4 follow on from the RETI 2.0 process. We're in the early
5 stages, we're considering a couple of areas at this point,
6 one of those being the desert area constraint that was
7 identified out of that process. And then also looking at
8 among other areas taking a further look at the San Joaquin
9 Valley using these tools that we're working on.

10 Next slide, please.

11 So essentially, that's it for my quick overview
12 of the staff work here at the Energy Commission. I want to
13 then just give an overview of the questions that we sent
14 out to this panel which is looking at specific project uses
15 of these types of platforms. Just quickly paraphrase the
16 questions here.

17 One, what type of landscape planning processes
18 have you been involved with? Or what activities might use
19 Data Basin or similar platform? Two, have you used or
20 built from existing data sets and tools on Data Basin? And
21 how has it been useful to your efforts? Three, are you
22 planning to share your data and work on Data Basin and will
23 you develop any customized tools for project
24 implementation?

25 We've shared these and we're looking for people

1 to answer or address any or all of these questions and show
2 specific examples of their projects. And we have some
3 really great presentations that have come in -- remarks
4 that have come in. So I'll just go ahead and remind folks
5 that we're looking for ten minutes per person, roughly.
6 Hopefully we'll have some time for questions.

7 And I'll just go around the table, turn it over
8 to Scott Flint, again, from the Energy Commission.

9 Thanks.

10 MR. FLINT: Thanks, Misa. Too bad Steve left, I
11 don't have a PowerPoint.

12 So we invited Vicki Campbell from the Bureau of
13 Land Management to come speak today specifically on the --
14 one of the policies that developed out of the DRECP which
15 helps facilitate mitigation on public lands. And so I
16 wanted to share that information a bit and talk a little
17 bit about the -- where you can find information on Data
18 Basin that's already there.

19 Some of it's already there, some of it we're
20 updating, some of it we have to add that will help you use
21 that in your -- in local planning processes or in working
22 on developing regional habitat invest -- conservation
23 investment strategies or depending on the level of data
24 that we have available, regional conservation assessments
25 that would support the development of those strategies.

1 So I think the information that we developed in
2 DRECP and have available on Data Basin allows us to operate
3 at that higher level with the regional conservation
4 assessment and start zeroing in on areas that would be good
5 for mitigating species on public lands.

6 So a little bit about how -- why this is there
7 and how it works. So the DR -- when the DRECP conserv --
8 large conservation strategy was put together, it took into
9 account the requirements for species both habitat, habitat
10 connectivity species and important areas and the size and
11 protection of areas to have them persist over time
12 throughout the entire desert or the DRECP conservation
13 planning area. And that was done without regard to land
14 ownership.

15 So although the DRECP since the draft was
16 subsequently bifurcated into a couple of parts and we're
17 working locally -- we're working with local agencies and
18 still planning for some energy work on private lands using
19 that information, BLM has their land use plan amendment in
20 place that protects areas on public lands and identifies
21 areas on public lands that are suitable for -- best
22 suitable for development.

23 And by -- and BLM's decision proceeded with the
24 whole -- with the whole of the conservation strategy
25 thinking in place. So that might not really be evident to

1 folks. And so what the agencies have done is develop a
2 document which we call it the California Desert Biological
3 Conservation Framework that backs up -- that backs up from
4 the DRECP and ties together the public and private lands in
5 the desert and their importance to species. And so a
6 couple things in that plan, in that framework are it's
7 still -- it's showing what conservation was achieved by BLM
8 signing the ROD for the land use plan amendment and putting
9 those areas under conservation.

10 So there's a little analysis in there and you can
11 look at how much of what important habitats for each of the
12 covered species were protected by that action. And you can
13 also look to the private land areas and see how much is
14 left and for what species more specific actions might need
15 to be required, still need to be required or dealt with in
16 further planning. So it allows you to compare public and
17 private land that way. And so it allows you to do that.
18 And it also -- it also -- it does the analysis but also
19 identifies for the whole area important areas for species
20 that tied to the biological goals and objectives that were
21 laid out for the entire DRECP planning effort.

22 So using those two elements of the plan, you can
23 work with that information and start to, in a regional
24 conservation assessment context, start identifying areas
25 that might be better suited for the particular species that

1 still need a high level of protection and where those areas
2 might be. A lot of the -- a lot of the -- we took time to
3 make sure a lot of the biological goals and objectives had
4 very specific -- they may not all be fully mapped, but they
5 have very specific geographic elements identified in them
6 so you can use those to help guide you through that
7 process.

8 So that report is available there. It was done
9 by the four agencies, the Renewable Energy Action Team
10 agencies, and put up online I think in December. So the
11 work we have to do to bring that to Data Basin is actually
12 get that mapped portion and the analysis up there so folks
13 can see it clearly. It's not there but the document exists
14 and we can start using it right now in planning efforts
15 that are going on. And those considerations are being used
16 in the planning efforts that are going on.

17 But by having that -- having those things hang
18 together across public and private land, we -- it also
19 allows BLM's policy for considering mitigation of private
20 land projects on public lands where it's biologically
21 appropriate for the species. So again, looking at the
22 amount of conservation that happens for certain species on
23 BLM land, it's obviously most biologically appropriate to
24 consider enhanced management on public lands as the best
25 thing to do to ensure long-term conservation of the

1 species.

2 And so whether it's -- it's fencing to protect an
3 important habitat area or restoration to -- to improve a
4 population center for the species or restoration and some
5 additional acquisition in holdings acquisition sort of work
6 to shore up connectivity, those kind of elements are
7 available within the federal portion of the DRECP. And so
8 there are cases and they should be explored where
9 mitigating a project that affects a species on private land
10 would probably be best mitigated on public land. So the
11 DRECP and having that hang together across -- the analysis
12 hang together across both public and private land
13 facilities that.

14 There's also a second element that I just wanted
15 to share. From the state's perspective for that public
16 land work to be considered full mitigation under the
17 California Endangered Species Act, Fish and Game worked
18 with BLM to develop what's called the durability agreement
19 and signed a durability agreement with the Department --
20 with BLM as part of completing the DRECP.

21 So that durability agreement still remains in
22 place, and what the durability agreement does is allow
23 certain additional land use protections to be applied to
24 those areas that are used to satisfy both state and federal
25 mitigations under both acts on public lands. And so by

1 having that durability assessment, it also gives the -- I'm
2 sorry durability agreement in place, it also gives the
3 state the reliance it needs on the public land mitigation
4 activities to meet the state Endangered Species Act
5 requirements.

6 So that's -- I just wanted to briefly mention
7 that. That is available to folks. We have a couple
8 things. One is we do have an implementation tool for DRECP
9 that is up there and folks can contact me if they want to
10 know what it is. But it's called a site assessment tool
11 and we stopped developing it when we split the DRECP apart.
12 It still works but it has less functionality. We need to
13 go back and add the functionality in that will let people
14 view -- spatially view the biological goals and objectives.
15 So that's one element we have to add back that will be
16 helpful in using Data Basin to help you with this kind of
17 assessment in your planning effort.

18 And the second piece as I mentioned earlier is
19 to -- is to get the actual map and analysis up there for
20 the California Desert Biological Conservation Framework.
21 So that's programmed in our work for this year and we
22 intend to do that. Just wanted to let folks know that
23 we'll be presenting on projects that you're already doing,
24 that that's available.

25 MS. MILLIRON: Thanks, Scott.

1 So we'll move next to Garry George from Audubon.

2 MR. AUDUBON: Good morning, Commissioners. Good
3 morning, Director Alex.

4 I'm Garry George, I'm the renewable energy
5 director for Audubon California, the state program of
6 National Audubon Society.

7 So I work closely with our conservation and our
8 science teams to develop, find, and provide data on birds
9 and habitat, on climate change, impacts as well as
10 renewable energy siting. So our objective is to more
11 effectively site renewable energy through identifying least
12 conflict areas that will avoid, minimize, or mitigate
13 effectively for the impacts on birds. And some of these
14 impacts can be significant.

15 So we're collaborating with and we're -- we've
16 worked on -- with other stakeholders through some of these
17 projects and Data Basin. For instance, the Desert
18 Renewable Energy Conservation Plan. We've worked on the
19 Antelope Valley Regional Conservation Investment Strategy
20 under Assembly Bill 2087. We're currently doing that. We
21 worked on the San Joaquin Valley least conflict PV solar
22 siting process which Ken mentioned earlier. We're working
23 on the statewide energy siting process on private lands
24 mostly in the west Mojave and the Sacramento Valley. And
25 more recently we started work on the offshore wind

1 taskforce portal. And all of these are in Data Basin and
2 also on RETI 2.0.

3 So here's a quick example. As Ken mentioned,
4 this was convened by the governor's office of OPR and the
5 California Energy Commission and Berkeley Law. Especially
6 Commissioner Douglas, thank you for doing this by the way.

7 San Joaquin was done with a face-to-face meeting
8 in Sacramento but then as the different stakeholders broke
9 into groups and the value of Data Basin for us was that the
10 conservation community stakeholders had a special secure
11 part of Data Basin, a work space where we could actually
12 work, look at our layers and begin to analyze what we felt
13 were the highest conservation areas and the lower
14 conservation areas and then the least conflict areas with
15 our conservation values.

16 And so we ended up with a map that looks
17 something like this in Data Basin. I think you saw that
18 before. So the pink is lower conflict. The purple is the
19 lowest conflict. And then the green is the high
20 conservation value. And this was a map that we presented,
21 then, to the final review and publication of the document
22 that produced a map, the next map, which actually
23 identified the least conflict areas in the Central Valley
24 where solar PV would probably have -- be able to be
25 expedited more rapidly. So that's one example.

1 So I want to show you a little bit about what
2 Audubon's science and conservation team are developing now
3 to provide for the California Energy Commission climate
4 console and for Data Basin. This is our important bird
5 area GIS data layer. We're the North American partners of
6 an international organization that identifies high
7 conservation value areas for birds on -- based on different
8 criteria like restricted range species or high congregation
9 numbers of species. The red important bird areas are of
10 global significance and the green ones are of statewide
11 significance. So this data is spatial and we provide that
12 on projects as well as in Data Basin.

13 We also have recent data that we developed from
14 our Christmas bird counts which is the longest data on any
15 wildlife ever recorded, over 100 years in some cases. And
16 we also use the USGS breeding pair data on birds. We took
17 those layers, we took layers of climate, suitability of
18 precipitation, and also temperature. We modeled those
19 toward the future depending on three different emission
20 scenarios toward 2020, 2050, and 2080. So this is what we
21 came up with. We released this in 2014.

22 We've had -- next slide -- we found that 314
23 species could lose their wintering or breeding range as
24 climate suitability changed. And we presented this online
25 in GIS -- I mean, GIF model and then you'll see burrowing

1 owl on the next one.

2 So let's go to the next slide and you can see how
3 these rain shifts could be looked at in a moving animation.
4 As you can see, the wintering range, the blue ranges looks
5 like they're going to be pretty stable but if you look at
6 the breeding range, you'll see that it's shrinking.

7 So we are now in the process of publication
8 review to have this published and develop the GIS so that
9 we can provide it to the California Energy Commission and
10 Data Basin.

11 We're also looking at climate refugia. And this
12 is also under review so we'll be providing this data to
13 California Energy Commission, and this is on -- this can
14 help adaptation, this is on climate strongholds for groups
15 of species and different kinds of habitat. This is a
16 draft. It shows a little bit about oak woodlands and where
17 the species prioritizations might be.

18 So I just want to say on behalf of Audubon, we
19 look forward to working for the CEC. In the conservation
20 and science communities we've always had this language
21 using spatial data. We're so happy to see our young
22 dispersed now into the energy world and we really think
23 this is a crucial, crucial process that's already showing
24 us some terrific results. And we want to thank the
25 governor's office of OPR and the Commission, especially

1 Commissioner Douglas for using Data Basin. It's a great
2 collaborative tool and it's been very helpful for us.

3 Thank you.

4 MS. MILLIRON: Thanks, Garry. This is really
5 exciting to see some of these things that are going to be
6 coming our way. So I appreciate your showing everybody a
7 little quick look.

8 MR. GEORGE: Coming attractions.

9 MS. MILLIRON: Great. So welcome back, Lorelei
10 Oviatt from Kern County. Thanks for coming back for a
11 different scale.

12 MS. OVIATT: Thank you.

13 So I want to talk about two projects. One
14 project which has already been implemented so we've
15 actually learned a lot from it. And a very exciting second
16 project that we just now signed contracts for and have a
17 grant for.

18 So the first project is we went ahead and did a
19 Data Basin for the 2.8 million acres of the valley portion
20 of Kern County to support a energy permitting project EIR.
21 At the end of it we realized how useful this could be for
22 the actual implementation. And so we ended up with a --
23 using Data Basin. We actually had someone come forward and
24 we bought a software that integrates the permitting system
25 into our Accela program beyond what you can already do. So

1 Accela is the program that everybody uses in counties. And
2 yes, it pulls from GIS. Now we have a system and a small
3 program that literally an applicant can go online and
4 generate a site plan so they don't have to hire somebody to
5 do the site plan. When the site plan is drawn through this
6 software, it pulls from Data Basin. It also flags all of
7 the mitigation measures from the EIR and explains to them
8 how they have to comply.

9 These are the staff savings. So normally when an
10 applicant submits something by paper, you have to have a
11 staff person who goes through and makes sure did they do it
12 right? Is there some consultant who's making a case that
13 your interpretation is wrong? In this case, it's highly
14 automated and we also it provides that -- that interim
15 where people have questions, they can go online.

16 Based on that, we are now embarking on -- we have
17 been working for many, many years on a valley floor HCP on
18 the federal side and for water districts energy projects
19 and some large-scale residential. We are now transforming
20 that into an NCCP HCP, we'll be totally through Data Basin,
21 it'll be online and some of the functions that are coming
22 from DRECP that we think are going to be especially
23 exciting is this issue of that for every APN, we can load
24 in the biological studies such that the state agency people
25 can actually have those at their disposal.

1 One of our problems as agency staff is where are
2 all -- where is all this paperwork? Where does it live?
3 It lives in someone's, you know -- I know that the public
4 likes to think that we have vast well-organized electronic
5 online archiving. And as we all know, we're not there yet.
6 And so -- so we -- we hope that we can be the first in a
7 pilot project to actually do this as NCCP HCP completely
8 online. We've spent millions of dollars on maps, paper
9 maps over the years which instantly become obsolete as we
10 find out new information and we became adaptive management.

11 The second part of this which we also think will
12 be useful is at the end of it, hopefully when we get it
13 approved, the permitting. So let's say you have to do a
14 preconstruction survey. We want to create a portal where
15 you could upload it and it would immediately send an e-mail
16 to the appropriate state agency, Fish and Wildlife saying
17 you have a new survey to review. We think this is going to
18 stop what we all like to call the unending I sent it to you
19 by e-mail oh, I can't find it, oh, I found it but when I
20 downloaded it. You know, it is a -- it is -- it is not
21 customer service friendly and at the same time we all have
22 agency limitations on our staff.

23 And then the third piece of this is that we have
24 a changing generational hiring where we are bringing on new
25 staff. And so we have training challenges both at the

1 local level and the state level as you bring on new people
2 who have to be trained. So we're very excited about this
3 Valley Floor NCCP and the opportunities for Data Basin.

4 One of the suggestions that I would make for the
5 Commission is on actually if while it's true that doing
6 this geospatial at the beginning would allow you to do more
7 collaborative planning for your project such as
8 transmission lines, I am very enthusiastic about the end of
9 the project.

10 So even if you don't have one, I would recommend
11 that you incorporate this because when you're doing the
12 monitoring and the mitigation implementation for a large-
13 scale transmission line, what -- how wonderful could it be
14 for a vendor or the public to be able to go in to some
15 section of that transmission line and right click and find
16 out all the restrictions, all the rules, all the kinds of
17 things that have to be done. And you could have a
18 reporting program for the consultant that you hired to do
19 this that they need to upload the reports, they need to
20 upload all of the things that have to be done.

21 And right now, it's a very paper heavy, field
22 intensive, and as we know because of our experience with
23 the Tehachapi transmission line, every segment of that line
24 has different requirements. And the public counts on all
25 of us that whatever we put in that EIR and whatever came

1 out of that California Energy Commission, that somebody
2 somewhere is actually making sure that that is implemented.
3 And that is a huge charge and very difficult.

4 We and local government are excited about that
5 this actual will support the integrity of our CEQA
6 processes in a way, you know, we -- we're proud of
7 implementing all of our hundreds of EIRs. But this system
8 could actually provide the cost savings from staff and
9 provide a backloaded monitoring where we could actually go
10 back and see here's how we implemented it, here's what
11 happened in a way that we struggle now to actually do. So
12 those are two projects.

13 Our third project is we are doing a two-year
14 general plan update, you know, we are absolutely going to
15 be populating our other areas and creating Data Basin and
16 we're moving our general plan online. So we are moving our
17 general plan to integrate it.

18 Now as a reminder, I was -- I was -- I was
19 interested in this statement that was made about, you know,
20 this -- California Energy Commission is doing this whole
21 collaborative, what was it called for the whole state and
22 you're pulling in land use. I would just caution you that
23 you may think that the layers you're pulling in for cities
24 and counties for their land use as their land use, it may
25 not be. So I think we discovered that in the DRECP that,

1 you know, our consistency and how much we updated and how
2 it all works is not standardized. And so I think your
3 leadership is actually going to help that. We need more
4 standardized GIS. We need the ability to share layers in a
5 way that we haven't in the past and just share information.

6 So I do support the collaborative planning
7 process but I also wanted the opportunity to share with you
8 that at the end of this, there's actually streamlining for
9 applicants, streamlining for permits and more integrity in
10 the CEQA process. And I think those are all things that we
11 also can bring forward when we're looking at, you know, how
12 to -- how to finance, how to fund, and why are we doing
13 this?

14 Thank you so much.

15 MS. MILLIRON: Thank you. Really appreciate
16 those comments. Getting lots of good ideas for how we can
17 help with some of these multiyear processes that, you know,
18 like you said, lots of paper, hard to track things. So
19 really appreciate those suggestions and the caution for the
20 data layers. So.

21 Next up we have Stephanie Dashiell from The
22 Nature Conservancy.

23 MS. DASHIELL: Hi. Thank you. Stephanie
24 Dashiell, The Nature Conservancy energy associate project
25 director. Thank you to the Commissioners and Mr. Alex for

1 being here and your leadership on taking the landscape
2 approach to renewable energy planning in the state of
3 California.

4 I have had the pleasure of being a part of
5 almost all of the gateways that have been mentioned thus
6 far. DRECP, San Joaquin Valley, West Mojave Least Conflict
7 Assessment, Antelope Valley RCIS, provided feedback on the
8 climate console which is just getting launched, and now on
9 the data core group for the offshore wind.

10 So I'm very familiar with the tool and my
11 confession is, is that I love maps so it's a good fit for
12 me. And I have also worked a number of times with some of
13 the applications and models that are being developed as
14 well and those are also very exciting tools that are
15 interactive and provide transparency into how we're
16 identifying conservation priorities on the landscape.

17 So go to the next slide.

18 And so I wanted to touch on three main points
19 today regarding how these collaborative and interactive
20 mapping tools provide benefits. And one is in supporting
21 the facilitation of the landscape approach to renewable
22 energy which we've touched on this morning. And then
23 supporting a new tool for conservation planning in our
24 state, the RCIS, and then how we can incorporate climate
25 change information into these planning processes.

1 So next slide.

2 So on the landscape approach, we've discussed
3 this this morning but I just wanted to touch on how these
4 tools, the Data Basin in particular, can facilitate the
5 landscape approach actually in the planning phase. I know
6 Lorelei just touched on how it's useful in the project
7 phase, but I think in the planning phase when we're
8 thinking about broad landscape scale planning, these tools
9 are incredibly important, you can incorporate a lot of data
10 early on to identify conservation priorities that can then
11 be avoided. So you can avoid a lot of the impacts on the
12 landscape. You can identify where resources are in the
13 least conflict places so that you can try to minimize
14 impacts to those resources, and then you can compensate for
15 impacts by focusing in on mitigation enhancements and
16 investments in the conservation priority areas.

17 So this really reduces risk to developers,
18 investors, and utilities and it provides a framework for
19 processing applications. And Data Basin provides a
20 platform where multiple people can come to consensus about
21 where these conservation priorities are and where the least
22 conflict areas are so that we can avoid fights down the
23 line when you get to that project phase.

24 So next slide.

25 So I wanted to touch on my involvement in the

1 Antelope Valley RCIS. And the regional conservation
2 investment strategies is, you know, has been implemented
3 through AB 2087 and it provides a new tool for doing
4 voluntary conservation planning that would allow for
5 mitigation in advance of impacts from infrastructure.

6 And this has -- so one of the pilot areas where
7 an RCIS is taking place is in the Antelope Valley where you
8 have renewable energy development, transportation, housing,
9 high-speed rail. And you also have really important
10 ecological areas that have already been compromised by
11 development in the area that we really want to try to
12 prioritize protection ahead of future impacts.

13 So we've worked collaboratively using the Data
14 Basin platform to come up with a conservation
15 prioritization in this area. And the map on the bottom you
16 see there is a map that I've been working on with prob --
17 several other environmental and -- environmental groups and
18 other agencies to identify core and linkage areas for
19 different types of species. And this is an example where
20 we had multiple groups working together to basically -- we
21 were working live and each in our different offices to
22 identify these different cores and linkages. And Garry was
23 on this call. And to provide names for these areas. So
24 this is an example of how this tool works in practice and
25 incorporates information from lots of different

1 stakeholders.

2 Would also say that for the Antelope Valley, you
3 know, we're really -- we're in the planning phase now but I
4 think Data Basin will be very useful when you get to the
5 project phase and you actually have projects that want to
6 utilize the RCIS framework. They can use this mapping tool
7 to go to the priority areas that have been identified and
8 perhaps there could be a functionality such as an
9 application where you can click on an area in a priority --
10 in a prior -- identified priority area and that will give
11 you a list of mitigation enhancements that you could do in
12 that area as a project developer. And you could go through
13 that list to develop a mitigation credit agreement that
14 then could generate credits and really streamline your
15 project going through in the future, having that mitigation
16 already secured.

17 I think there's other counties that are
18 considering doing regional conservation investment
19 strategies. I know San Bernardino as well. And I think
20 Data Basin could be a really useful tool in their efforts
21 to develop an RCIS as well. I'm happy to hear from Scott
22 that the Biological Conservation framework data will be
23 available for use because I think that information will
24 also feed into San Bernardino's efforts to develop an RCIS.
25 So that's good to hear.

1 So on climate change biology, I wanted to build
2 off what Garry was mentioning on the importance of
3 incorporating data related to species range shifts over
4 time. We're going to see that climate change is affecting
5 species and landscapes all over the place and incorporating
6 in the best available science on how climate change is
7 going to be causing range shifts for different species is
8 very important. For example in the context of an RCIS, we
9 don't want to direct people to generate mitigation credits
10 in places where we might need to -- or we don't want to
11 actually not prioritize areas that might be important
12 refugia species down the line.

13 So and I also just wanted to mention one specific
14 example of this is that actually in a previous research and
15 development project that the CEC sponsored, UCSB did a
16 assessment of the refugia for a species in the West Mojave
17 and found that the West Mojave was actually a refugia for
18 many of the desert species and had spatial data available
19 that showed where there would be stable ranges for species
20 now and into the future. And that information was
21 incorporated into Data Basin when we were looking at
22 identifying least conflict areas for renewable energy in
23 the West Mojave.

24 And I think there's other applications of Data
25 Basin as well down the line. Thinking in the desert

1 context and also in the context of durable conservations on
2 public lands and RCIS's. There's places in the desert such
3 as the Fremont Kramer ACEC where you have varied land use
4 patterns. There's DOD holds land there, Department of Fish
5 and Wildlife, there's private entities, there's mitigation,
6 there's BLM. So there's multiple different land use
7 authorities in one area, and having a collaborative and
8 transparent place to share data and information I think
9 would be really helpful.

10 So I think there's future uses for this moving
11 forward and I appreciate all of the opportunity I have had
12 to work on many of these to date.

13 So thank you.

14 MS. MILLIRON: Great. Thanks, Stephanie, we
15 really appreciate some of those future ideas as well. And
16 we are back on track so time-wise.

17 I will turn it over to Ed Thompson from the
18 American Farmland Trust.

19 Thanks.

20 MR. THOMPSON: Well, thanks very much. And good
21 afternoon to you all. I too have a few people I'd like to
22 thank. First of all the Commission for inviting me here.
23 Second, to the Conservation Biology Institute and Jim
24 Strittholt who has been our partner in this project I'm
25 going to talk about. They just couldn't be better at what

1 they do and it's a thrill to work with them.

2 The Strategic Growth Council helped provide the
3 funding for this through the San Joaquin Valley green print
4 and Kern County. Thanks to Lorelei also provided some of
5 the funding and some of our work product hope will be
6 helpful to them in their general plan update. So this
7 really has been a kind of a collaborative process.

8 The mission of American Farmland Trust is to
9 conserve the resources on which food production depends.
10 And so what you're going to hear about from me is a little
11 different than what you've been hearing thus far today.

12 The two most fundamental resources which
13 agriculture relies are of course land and water. Neither
14 of which can be dispensed with and you can still produce
15 food, particularly in a semiarid state like California. But
16 often these resources are talked about in silos. There's a
17 conversation about water going on over here and boy it is a
18 very spirited conversation. There's a conversation about
19 land use over here that's not -- it's equally spirited but
20 not quite as visible. But we're kind of missing the point
21 if we think we can conserve resources, maintain our food
22 production capacity only by looking at one or the other in
23 isolation.

24 So our purpose in doing this project, which is a
25 demonstration project of the San Joaquin green print, is to

1 see how the land and water resources intersect in
2 California's, indeed the nation's, premiere agriculture
3 region. That is also AFT's principal target.

4 So I'm going to show you just a very brief set of
5 slides to show you where we're going with this. The
6 project isn't finish yet, it won't be finished for another
7 month or so. But I hope it'll give you an idea of the
8 versatility of Data Basin and what it can be. Not only its
9 mapping capability but its analytical capability as well.

10 So let's take a look at the first slide here. In
11 looking at the land and water resources, what we were
12 trying to do is measure their value, their relative value,
13 their intrinsic values, and the stresses on them.
14 Obviously, you know, higher value resources just as there
15 are in the natural world have implications and the stresses
16 on the resources also have their implications. So we're
17 looking at both of those things. And I'm not going to read
18 all of these but you can see that when we looked at the
19 land side, there's all the different databases we used to
20 look at the relative quality or capability of the land. I
21 only mention the last one, the crop values, because once we
22 put all this into a logic model to try to define the
23 relative values, we did a ground truthing, if you will, by
24 crosschecking it against where the most valuable crops are
25 produced. And there's a really high coincidence between

1 the two. So that gave us a lot of confidence in the
2 methodology we had used.

3 On the water side, we took a little different
4 approach. There are three major sources of water in the
5 San Joaquin: local surface water; imported surface water,
6 which comes from outside the valley's watersheds; and
7 groundwater. And we looked at each of those through the
8 lens of both the reliance in any given DWR planning region,
9 how much they rely on those different sources; and
10 secondly, on the variability or the reliability of those
11 sources. So the more that somebody relies on a particular
12 source and the more variability it is, the higher the
13 stress level.

14 So without any further explanation of all that,
15 let's just take a look at some of the outputs. And these
16 are all preliminary at this point, subject to change as we
17 continue to tweak this with input both from expert advisors
18 and from people in the field. This is hard to see at this
19 scale, but the way you look at this is the colors indicate
20 whether something is of higher value or lower value. So
21 green is higher value resources. Yellow is moderate.
22 Red -- the shades of red are lower value. And then the
23 intensity of the color indicates the water stress level on
24 those resources.

25 So you can see areas in very dark green that are

1 both high value for agriculture because of the
2 characteristics of the land and that are very low stress
3 because they have pretty reliable water supplies. As you
4 move farther south and west in the valley, some of the land
5 is not quite as capable or versatile as other land and
6 certainly the water stress is -- is -- is much higher. So
7 this kind of gives you the spatial output.

8 Let me take a look at the next slide. It shows
9 you the analytical capability. This is another way of
10 looking at the data. Again, it's -- I don't know if you
11 can see this, I'm having a hard time reading it, it's a
12 little fuzzy. But on the right-hand scale, you see the
13 relative values of the land with the green bars in the
14 foreground being the higher value, and the red bars in the
15 back being the lower value. And then across the front, you
16 have the water stress from low on the left to high on the
17 right. So you can sort of see how the 6 million acres of
18 agricultural land, we're talking mostly crop land now, not
19 up in the, not up in the rangeland areas, how it sort of
20 stacks out in terms of both the land capability or value
21 and the water stress.

22 And I just wanted to point out the darkest green
23 bar on the farther -- farthest left. And that represents
24 about 12 percent of all the land, water, intersection in
25 the valley. That is the land with the highest value and

1 the lowest water stress or the most reliable water supply.
2 So it's only about 1 out of 8 acres. And this helps you
3 begin to get a different perspective on that 6 million
4 acres when you start looking at it through that lens. That
5 dark green bar, you know, if you had to draw an analogy to,
6 you know, the natural world would be the equivalent of the
7 endangered species in the San Joaquin Valley with all the
8 implications you would think of in terms of importance of
9 conserving that.

10 So let's take a look at the final slide here and
11 show you something else we can do. This -- this table
12 looks only at the land that has low water stress. There's
13 about 2 million -- is that 2 million acres -- 2 million out
14 of the 6 million acres. And it further breaks it down
15 across the -- across the top in terms of the value of the
16 land, high on the left, low on the right. And then it
17 further breaks it down in the rows in terms of the
18 development risk which was something else we looked at by
19 looking at general plans, current zoning, spheres of
20 influence, and Williamson participation. All of the things
21 you would -- that are going to influence whether land is
22 likely be developed or not.

23 And I just call your attention to the percentages
24 at the bottom, on the bottom line. If you look at the
25 first percentage about 18 percent, that is 18 percent of

1 that 12 percent of that endangered species is at risk of
2 development, one-fifth of it. As you go farther down the
3 line where -- and this is only looking at the land with low
4 water stress or reliable water supplies. You know, the
5 poorer the land, the less the development pressure. And of
6 course this is a reflection of the fact that our agrarian
7 ancestors were smart enough to settle on the best land with
8 the most reliable water. But this presents the challenge,
9 the core challenge for agriculture and conserving
10 resources, that feed us in the San Joaquin Valley.

11 This was a collaborative process. We did a
12 stakeholder process. We had webinars, in-person meetings
13 trying to reach out to people. I have to say that we were
14 less successful than I had hoped we would be. We did not
15 have the budget for collaboration that the least conflict
16 solar did and I think that made a big difference.

17 I also think it's -- what we're planning to do
18 now is once we have these findings, and I think are fairly
19 provocative, we are going to take it out into the field
20 through a collaborative process and start teasing out what
21 are the implications for resource management both at the
22 local level and also at the state agency level. I think
23 this is going to offer a really new and important
24 perspective on the resources that are fundamental to our
25 food supply here in California.

1 So thank you. And thank you again for
2 everybody's support of this project.

3 MS. MILLIRON: Thank you. That was really
4 interesting. And again I want to echo Scott's thanks to
5 you -- this panel for talking with us and sharing your
6 projects and insights. It's been really interesting. I
7 think to everyone here and again appreciate you actually
8 coming here in person to show us a peek into some of these
9 neat applications that you've found through these
10 interactive platforms.

11 We do have three minutes or so for questions if
12 everybody's stomachs can handle that.

13 MS. DOUGLAS: We -- I brought a snack. But I'll
14 try not to go too long since other people are probably
15 very, very hungry.

16 UNIDENTIFIED SPEAKER: California farmer.

17 MS. DOUGLAS: So one question for Lorelei and you
18 mentioned this a little earlier in kind of passing but I
19 thought if you could elaborate, it would be helpful. So.

20 So how does let's say Kern County take the kind
21 of information that Ed's been working on, and I know the
22 county's also been looking at, you know, agricultural land
23 and water and that interface. And so how does that inform
24 where you think you want to see renewable energy and how
25 might the county then act on that?

1 MS. OVIATT: Well the water conversations right
2 now under SGWA which is what we call Sustainable
3 Groundwater Act is a win-lose. You win, you lose, you win,
4 you lose. Kern County Planning and Natural Resources
5 Department is the win-win part of the county, therefore I
6 am trying to use this data and work with the SGWA entities
7 which is a joint power authority in two parts of my county,
8 to point out to them that a property owner who ends up with
9 small water, not enough water to really farm, has two
10 choices. They're either going to hire water lawyers and
11 we're going to end up in a big fight or the board of
12 supervisors can provide them with other land use options.

13 And some of that is habitat as well as
14 restoration and some of that could be renewable energy if
15 you're near your transmission. And we are looking at other
16 types of low volume composting, covered composting, all
17 sorts of things that could use less water. Renewable
18 energy is a large part of that, it is very much dependent
19 on the transmission story.

20 And it is -- it is something that we are actually
21 designing using the information and also looking at the
22 possibilities, you know, if this land is good soil, is
23 there going to be new water someday which is our new term
24 for we're going to clean up all the water underneath the
25 west side or we're going to have water treatment that's

1 going to reuse. There's only so much new water that we're
2 going to produce, however, so we would be using this
3 information that the American Farmland Trust is helping us
4 with to see if is that another set-aside that needs to be
5 done. Are there incentives that the state or others want
6 to give to these lands that at some point the soil maybe
7 shouldn't be used for renewable energy.

8 I think this is a whole new arena of
9 conversation. One of the concerns that renewable energy
10 developers have is when you target lands, you raise the
11 price. And I am speaking to the Commission who is very
12 clear that we are in a price sensitive market when it comes
13 to the renewable energy as well as the people behind me who
14 are in utilities.

15 So we have looked at doing solar overlays, we're
16 looking at streamlining, but we're also looking at perhaps
17 there's another more flexible way of doing this so that we
18 are looking at an area rather than targeting properties
19 where we can address this driving up the land value issue.

20 So those are just, you know, some of the -- I
21 think that this also feeds into in regards to renewable
22 energy, we are working with the Department of Conservation
23 on -- through CSAC and others on Williamson Act. There are
24 all sorts of new questions about if I'm under the
25 Williamson Act and I lose my water under a groundwater

1 sustainability plan, what now?

2 I think this also feeds into conversations about
3 agriculture conservation easements and, you know, CEQA
4 mitigation. All of those are issues which are going to
5 affect the siting of our renewable energy solar projects.
6 And we are looking at all of that and we hope by the end of
7 2018 as we move our way through the general plan that we'll
8 have a framework for that.

9 MS. DOUGLAS: Thanks for that. I mean, you're
10 doing so much really amazing cutting-edge work and it's
11 great to see and it's fun to be working with you.

12 If you are planning on developing applications on
13 the mitigate -- on the, you know, mitigation side, the
14 tracking conditions side, that would be another area that
15 would be great to talk about. Because as you were speaking
16 about that earlier, I just kept thinking, you know, well,
17 that would be nice to have. So. And it would be a
18 fantastic tool.

19 I remember a very long time ago, pre-Energy
20 Commission, I had the assignment of trying to figure out if
21 we could -- if anyone was keeping track of CEQA mitigations
22 and if we could somehow quantify or even point to a
23 reasonably comprehensive set of examples, and we decided we
24 really couldn't. At least the amount of work it would take
25 made it kind of infeasible and so those ideas. It's where

1 we need to go. It's pretty exciting.

2 MS. MILLIRON: Ken.

3 MR. ALEX: Very quickly. I guess kind of picking
4 up on that CEQAnet which OPR runs will be moving to
5 hopefully completely online by the end of the year so you
6 can now integrate that into what you're doing as well.

7 We -- we don't keep track of the mitigation
8 project by project. But it's an interesting point, we
9 might want to think about adding that as something that
10 could be done.

11 I'll also note that the Strategic Growth Council
12 funded something called Urban Footprint which has taken a
13 very long time but it's now pretty close to being fully
14 operable, it's a scenario planning tool. I'm getting a
15 little OPR geeky here but that -- that's a really another
16 thing that can be integrated with the data layers to start
17 thinking about how you do future planning.

18 Which leads me to my quick question also for
19 Lorelei. Given that you are using Data Basin and this
20 approach for your general plan, do you think it's possible
21 to build a template of the most -- what you think might be
22 the most important data layers that we can share with other
23 jurisdictions that are thinking about their general plan --
24 recognizing every jurisdiction is different but to give
25 people an idea of how to start in something like this mode?

1 MS. OVIATT: I will certainly put that into our
2 work plan. I appreciate your confidence in us. We
3 obviously count on Jim at -- and I didn't think of that.
4 That's a good point.

5 And, you know, I am president of the County
6 Planning Directors Association. This is an issue that
7 comes up a lot. How can we provide better information to
8 our public at a cost that we can afford? And so we're all
9 excited because we think this web-based platform is finally
10 the kind of breakthrough technology and with the support of
11 your office and the support of the Energy Commission
12 leadership, we think we are now into the realm where the
13 public demands GIS. The traditional GIS we have is too
14 expensive, too complicated. Lots and lots of different
15 vendors and different kinds of ways of doing it.

16 So I will take that under advisement and make
17 sure that we are somehow looking at the essential layers.
18 We note that there are custom modules. We have some very
19 large master planned communities, just Tejon Ranch as one.
20 We are going to create a custom permit system using Data
21 Basin for that particular kind of project. I think those
22 are the things that the -- that the counties and cities are
23 excited about. And I think cannabis is one of the first
24 that some of the cities are going to do.

25 So I'll leave that with your thought.

1 MS. DOUGLAS: Well, I think I'll thank the panel
2 very much. And we're a little past lunchtime so we
3 probably better go to it since it is 12:35.

4 So Heather, we'll be back at 1:30; is that right?

5 MS. RAITT: That's right, 1:30.

6 MS. DOUGLAS: All right. Thank you, everybody.

7 (Off the record at 12:36 p.m.)

8 (On the record at 1:32 p.m.)

9 MS. RAITT: For our afternoon session we're going
10 to have a panel on maximizing existing transmission through
11 the use of advanced technologies and targeted resources.

12 And Judy Grau is the moderator, so, from the
13 Energy Commission.

14 Thank you, Judy.

15 MS. GRAU: Actually, correction, I'm not the
16 moderator. It's Carl Zichella, but I'm just going to give
17 a few brief remarks.

18 Okay. So, I want to begin with a few guiding
19 principles and policy documents going back first to 1988
20 with Garamendi Principles. And in 1988, in recognition of
21 the value of the transmission system and need for effective
22 long-term transmission corridor planning, Senate Bill 2431
23 by John Garamendi declared that it's in the best interest
24 of the State to accomplish the following, which are
25 referred to as the Garamendi Principles.

1 First, encourage the use of existing rights of
2 way by upgrading existing transmission facilities where
3 technically and economically feasible -- justifiable I
4 should say.

5 Second, when construction of new transmission
6 lines is required, encourage expansion of existing rights
7 of way where technically and economically feasible.

8 Third, provide for the creation of new rights of
9 way when justified by environmental, technical, or economic
10 reasons as determined by the appropriate licensing agency.

11 And fourth, where there is need to construct
12 additional transmission seek agreement among all interested
13 parties on the efficient use of that capacity.

14 The second bullet on the IEPR, we're all familiar
15 with the 2002 statute that created that so I won't
16 elaborate. But the one that may be less familiar to some
17 of you is Senate Bill 1565 from statutes of 2004, which
18 requires the Energy Commission in consultation with
19 stakeholders to adopt a strategic plan for the state's
20 electric transmission grid, commonly referred to as the
21 Strategic Transmission Investment Plan or STIP, as part of
22 the IEPR. The purpose of the STIP is to identify and
23 recommend actions required to implement investments needed
24 to ensure electricity, reliability, relieve transmission
25 congestion, and meet future growth and demand, and electric

1 generation. The Energy Commission produced stand-alone
2 STIP's in 2005, '07, and '09 and then in 2013 and '15 the
3 STIP was included as a chapter in the main integrated
4 energy policy report.

5 In 2016 staff produced a report titled, The Final
6 Environmental Performance Report of California's Electrical
7 Generation System, which included an assessment of the
8 environmental performance of the transmission system. The
9 staff report identified a number of transmission system
10 challenges and opportunities in addition to the landscape
11 scale planning topics we discussed this morning.

12 So, with respect to the first three bullets on
13 this slide, interconnection of renewables, integrated
14 generation and transmission planning, and maintaining
15 reliability with the closure of once through cooling
16 plants, we've identified and addressed these in several IEPR
17 cycles and these continued to be addressed by the energy
18 agencies as California seeks to meet its greenhouse gas
19 reductions goals.

20 The fourth bullet, the western energy imbalance
21 market, which is a real time market, continues to provide
22 significant avoided renewables, curtailment, and greenhouse
23 gas reduction benefits. As of March 31st of this year, the
24 cumulative avoided renewable curtailment since January of
25 2015 is estimated to be almost 412,000 megawatt hours,

1 which displaced approximately 176,000 metric tons of carbon
2 dioxide.

3 The western EIM continues to grow with upcoming
4 entrants including Portland General Electric this fall,
5 Idaho Power in spring of 2018, Balancing Authority of
6 Northern California, as well as Seattle City Light in
7 spring of 2019, and Salt River Project in spring of 2020.
8 With respect to regional coordination California continues
9 to work with neighbors to understand possible day ahead
10 market opportunities. And as you heard during the morning
11 portion of this workshop, offshore wind represents another
12 opportunity for meeting California's renewable and
13 greenhouse gas reduction goals. And so this staff report,
14 the 2016 Environmental Performance Report, formed the basis
15 for chapter 1 of the 2016 IEPR update.

16 And, so, this is one of the recommendations from
17 the 2016 IEPR Update. The state should continue to work
18 with federal, state, and local agencies and stakeholders to
19 apply landscapesscale planning tools, and approaches to
20 renewable energy and needed transmission. This should
21 include a central platform, such as Data Basin, that
22 includes spatial data associated with renewable energy
23 planning to allow for high level assessments of
24 alternatives that consider potential upgrades to existing
25 transmission facilities, including emerging and

1 transformative technologies that improve flexibility and
2 optimize transmission, the use of transmission corridors
3 and the right sizing of new transmission facilities to
4 accommodate current and potential future needs.

5 And that brings us up to this cycle with our 2017
6 IEPR scoping order, which drew upon the recommendation from
7 the 2016 IEPR Update and it directs the Energy Commission
8 to an include discussion of advanced technologies for new
9 and existing transmission.

10 While California has been addressing transmission
11 barriers and opportunities, so has the U.S. Department of
12 Energy. In April 2015, the first installment of the
13 Quadrennial Energy Review noted that ensuring the resilient
14 safety and security of the nation's infrastructure is vital
15 to American competitiveness, jobs, energy, security, and a
16 clean energy future. The second installment in January of
17 this year found that the electricity system is a critical
18 and essential national asset and it is a strategic
19 imperative to protect and enhance the value of the
20 electricity system through modernization and
21 transformation.

22 Two directives related to this afternoon's panel
23 discussion are, first, that the DOE should encourage the
24 cost effective use of advanced technologies that improved
25 transmission operations, and, two, promote the deployment

1 of advance technologies for new and existing transmission,
2 such as those that enhance reliability, security, and
3 affordability through visibility and control.

4 And that brings us to our panel today. We're
5 fortunate to have Carl Zichella as our panel moderator for
6 this afternoon. Following Carl's opening remarks to set
7 the stage for today's discussion we'd like each panelist to
8 take about five minutes for their opening remarks. After
9 all our panelists have made their remarks, we will begin
10 the round table discussion with questions from our
11 moderator and from the dais.

12 So, in just a moment I'm going to turn it over to
13 Carl Zichella, with the Natural Resources Defense Council.
14 And I'd first like to thank Carl and all our panelists for
15 sharing their experiences today on maximizing existing
16 transmission through the use of advanced technologies and
17 targeted resources. And I'm not -- these are the questions
18 on the next two slides that we've asked our panelists to
19 focus on this afternoon. I know it's an eye chart and I'm
20 not going to read these all one by one but they are in the
21 handouts.

22 So, there are two slides. And so with that, I am
23 going to turn it over to Carl, and I will have Heather
24 advance the slides from here. And if you just say, next,
25 Heather will march on through. Thank you.

1 MR. ZICHELLA: Well, thank you very much Judy.
2 I'd like to thank Commissioner Douglas for inviting me and
3 also I'd like to thank you for the excellent work your
4 staff has done with me in preparing for this. Jim, Tom,
5 and Judy it's been really a pleasure working with them and
6 I think we're in for a good discussion.

7 Good to see you, Mr. Alex, again. And say what a
8 pleasure it is to be here with such an experienced group of
9 people who are actually putting into practice many of the
10 things we're going to talk about today. I'm going to do a
11 brief introduction on some of the issues and we can launch
12 into the discussion. I'll try to be as brief as possible
13 because I'd like to reserve some time for the audience
14 interact with us as well today. We've had some wonderful
15 presentations this morning but unfortunately not much
16 audience opportunity to engage. So, I want to try to make
17 sure that we can do that now.

18 Next slide, please.

19 We can skip over this. NRDC is the organization
20 I work for, a national environmental organization, climate
21 changes is one of our top priorities. We've actually got
22 about two million members and activists working with us
23 across the country and the electricity system, its
24 reliability, flexibility, and transformation is a major
25 goal of ours.

1 Next, please.

2 Today I'd like to address just briefly some of
3 the considerations about extending rights of ways and their
4 life looking at transmission design, consideration, and
5 planning. I think planning is an issue that isn't
6 necessarily on our discussion agenda, but I wanted to touch
7 on it briefly because it definitely intersects with how we
8 make these decisions. Some of the options for extending
9 the life of the existing rights of ways, including shorter
10 and longer term fixes, the three on the chart here
11 reconductoring, reconstruction, and parallel routing, were
12 actually evaluation criteria we used in RETI 1.0 to rank
13 our transmission solutions that we were considering to
14 serve California's renewable energy zones. I think they
15 were -- they leave a lot of things out but those are sort
16 of the things you think about when looking at an existing
17 right of way and how you can squeeze more life out of it.

18 I realized today we were going to talk about some
19 new innovations to help deal with some of these things but
20 that's where we were just about seven years ago. And one
21 of the key things I think we need to think about is
22 operating the system. We had a previous workshop where we
23 talked about flexibility needs for the system and the role
24 of a regional market in addressing those. I think when you
25 talk about regional markets or expanding the ISO to cover

1 much of the west, we also need to think about the
2 operations potential that getting the most out of the
3 existing system just by operating the system more
4 efficiently and we can certainly maximize transfer capacity
5 in a system if we do that. We get much better ability to
6 integrate renewable energy resources because there's more
7 transmission capacity to carry it and the system becomes
8 more flexible and reliable.

9 So, I'm not going to relive that workshop, but I
10 wanted to just note that here as we talk about these
11 technologies, applying them in that kind of a world is a
12 little different than in the kind of world that we're
13 living in now especially across much of the west. We're
14 able to do a lot more with a lot less if we can operate the
15 system more efficiently. Another great benefit of this is
16 that by maximizing existing rights of way we better justify
17 the transmission we do need. And I do think, you know,
18 we're going to need more transmission. The question is
19 going to be how much.

20 We know how difficult it is -- next slide,
21 please -- to try to address some of these issues
22 environmentally, if you were here for the morning session
23 you know the immense amount of work that's gone into trying
24 to sort out the environmental impacts of planning for
25 transmission. It's extremely tough to do. It takes a long

1 time to do it. We've been thinking about an incrementalist
2 approach to transmission upgrades, and I think this argues
3 for thinking bigger about future needs. In addition to new
4 technologies, we also have to think about right sizing the
5 lines, building them to a capacity that actually gets us
6 more life and more utilization out of them, and how we
7 operate those lines. Even if they're at a higher rating to
8 meet shorter term needs that then could be more flexibly
9 transformed over to longer term needs.

10 Mitigation costs for transmission can be
11 enormous. We saw Sunrise Powerlink, and not to pick on
12 anybody, but, you know, \$14 million a mile to build and
13 almost a million of that is mitigation costs. That's what
14 it cost to build transmission in much of the rest of the
15 Western United States. So, using the existing rights of
16 ways better when we've gone through the pain and agony of
17 establishing them seems to me to be an imperative that we
18 have to take advantage of. We also need to think about the
19 available transfer capacity in the Western Interconnection
20 from power plant retirements, primarily coal plants that
21 we're seeing drop out of the generation stack; that changes
22 the power flows in the west, and we need to factor that
23 into our planning when we start thinking about do we need a
24 line when we have Four Corners coming out of service, for
25 example.

1 We need to think about transmission as being
2 scalable and upgradable. Are we building transmission
3 lines that can be increased in their capacity or have their
4 voltage rating increased without having to build new
5 towers, for example. How can we do that? There have been
6 proposals that the ISO's entertained, that PG&E has put
7 forward to build transmission lines with an open position
8 where another conductor can be added later, such as the
9 Gates to Gregg line, which people are getting tired of
10 hearing me talk about unfortunately. But I like the idea
11 very much because that's the kind of optionality -- no,
12 Neil, it's not you -- that's the kind of optionality I
13 think we're looking for here is the ability to have a
14 valuable asset, the transmission right of way be extended
15 for decades. We're going to live with these things for 50,
16 60 years. It's important that we think not just about the
17 short term meeting of load in a particular pocket, but how
18 this transmission affects the rest of the system and how we
19 can get more out of it.

20 Next slide, please.

21 We're also going to talk about the locational
22 aspects of this topic, the geographic location. I think
23 some of the considerations we need to think about in
24 planning involve if we're choosing a right of way to extend
25 or to build a new one, how well will the environmental

1 conflicts. We have all sorts of tools we've talked about
2 this morning in terms of assessing that, new tools that
3 help us do better at it, how much access do they give us to
4 high quality renewable energy resources, does it facilitate
5 access to available storage or proposed storage, does it
6 optimize the generation shapes of our existing renewable
7 energy fleet, are we going to get access to resources that
8 exacerbate or mitigate, for say, the infamous duck curve.

9 So these things all lead to judgments in planning
10 that give us the opportunity to make better decisions about
11 power line utilization and upgrading. And by the way, this
12 list, which includes a couple of community or social goals,
13 including economic development and community impacts from
14 pollution, they are things that we could factor into a
15 multiple value analysis for prioritizing transmission
16 upgrades and new transmission that are practiced in other
17 parts of the country already.

18 So, I think it's a useful thing for us to look at
19 these kinds of criteria in planning to help us guide some
20 of the judgments that we make. Again, not just about a
21 short term meeting of load which may fluctuate based on a
22 variety of different factors

23 Next slide, please.

24 These are some more questions about -- I'm not
25 going to go through these because I think we've touched

1 upon them briefly.

2 Next slide, please. And save us a few minutes
3 here.

4 Again, we talk about as we plan transmission are
5 we planning it in order to make it be expandable and do the
6 kinds of things we just talked about.

7 Next slide, please.

8 Okay. When we talk about extending right of way
9 life right now and what we want to talk about today is
10 really about some of the newer technologies, advanced power
11 electronics and like that are come into common usage
12 actually in many places. Things like flow controllers, to
13 help reduce congestion and changing the impedance on
14 transmission lines so that power can flow to less congested
15 areas, things that can be reused, the ability to take
16 advantage of synchrophasors, the phase management units
17 that are out there in large numbers now create a real data
18 conflict for us because there's so much information coming
19 in from them that we don't really know how to process this
20 effectively or take advantage of and what goes along with
21 that may be something along the lines of automation,
22 especially in a distribution system, where switching is
23 going to have to happen. Orders of magnitude speeds
24 greater than amounts, greater than what we're doing today.
25 Things like high capacity conductors; eventually there are

1 a number of conductor types right now that are out on the
2 market, they employ a variety of different compositions.
3 They all have in common that they can do a lot more at the
4 lower voltage ratings which is really useful for us if
5 we're going to reuse some of the towers that are out there
6 right now and could maybe not accommodate higher voltage
7 rating conductors. Something to think about with high
8 capacity conductors.

9 Also on the horizon, and not here quite yet
10 although they work, the cost profile is exorbitant, is
11 superconductors. We're not going to talk about
12 superconductors today. I just note that there are a number
13 of interests out there extremely eager to try to move this
14 technology forward. We've had some proposals in the
15 western United States to employ them, they have not come to
16 fruition mainly because of the costs involved with them,
17 but they enable us to make much greater use of existing
18 rights of ways if they were economically feasible because
19 they take up so much less space than overhead lines. So
20 it's something that may have a role to play for us in the
21 future.

22 I'd like to add to the list here strategically
23 located storage, especially in the bulk electricity system.
24 They allow us to utilize the lines better and follow load,
25 also helping to avoid congestion and providing grid

1 services, like frequency response, that our system wide
2 need, that are going to be more difficult to meet in other
3 ways.

4 So those are some of the issues that we're teeing
5 up that we need to think about as we talk about these
6 technologies, and I think what we'll probably do is go
7 around the table in the order here that we're in. If I'm
8 getting at Judy's slide right, that's pretty much what she
9 had in mind.

10 And I'd like to start off with Neil Millar, who's
11 with the California Independent System Operator, great
12 experience in trying to manage this rapidly transforming
13 electrical system. And I'd like to give you each about
14 five minutes to sort of take us over the hurdles on some of
15 the main topics you'd like to raise and then we'd like to
16 address some of the questions that Judy pointed out and
17 teed up. I'd like the conversation to be fairly free-
18 flowing however so we're not slaves to those questions. If
19 there are permutations of them, I imagine that we'll be
20 talking about all of them in one way or another, but we
21 don't have to go down the list is my point.

22 So, I'm going to hand this off to you right now,
23 Neil, if you could give us five minutes on where you see
24 things shaking out on this.

25 MR. MILLAR: Great. Thank you very much and

1 thank you for the chance to be here and speak today.

2 The first thing I'd like to do is maybe just
3 spend a few minutes on process and some of the fundamental
4 issues behind the new technologies.

5 First, is that the ISO does most of our
6 transmission planning efforts through our annual
7 transmission process. It's a very participative
8 stakeholder driven process where we really rely on input.
9 Not only in identifying the needs but also looking at
10 possible solutions to help address those needs. Now, over
11 the years we've better aligned that process with the
12 generation interconnection and some of the other
13 requirements so that most of larger decisions that are made
14 can be reviewed and explored through that annual process.

15 Now, in that process we do consider very
16 seriously the opportunities to rely on existing rights of
17 way and existing transmission facilities to get the most
18 out of the facilities we have. Now, that's through a
19 combination of -- besides the obvious environmental impact
20 and environmental mitigation of not needing to develop new
21 rights of way. There's also the more pragmatic interests
22 of having better costs and other uncertainty issues dealt
23 with. As well as the timing itself that new rights of way,
24 besides being complex and expensive to obtain, also have a
25 higher risk of ultimately being successful.

1 So for a number of reasons we're always motivated
2 to look at minimizing our use of new rights of way. There
3 are counter balancing forces where at times putting all our
4 eggs in one basket being overly dependent on a single
5 corridor can in itself become a reliability issue. So
6 there are checks and balances on that and there are other
7 exceptions where, you know, from a minimal impact there can
8 be a material cost saving in looking at some new facility
9 that could also drive us. But the general approach is
10 definitely been to minimize to the extent we can, whether
11 through conventional or new technologies, and to this point
12 we've largely relied on more conventional technologies but
13 we're thrilled to see some of the new technologies getting
14 their toe in the door and being able to move towards
15 becoming just another tool in the tool box as opposed to
16 something that has to feel it has to compete and beat out
17 the existing alternative.

18 So that's the general direction there. When it
19 does come to the newer resources, the new technologies,
20 yes, a big focus for us is to see how some of these new
21 technologies can become, like I said, just another tool in
22 the tool box, something that the planners are confident,
23 the utilities are comfortable moving forward with, and that
24 we can consider right from the get-go as opposed to coming
25 up with one alternative and then having that be the

1 alternative to beat by a new technology.

2 Now, to some extent we are in a bit of that
3 latter world right now. But that's also tied to the
4 somewhat unique circumstances we're in. Over the last few
5 years our reliability needs have really been getting dealt
6 with. In the last two planning cycles, we actually
7 canceled in each cycle 13 previously approved projects for
8 a variety of reasons. And right now we are in the midst of
9 reassessing another 15 projects that we put on hold working
10 with PG&E to review and rescope. So, in the course of that
11 rescoping we will also be looking to see what opportunities
12 there are for some of the new technologies in that
13 spectrum. But the goal isn't longer term to have, you
14 know, a conventional solution that then has to be knocked
15 off by new technology. The new technologies should be
16 right there as part of the initial mix in consideration
17 when we're looking at how to move forward.

18 Now, the other thing though that's really putting
19 a damper on current transmission planning activities and
20 certainly approvals, is that we are in a bit of a calm
21 before the storm, we're on a trajectory towards the 33
22 percent RPS goals, we're supporting and working with the
23 Energy Commission and the Public Utilities Commission on
24 direction to move beyond 33 percent to 50 percent. But
25 until that policy direction is there, we're really not well

1 positioned to start moving on the next tranche of what it
2 would take to reach 50 percent or beyond. So for those
3 reasons we're in a bit more of an analytical point right
4 now. But that also gives us the opportunity to sit back
5 and reassess how we're handling some of these issues. So,
6 it's a good time to have some of these conversations, and
7 to see what we can do to refine our processes to make
8 better use of some of these emerging technologies.

9 I won't bore you with examples because Carl
10 touched on some and I know that some of these are also
11 dealt with in later presentations. So, I'll leave my
12 comments at that for now and be happy to deal with
13 questions later.

14 Thank you.

15 MR. ZICHELLA: Thanks, Neil.

16 Next, we're going to go to Kevin Richardson of
17 Southern California Edison.

18 Kevin, I don't know if you -- you have a few
19 slides here. I'm just going to hand it off to you. Go for
20 it.

21 MR. RICHARDSON: Thank you, Carl.

22 Again, I'm Kevin Richardson from Southern
23 California Edison. I'd like to thank all parties involved
24 for letting Southern California Edison participate in
25 today's panel.

1 I'd like to talk about advanced transmission
2 technology considerations and also maximizing corridors.
3 And as I kind of reflect on this, I realize more and more
4 how much I have in common with Edison's electric system.
5 We're both getting older, and we're both starting to sag.
6 And sag is not good for transmission lines specifically in
7 the Big Creek corridor.

8 If we go to slide two.

9 You can see a simplistic one line diagram over on
10 the right side. The dashed lines are what we're talking
11 about. The two, 220 kV lines from Rector to Vestal to
12 Magunden. We're required to meet minimum clearances for
13 safety and reliability, and we're realizing that these
14 clearances are pretty low and they need to get fixed. This
15 is also a corridor that's been studied many times for other
16 reliability issues. Back in 2008 there was a Central
17 California Clean Energy Transmission project that we worked
18 on together with PG&E with reliability issues or generation
19 issues in the area, possibly connecting both systems. And
20 on the Edison side we looked at tearing down and rebuilding
21 parts of that corridor and some other solutions.

22 In 2015 we had the San Joaquin Valley solar
23 studies in which people were asking: what's the existing
24 transmission capacity of that corridor, how much more
25 capacity could you get if you maximized the corridor, and

1 if you expanded the capacity, how much more could you get?
2 And so we did some studies for that. And the same year we
3 also proposed the Big Creek Corridor long-term mitigation
4 plan where under certain N-1's, loss of a single circuit,
5 where we're dealing with some thermal overloads. We looked
6 at various technologies to try to fix this, you know, doing
7 a traditional teardown and a rebuild, Smart Wire tower
8 routers to inject magnetizing inductors capacity --
9 capacitance to change the impedance so that the line
10 doesn't get overloaded into the outage, phase shift
11 transformers, distributed resources, ultimately at that
12 time we were proposing thyristor controlled series
13 capacitors to kind of change the impedances during the
14 outage to try to reroute power to try to avoid overloads.
15 Last year we proposed the Big Creek Corridor rating
16 increase, in which we employed high-temperature, low-sag
17 conductors to try to deal with this. Since we had to fix
18 the clearances anyway we realized by upgrading a couple of
19 towers we can actually get more capacity out of this
20 corridor, and thus help solve some of the reliability
21 issues that we were seeing. So the high-temperature, low-
22 sag conductors gave us a similar weight and diameter to the
23 existing wires, higher ampacity, lower losses, lower sag,
24 meaning less structures needed to be used, and hopefully
25 less environmental disturbance.

1 Now as I look at some of the panel questions,
2 there's a lot of them about, you know, when you consider
3 advanced transmission alternatives are there specific
4 characteristics you look for, and how often do you analyze
5 advanced transmission technologies for this type of thing.
6 And when I think about that, I think about trying to train
7 new transmission planners in our group and my fear as a
8 lead would always be I hope I don't miss something in the
9 study process. So I'm tempted to build like a big flow
10 chart of like, hey, when you have an overload consider
11 these five things and just, you know, diligently, you know,
12 upgrade that with like the latest, you know, technologies.
13 But I think we've all kind of dealt with people who are
14 trained that way but kind of look like me. And you'll ask
15 them the question like, hey, have you considered this, and
16 I'll look at you and I'll adjust my glasses, and I'll just
17 kind of look at you and go like, well, that's not our
18 standard. Are you crazy?

19 And so we want to promote kind of forward
20 thinkers, people that think outside of the box, that don't
21 just do it the same way all the time and that's so much of
22 having a list of what to consider or when to consider it,
23 but just always approach a new transmission issue with an
24 open mind and try to plan things that way.

25 In one of the ways we try to do that is have

1 panels like this, don't just put management at the table,
2 put an actual transmission planner so they can see the
3 issues some of the stakeholders, get to meet them, develop
4 relationships, not just put people on the panel but
5 actually bring them along. So, you know, would you all say
6 hi to Nicole Kidrow, one of our other transmission
7 planners. She's planning the Tehachapi Corridor right now.
8 So when she goes back after today, she'll have heard lots
9 of you and your issues, and she'll have a much better
10 mindset when she's doing the cluster studies and proposing
11 the new upgrades. So, we're kind of proud of trying to
12 promote planning that way.

13 As far as the utilities of being experienced with
14 maximizing corridors and existing facilities -- we go to
15 the next slide. I think a lot of utilities are experienced
16 with trying to do that. I think sometimes we just kind of
17 feel punished when we actually try to employ that. How
18 many times have we, you know, been asked, you know, the
19 courtroom, you know, and the licensing process, you know,
20 trying to justify what we're doing, you know, double
21 circuit one side stronger or something like that, instead
22 of just doing a single circuit line. And the
23 administrative law judge is looking at you like, why are
24 you trying to gold plate the system? You need that right
25 now, do you, really? And it's just really tough to try to

1 justify certain things.

2 So, I can see a lot of challenges to maximizing
3 corridors and advance technologies in different arenas.
4 One arena would be nonregulatory collaborative study
5 efforts, like the San Joaquin Solar or RETI 1, RETI 2, the
6 DRECP or things like that. Where a lot of stakeholders
7 want you to like consider DC or, you know, whatever the
8 fancy new technology is and because of the time lines that
9 the technical people are given within those processes, we
10 just can't. So we're just going to give you a nice little
11 paragraph of, like, oh, this will be really nice to try in
12 the future but unfortunately we couldn't get there right
13 now. So, I mean, next time we do one of those
14 collaborative study efforts, if we could really just give
15 the technical people just a little bit more time so that we
16 don't have to regurgitate like, you know, past studies,
17 what to actually do something new and enlightening and, you
18 know, I think that's what we're all kind of like here to
19 do.

20 The next issue I see is in generation
21 interconnection studies where a new developer will, you
22 know, or the new cluster of generation in the study will
23 trigger a new upgrade, it'll be a line, you know, you might
24 see it as a good opportunity to do some right-sizing, you
25 know, 500 kV construction, 220 kV initial operation or the

1 double circuit one side stronger or something else, and
2 you've got to have an initial negotiation with your
3 counterpart Cal ISO planner. And the issue tends to be if
4 you kind of include right-sizing immediately in the study
5 process, it might be a little more expensive for the
6 developer, and so to get around that in the past we kind of
7 worked with the Cal ISO like, okay, in the report we'll
8 say, like, a single circuit and we'll put some kind of like
9 a caveat on there saying that, hey, if this goes forward,
10 the utility will try to go with a double circuit one side
11 stronger or something like that and kind of, you know, pay
12 the difference. So we can try to keep the developer in the
13 study process but also still keep the right-sizing elements
14 moving forward.

15 Another issue possibly could be FERC 1000. If
16 you don't put the right-sizing elements within the bid,
17 it's unlikely that when people bid that, they're going to
18 include that because a lot of times there's probably going
19 to be more expensive.

20 And with project licensing it'd be nice if
21 regulatory agencies could consider adoption supportive
22 polices kind of like the low cost-no cost steps for EMF
23 reduction that is kind of like baked in, you know, thou
24 shall do no cost or low cost, which is like a certain
25 percentage of the overall project, you-know, if that would

1 work for like right-sizing possibilities, so that sponsors
2 are not immediately disadvantaged from the cost scope for
3 justification standpoint when they try to include right-
4 sizing or advanced technologies in their proposed projects.

5 So those are my initial comments.

6 MR. ZICHELLA: Thank you so much, Kevin. You
7 have a promising career in comedy. I just wanted to say
8 you covered a lot in your brief time there and I wanted to
9 thank you.

10 One thing that you did mention that I think
11 probably we haven't planned on touching on very much but
12 I'll flag is sort of a policy alignment. To make it okay
13 for people to actually plan this way, to think more about
14 these longer term options, the CPUC's IRP provides an
15 opportunity for that their -- the staff plan's out comment
16 right now. Something to think about in terms because this
17 is the time we're re-examining how we do this. And it
18 seems to me that you've just put your finger on something
19 really important that ALJ shouldn't be giving you the hairy
20 eyeball when you bring this up, they should be saying,
21 that's a good idea. And understanding that we need to look
22 at costs over a different time line perhaps because our
23 goals go out to the middle of the century.

24 Okay, moving on. Tom Bialek of San Diego Gas and
25 Electric is going to give us his take on this. And I know

1 you guys have had some really interesting challenges lately
2 to deal with and some direct experience with some of these
3 new emerging technologies. So I'd wish you'd give us your
4 thoughts.

5 MR. BIALEK: Sure. Well, thank you. So, I
6 appreciate the opportunity to come here and present this to
7 the commissioners and the staff and other intervenors here
8 and talk a little bit about I -- when I read the original
9 sort of questions, I really tried to frame the presentation
10 along that line. I'd really like to talk about
11 alternatives, alternatives to traditional planning, what
12 can be done with existing or not, and then maybe talk a
13 little bit about sort of along with what Kevin had said a
14 little bit, some of the challenges. Because as you heard
15 this morning you see this collaboration amongst
16 organizations to provide all this great dated information
17 about which kind of help siting. And then when you get to
18 the point where, and I think Kevin mentioned it this
19 morning, now you actually get to try to go license or you
20 try to utilize an existing corridor. And then the question
21 is what happens. And often what you find is what happens
22 isn't really what you thought was going to happen. And,
23 you know, those are some of the challenges and so in the
24 context of this whole alternatives discussion to the extent
25 that, you know, certainty certainly plays a large role in

1 what we can and can't do. And I think that that becomes
2 really, really important.

3 So you can go to the next slide.

4 So this here is an example of a potential use of
5 the Smart Wire technology. So basically this is an
6 inductively coupled impedance, which couples on the line,
7 increasing the impedance and; therefore, changes the actual
8 flows in the actual grid. It was proposed originally
9 because of a dual contingency that would occur under N-1-1
10 conditions. On either two lines and two positions. And
11 the outages would occur if our Sycamore-Penasquitos
12 transmission line was not built in time, which basically is
13 the June 30th in-service date, and if there's inadequate
14 generation in Encina.

15 So what we looked at the proposal was, and so if
16 you look at the little things where you've got the little
17 X's that's where the outages occur, and we see the -- where
18 you would be putting the actual device, Smart Wire devices
19 actually in highlighted. We looked at it, the original
20 view was as a flexible solution you could probably install
21 it within the six to ten month time frame with an in-
22 service date by June 1st of 2018. But then when we finally
23 looked at, sat down with the developer of this solution, we
24 looked at what we needed to put in place to actually deploy
25 this. And the amount of impedance and reactance we had to

1 add was such that we had to actually construct additional
2 towers and structures. And so for that our civil
3 engineering folks from a design perspective said, well,
4 jeez, now do we have seismic issues. And if we've got
5 seismic issues, then what happens. And, so, now we need to
6 qualify this technology for a seismic perspective. And,
7 so, if you look at the qualification test and we realized
8 that basically having those tests done would not meet our
9 in-service date of June 1st, 2018. The alternative for us
10 has been that we are looking at how we accelerate and make
11 sure that the Sycamore-Penasquitos line goes in and
12 basically obviates the need for the alternative altogether.
13 So that's one example of a -- try to look at alternative
14 technologies. To say we've done this quite a bit, these
15 are very specific examples.

16 The next one. And I know Neil's quite aware of
17 this one.

18 Next slide.

19 So this is actually a proposal to convert our
20 existing SWPL line into an HVDC corridor, double circuit
21 bi-pole with three terminal configuration. And looking
22 increasing the actual capacity of the corridor from roughly
23 about 1800 megawatts to 3000 megawatts. What comes with
24 this is a lot of additional flexibility. So you hear a lot
25 of talk about inverters and power electronics and what

1 things they can and can't do, and I think one of the more
2 interesting pieces of it is that you could actually use
3 them as load flow control devices, you can do a lot of
4 different things with them. So from the perspective of,
5 here's an existing transmission line, existing corridor,
6 how can we leverage it and make better use of it. That was
7 the idea and this is the proposal in front of the CPUC.

8 Next slide, please.

9 So, again, this is just a big, long laundry list
10 of -- the first little bit says, here's all the things we
11 have to do when we actually go and think about siting a
12 transmission line and actually constructing it. We had --
13 let me give you an example now. We had a substation where
14 we're looking to provide three 69 kV circuits into the
15 substation. And this is somewhat similar to what Kevin
16 mentioned. Originally these were all within our easements,
17 we thought this was going to be really easy, this was going
18 to be pretty simple to do. But then what we had was --
19 there was a review of the project and during that review
20 the question was raised, well, you don't -- that substation
21 really isn't overloaded or won't be overloaded for a period
22 of time, and we have got some other resources there that
23 may or may not retire, storage and resources. So, we're
24 not going to give you the CPCN to actually do the third
25 line. We're going to deny that and come back to us when

1 these overloads occur. And, so, from the perspective of
2 looking at further down the road at alternative perspective
3 that sort of just one of the challenges.

4 And then the second is an example of a 230 kV
5 line that was built in 2005, 2006. We were looking to
6 convert additional -- put in there an additional 138 kV
7 structure, going from 138 to 230 kV. We thought, given it
8 was our existing easements and giving existing line, that
9 we were literally going to be able to an advice letter
10 filing and actually move forward relatively quickly.

11 Surprise, surprise we found out we couldn't. We had to go
12 for CPCN and that took significantly longer and it added
13 significant additional costs.

14 So, with that, I will stop and pass the baton to
15 Tony.

16 MR. ZICHELLA: Thank you, Tom. Being that Tom
17 just passed the baton to you Tony, I'm not going to get in
18 the way of that. Please go ahead.

19 MR. DELUCA: Hello, thanks Commissioners for
20 inviting me. My name is Tony Deluca. I supervise the T&D
21 engineering group at SMUD. And just a little overview
22 SMUD, being the smallest person at the table here, we're
23 the local municipality, right, we take care of Sacramento
24 and we've done that for about 70 years. Our transmission
25 system is comprised right now of 230 and 115. Although I

1 kind of consider some of the 69 subtransmission as part of
2 my world. We have about 1800 structures in our system and
3 about 465 miles of transmission. So, again, we're the
4 little guys. But we've been definitely looking at this.

5 Just a little background on me, I've been in this
6 business, in the utility industry for 33 years. I've
7 worked in both the public and private sector, building up
8 to 500 AC and DC lines, and been a planner and been an
9 operational engineer, done a lot of different things but
10 this is my core competency, is design. So, our experience
11 with -- and consideration of advanced conductors. I guess
12 I misread. I was sort of thinking it was focused on this.
13 So I feel a little bit underprepared but I'll just go
14 through a couple of situations where we looked at using
15 advanced conductors.

16 The first example, we did quite an exhaustive
17 analysis, brought in some help to help us do this, and this
18 was in support of the Iowa Hill project, which you may or
19 may not have heard about, 400 megawatt plant. And we call
20 advanced conductors high-temperature, low-sag conductors,
21 there are a few different types. I think Carl mentioned --
22 touched on this. All generally use some kind of a modified
23 core. So the core can be a modified steel, ceramic alloy,
24 carbon fiber, et cetera. So we looked at all of them.
25 There was a lot of scrutiny on us for this particular

1 project, so. And we have not yet today used any of these
2 in our system. And as you probably heard also Iowa Hill
3 did not go forward. So this is just a really expensive
4 exercise.

5 But one of the things we learned, several things
6 we learned that barriers to considering advanced conductors
7 in this particular situation was the high initial cost of
8 the conductor. So, this used to be about seven to ten
9 times normal conductors cost and -- but it has been coming
10 due to more use in the industry. As well as higher labor
11 install costs. Special handling is required for some of
12 these conductors because the core is somewhat less flexible
13 and you've got to be careful about the bending radius of
14 the conductor. So it's, for us it wasn't a direct, you
15 know, replacement option.

16 The second point is inability to realize
17 substantial cost savings over time due to the high initial
18 cost and limited capacity upgrade capability, which is why
19 you'd want to do this, because of the existing type of
20 conductors used in our territory. So high-temp, low-sag
21 conductors are best utilized as replacements for ACSR
22 conductors, that's aluminum conductors steel reinforced.
23 We only use ACSR for upper American River Project, which is
24 the -- takes us to the run of river project up in the
25 mountains there. Everywhere else we use all aluminum. And

1 so consequently why that's important is all aluminum
2 conductors are lighter and the structures that are used to
3 support them are lighter and were initially cheaper. And,
4 so, if I try to go and string ACSR replacement type
5 conductor on structures that were not designed for it, I
6 overload the structures. So we can't just go out there and
7 do that without considering potential upgrades or
8 replacement of the structures, which we did in the Iowa
9 Hill project. We were able -- but because that, the UARP
10 lines were designed for ACSR.

11 So, the last, kind of an important point, hard to
12 quantify is that there's minimal long-term data on how well
13 these conductors hold up over time. The type we settled on
14 for potential use in Iowa Hill and what we recommended was
15 a product made by 3M called ACCR, and that's aluminum
16 conductor composite reinforced. It's a quasi-ceramic core.
17 What's nice about that is it's strands, its -- there's more
18 than one failure mode. So I like that being an engineer.
19 I don't like things to fall down.

20 Smart Wire also recently introduced a similar
21 type of ACSR called ACCR/T7, doesn't have as much time in
22 the saddle as the 3M product, but I liked it because
23 honestly Western adopted it as a standard conductor which
24 told me a lot. So that's why I thought, well, that was a
25 fair and safe bet. Because utilities generally don't like

1 to make changes to new technologies unless there's a real
2 good reason and they're well proven and they're going to be
3 up. Because from the perspective of what it cost to build
4 a transmission line, the conductor cost is about 30 percent
5 maybe. So if it fails, you've got to go out and you've got
6 to do it again. So we like to make sure that we do it
7 right the first time if we can. Minimize that -- that
8 having to go back out.

9 The second project that we looked at, that's kind
10 of a positive note for advanced conductors, is we did look
11 at another line to upgrade to mitigate a potential
12 contingency where we considered the high-temp, low-sag
13 conductors. This one was different because this was
14 actually a structure used or a line that uses all aluminum.
15 And in this situation we were able to find a conductor that
16 would meet the requirements. It wasn't a massive increase
17 in capacity but it was light enough that it still stayed
18 within the structure capabilities so that made it feasible.
19 Still would have been more costly but still a feasible
20 project.

21 So, that's all I've got for right now.

22 MR. ZICHELLA: Thank you, Tony. It's clear that,
23 you know, we're constrained by the investments we've made
24 previously in a lot of these things and the judgments we've
25 made about what we're going to need in the future. It's a

1 really interesting set of issues to look at when you want
2 to innovate and you have these limitations based on the
3 previous technologies and structural capabilities of
4 towers, et cetera. Another thing to keep in mind as we try
5 to plan.

6 MR. DELUCA: Something to mention as -- I'm not
7 sure a lot of people recognize this. But a lot of the
8 lines out there are grandfathered and able to be used as is
9 without fussing around with it, but when you touch them, I
10 get asked all the time to put things on our structures or
11 do some things, when I do that now all of a sudden I must
12 meet the current codes. And if they, you know, if they
13 were grandfathered in, they're okay, don't mess with them.
14 Sort of like remodeling your bathroom, you don't want to
15 change everything, you know, if you do you're going to GFI
16 and you've got to do all these extra things that you didn't
17 have to do before. That's the situation we have.

18 MR. ZICHELLA: Yeah, I understand. It's another
19 policy question. If we want to emphasize this, we may have
20 to think about how we facilitate and encourage that.

21 We're going to move to Wendy Zhang of Pacific Gas
22 and Electric Company now. And Wendy take it away.

23 MS. ZHANG: Okay. Thank you, Commissioner, for
24 the opportunity to speak here. My name is Wendy Zhang,
25 supervisor for PG&E transmission system planning.

1 Can you go to the next slide. Thank you.

2 The new technology add new flavors for this
3 concept that maximizes use of the existing transmission
4 grid. But, in fact, in the common utility practice we
5 follow this concept for many years. We have the
6 traditional way how to implement this idea that -- instead
7 of building new lines we do reconductoring, right. And
8 especially for the aging asset. Anyway, maybe that's
9 because of the age of our PG&E system and how in some areas
10 it's pretty old and it should -- regardless if there's
11 overloads or not from the reliability study, they have to
12 be replaced in the short term. So, replace the conductor
13 or still extend the use of the right of way, or voltage
14 conversion, that's another thing. We have some approved --
15 ISO approved the TPP project. We do the voltage conversion
16 and instead of building new lines. And that's also another
17 way to extend the use of the right of way. And the some of
18 the voltage conversion, just in the probably replace or
19 change the insulation of the lines. And then some, of
20 course, require to replace the conductor.

21 And when we talk about the power flow controller,
22 we also have a traditional power flow controller is our
23 series reactor. And one of the reason ISO approved product
24 in PG&E Fresno area, that's at a series reactor on the
25 Warnerville-Wilson 230 kV line, and that's a very long

1 line. If we do reconductor -- and I think around maybe 30
2 miles somehow it's going to be very expensive. And so
3 install of a reactor will be much cheaper than
4 reconductoring. And so we have some traditional flow
5 controller, of course, now we have the new technology, for
6 example, Smart Wire. I think probably several utility all
7 has more or less some experience how to use this or try how
8 to explore how to use the new technology. And PG&E also
9 has some experience on that in the last two years.

10 So when we think about the new technology, we
11 need to think -- I think there's multiple points we need to
12 consider. For example, the line condition, the age. One
13 of the -- PG&E has a pilot, Smart Wire project, that are
14 in-service and that's a pilot project. It's kind of a
15 research type of a project. And initially that plan to
16 install on the Las Positas to Newark 230 kV line. The later
17 change it to Ravenswood to San Mateo 115 kV line. One of
18 the reason why the plan has been changed is the age of the
19 line as it cannot hold the weight for that Smart Wire
20 device. And it's easy to break. Could be break. So
21 that's the age and also the length and how long -- if in
22 the shorter length how many towers or how many spines they
23 need to install this device to mitigate or targeted
24 overloads.

25 So, if it's a very short line, we cannot

1 install much and the mitigation power probably reduced.
2 And, so, the age of the lines and the location of the
3 conductor are -- and one of the reason that Las Positas to
4 Newark 230 kV line plan has been changed is that line is
5 close to the coastal and the salt air or in the area. And
6 that could also probably reduce the life for Smart Wire
7 device. So this is like age lines location of the --
8 that's relating to the line condition. And also system
9 topology. Smart Wire is push power to other lines. And if
10 it's a radial system, you cannot use it at all. And also
11 to push flow to other lines you need to think about other
12 whether it triggers other line overloads. Whether trigger
13 new overloads, right.

14 So, that's all this we need to -- all this are
15 things to consider before we really implement this new
16 technology and overload the percentage. The pilot project
17 for PG&E Smart Wire project that is only install 90 units,
18 mitigate one percent, one percent of the line flow. It
19 just one percent. So you think if you have much more like
20 20 percent overload, this is not the right solution.

21 Type of contingencies and what contingencies
22 causing the issue where driver the issue and whether that's
23 a good solution. And also compare with the treatment we
24 have SPS or RAS, and that's also low, like a low cost
25 solution. And compared with reconductoring, new lines.

1 But SPS that -- for some location, for example, Greater Bay
2 Area, that's a high density area, per ISO planning
3 standard, which should not trip load for no matter whether
4 N-1 or N-1-1. So the SPS cannot be applied.

5 All of this is just things we should consider
6 when we think about the new technology. And the right
7 sizing I think Carl already mentioned, the Gates-Gregg,
8 that's one example we do consider or like the tower and the
9 -- with just the string on one side.

10 Can you go to next slide, please. Thank you.

11 We talk about that's the new technology, right,
12 and here is the DER. DER is another way to try to maximize
13 the existing transmission usage. And, so, but -- also
14 there's things is more study, more in-depth study than the
15 traditional transmission planning study need to be done
16 when we consider the DER or we need to understand, for
17 example, understand the area of customers and the load
18 characteristics and what customer and what DER we can
19 explore from these customers. And the load portfolio and
20 the load -- load profile, for example, how many of the load
21 curve, like, peak hours. Some area maybe just like two
22 hour to four hours peak time. But some area we do see
23 maybe eight to ten hours, that's flight peak hours. And so
24 in that case, what DER could mitigate 10 hours, energy
25 storage, right now the technology is maybe four hours, can

1 last four hours. So if you have special case that has ten
2 hours of peak hour, then how you mitigating. So this is
3 all we need to think about it. And the peak demand and the
4 frequency of the peak, how many times in a day that peak is
5 going to show up at what critical hour. Also projected the
6 load growth, the load forecast. And when we really think
7 about DER because different type of DER only offer you a
8 minor, or maybe like a couple of megawatts. So when you
9 are load forecast, we have to make load forecast very
10 accurate. We're trying to get as accurate as possible.
11 And because if your load forecast is off, five to ten
12 megawatts, then your solution for the DER will be off.

13 And also system limitation. What's the limit and
14 how much load do you want to offset from the gross load.
15 Type of contingencies is sometimes for simultaneous or
16 nonsimultaneous contingencies we should apply different
17 type of DER or like a demand response you call the
18 customer, maybe that apply for N-1-1. But for N-1 we don't
19 have time to -- we should have like a different type of DER
20 energy -- energy efficiency where solar or DG that probably
21 is good for N-1 but for demand response I think they only
22 apply for N-1-1.

23 So that's the type of contingency and operating
24 solutions, like a load transfer, or that's on the top of
25 the DER and can we do some load transfer or after the first

1 N-1 to prevent the overload violations for the second -1.
2 And another thing is the mix of the resources and the each
3 of the category of the DER only offer you a little bit and
4 they have their limitations. So maybe we can combine all
5 the demand response, and energy efficiency, DG, storage,
6 that kind of mix of all these resources. And to mitigate
7 some higher overloads if we only rely on one that could
8 just offer you just a little bit one percent. May not be
9 adequate.

10 And also the regulatory process. And so far I
11 heard internally or externally there are a lot of
12 discussion about the process, it's how to collaborate it
13 with the CPUC, utility, ISO was the process. Who should go
14 to procure or take a lead on this process, there's a lot of
15 discussion on this, and looking for here some of the
16 discussion related to process also here. So all this is
17 just a -- when we really want to implement this idea
18 regarding DER where the new technology and we -- our
19 traditional transmission planning study may not adequate.
20 We should like explore more on that. So that's --

21 MR. ZICHELLA: Yes, thank you, Wendy. Really
22 excellent list. You remind me of my motto: It's harder
23 than I thought. Whenever you look at these things they seem
24 so simple up front and so logical, but when you start to
25 peel back what's needed to actually make them happen,

1 there's quite a bit of work there, you know. It's a --
2 people don't realize how hard the ducks are swimming as
3 they seem to glide so effortlessly along the water.

4 The mix of solutions that you mentioned on demand
5 response and distributed energy resources is reminiscent of
6 the kind type of exercise that Edison had to go through
7 when SONGS came off line and looking at
8 substations, specific solutions and how much DER -- DR
9 really, was going to be needed to be deployed when. It is
10 a very complex analysis. But I do think we've gone through
11 a trial by fire here in some respects with the loss of
12 SONGS and upcoming with what we're looking at to do to
13 replace Diablo Canyon, it's going to inform some of these
14 things.

15 Moving now to Alex Morris, from the California
16 Energy Storage Alliance. Briefly mentioned storage, Alex,
17 in my intro. It is increasing being seen as a very
18 interesting solution for many different things, there are,
19 of course, many different flavors of storage from fly
20 wheels, to batteries, to pumped storage, compressed air,
21 many different applications that can be put forward to
22 solve. Some of them can do multiple things; others are
23 kind of limited. I'd like to see where you think this
24 could fit in terms of using this technology to extend the
25 life of existing rights of ways.

1 MR. MORRIS: Okay. Thank you. Again, I'm Alex
2 Morris. Thanks for having me here. I'm the policy
3 director from the California Energy Storage Alliance and
4 was going to just talk a bit about the roles for storage
5 here and kind of frame up a bit of how I think storage is
6 possible. What I'm hearing from my fellow panelists, is
7 that you may have worked in the trenches and you are really
8 dealing with the problems, and I really echo Carl's views
9 that it's probably harder than those of us outside really,
10 truly understand. And transmission from my point of view
11 is often confusing just because it's targeted at
12 contingency planning in many ways. And to the outside
13 observer, we can't always see what those contingencies are,
14 how those affect power flows, and so it's not intuitive to
15 the sort of outside observer. So a bit about energy
16 storage and CESA, you know, we're just a trade group,
17 nonprofit group based in California here focused on making
18 storage part of the tool kit. And as Carl mentioned,
19 storage is arising in many frontiers. But on the
20 transmission frontier, it hasn't quite, I think, propagated
21 into sort of the main tool kit yet. And we're confident
22 that over time, you know, if it's competitive, it will.
23 And just a bit about storage. You know, the way you think
24 of it is, you say, well, what problem am I trying to solve,
25 that's the first step. Because otherwise storage is many

1 different technologies capable of doing many things. And
2 in the world of transmission, it's about, you know,
3 managing the delivery of electricity through -- so that
4 load is met and, you know, fundamentally at the high level
5 that's really what it's about.

6 And so how can storage do that? I have some
7 slides here on some of the benefits of storage providing
8 nonwires -- as a nonwires alternative which is our current
9 phrasing for storage as transmission or storage as a
10 distribution asset. And some of the ways you can think
11 about it is that storage can help modulate the flows on it,
12 on a traditional transmission line or solution, and so it
13 can avoid infrastructure siting concerns. And then another
14 key part of storage is that, you know, when you're not
15 using it for transmission, it can do other stuff. And you
16 can't often say that about other transmission resources,
17 for instance, an empty line is just going to be sitting
18 there as an empty line and not utilized. But a storage
19 device may have potential of doing something else, even
20 though jurisdictionally that's a complicated issue. So I
21 call that multiple use applications.

22 One thing we know about storage is that it's
23 shown that it can be deployed relatively quickly compared
24 to other solutions and in a modular fashion. And so that
25 helps address a tremendous amount of the uncertainty that

1 I've heard from some of the planners on the panel that
2 you're trying to make your best guess of how to solve a
3 problem, but it's inherently uncertain. And so when you
4 present that to a regulator and ask for approval they may
5 sort of second guess your assumptions. And so approaching
6 it in a more modular fashion can often work around that.

7 And, I think, finally there's easier local siting
8 and access. We have an engineer on our team who has worked
9 in Australia, and, you know, transmission lines in
10 Australia are very remote and they, you know, so big issue
11 in his mind is, hey, you don't want to send a crew out to
12 the transmission line because that's like a 500 mile
13 helicopter ride or something like that. So, you know, when
14 you have storage and it's able to sort of adjust and be
15 sited more locally, you can solve the problem without
16 having to send a crew to a remote area, in some instances.

17 And just to let you know where it's at, the next
18 slide talks about a quick case in Presidio, Texas where --
19 maybe not unlike some of what I've heard here -- there's an
20 aging -- sagging, aging transmission line. It was very
21 sad. And so they said, okay, what are our options, and,
22 you know, we need to get power to Presidio, Texas, no one
23 doubts that, and should we upgrade the line which we do.
24 And where they landed was that if they shifted the load
25 through this storage device it can help with power quality

1 and then also arbitraging the congestion they were able to
2 avoid upgrading the line. And a key example for this is
3 that you know imagine the load is highest in summer, and so
4 you really just need a solution for two months of the year
5 and otherwise the transmission line is fine. Why should
6 you pay for a 12-month a year solution, when you can pay
7 for a 2-month a year solution. So that type of optionality
8 I think is embedded in storage as a transmission solution.

9 And then some other key, I think, very noteworthy
10 takeaways is that it took two years from commissioning to
11 operation. So that's my understanding is pretty darn fast
12 in the transmission world. And then they also sort of, I
13 think, made some progress on this jurisdictional split rate
14 issue, where if you have a storage device that's going to
15 be jurisdictionally sitting as a transmission resource,
16 which in California it means it has a cost recovery kind of
17 rate base structure. But then you want it to jump out and
18 work in a merchant market place structure, how do you do
19 that in a way that is reasonable and nondiscriminatory and
20 fair to rate payers. And, so, Texas developed this split-
21 rate structure and, you know, that's another frontier where
22 I think California is very well positioned to tackle that.
23 And even going back to I think it was 2010, you know,
24 California was on the front lines of looking at storage as
25 transmission with an issue -- a case called the western

1 grid case. And so we're not unfamiliar with this, but I do
2 think it's really something we can continue to work on.

3 And then, finally, I wanted to speak on this last
4 slide a bit about the narrative of multiple-use
5 applications and storage. And, I think, and, you know, this
6 is my projecting that. Planners inherently love a wire
7 that's going to be available all the time. It makes you
8 feel relatively certain that the resource will be there
9 when you need it, you know. And that's kind of the
10 narrative for transmission is, you know, better be there
11 when you need it and that's how you plan the system. And
12 then when you think of a storage device there's some
13 dubiousness and questions that come up, hey, will it really
14 be there when we need it, what if it's going to try and do
15 something else. And so, you know, we're trying to look at
16 that concern. And I think one way to approach it is, well,
17 are the transmission lines really available all the time?
18 And, you know, this is just a simple snapshot, not saying
19 this is the best data for the case, but, you know, you can
20 see from this NERC filing chart that, yes, transmission is
21 often not there and you can also see that a lot of it's not
22 there in the summer, which presumably is the harder time
23 for the transmission system in many areas of the country.

24 And, so, I think it's a bit premature to sort of
25 dismiss a solution that's in a multiple-use application

1 because you're worried it won't be there when we know that
2 utilities have outages, they all have SAIDI and safety
3 outages, and that transmissions go on service both -- they
4 go out of service both as forced or planned outages, you
5 know, with great regularity and predictability and yet
6 we're comfortable with that because we know it.

7 And, so, my final point to wrap up is, Neil, I
8 heard you mention, you know, there's still this paradigm
9 shift that's occurring where we're still kind of in the old
10 world and we bench mark against the old transmission
11 solutions and you kind of have to outcompete the old
12 solution to prevail, so to speak. And I think, you know, I
13 do see that transmission paradigm shifting, and so I really
14 appreciate that Edison is bringing, you know, the
15 transmission planners of the future here. And, you know,
16 hopefully storage will continue to sort of feed into the
17 options you look at.

18 So that's all for me. And I have an appendix
19 slide about just another specific storage solution, which
20 it's a FACTS -- a flexible AC transmission system. And,
21 again, it's just like another optionality based thing. It
22 like replicating an existing transmission solution, but has
23 some extra functionality and if we can jurisdictionally
24 accommodate that, and if it was cost competitive, gee,
25 wouldn't that be great. So this is more info on that.

1 MR. ZICHELLA: Yeah, it's a chicken and egg
2 situation with some of these services because we don't have
3 products for some of them. We don't have a way to
4 compensate people for them. We've taken a lot of the
5 services that the grid takes from existing generation for
6 granted. We don't compensate them. It's kind of bundled in
7 the electricity price, whether it's voltage support or
8 frequency response, or those sorts of things. And I think
9 that when we look at -- and I'm going to open this up in
10 just a minute. If you guys want to ask each other
11 questions too, I encourage that.

12 But before I leave you, Alex, I wanted to throw a
13 few thoughts out about storage. First of all, DOE is
14 really exploring this issue and what its role can be in
15 grid modernization right now there's a bunch of work
16 happening, if their budgets aren't reduced to ashes, they
17 will be able to continue that work. Good news is I doubt
18 the president in his budget is going to succeed. The bad
19 news is they're going to be very frugal in how they move
20 forward because they're not sure what they will get. But
21 they are looking at how these applications will definitely
22 begin to penetrate. I know EPRI and other are doing a lot
23 of work also in these areas too.

24 When we talk about adoption, you know, the
25 biggest thing has been cost. You know, we're still in a

1 supply curve that scares people, although the learning
2 curve on these are really happening pretty fast, whether
3 we're talking batteries or other technologies, costs are
4 coming down fairly rapidly. We went through the same thing
5 with solar when we did the first RETI process. We had to
6 change the supply curve for renewable energy resources
7 twice before we were even done with the process and we were
8 still off because prices were dropping that fast,
9 especially for PV. So, you know, there is this issue of
10 trying to understand when they actually become competitive,
11 and what is it worth paying the premium upfront to help
12 make that happen. And that's a policy question. And
13 California's obviously dove into those waters already.

14 There's a question of stacked values, and I think
15 you sort of touched upon this, they can do many things but
16 the compensation structure for those many things is not in
17 place. We're not sure. Is it generation? Is it
18 transmission? You know, what are we going to -- how do we
19 monetize the various things that they can do to help
20 increase the value of these resources.

21 You mentioned what Texas had done about the
22 split-rate as one approach for that. I was wondering if
23 you had some thoughts about what California ought to be
24 considering in terms of taking advantage of what we've
25 learned from the Texas experience. We did adopt their CREZ

1 process in RETI. As much as I hate to admit, we learned
2 something from Texas.

3 MR. MORRIS: Very generous.

4 MR. ZICHELLA: You know, I thought, you know, you
5 might have some insights there into how they're dealing
6 with this monetization issue.

7 MR. MORRIS: Yeah, I don't know the specifics,
8 but I do know that it's doable. And a very simple example
9 is, you know, how much of a resource cost should be
10 embedded in the TAC; right? Because fundamentally you
11 don't want to have cross subsidization between those two
12 worlds under the current construct. And so, you know, sort
13 of simple example of that split-rate treatment is you say,
14 hey, we have a storage device here with these
15 characteristics, we're willing to -- someone needs to
16 operate it for eight months a year, they can take all the
17 revenues from that. Come all you bidders for that. And so
18 people will bid and say, hey, I think with that device I
19 can make this much money or that much money and they'll bid
20 for that. And then you take the money you recoup from that
21 and you offset your TAC amounts so that you reduce the
22 amount that the transmission side of the equation is
23 paying.

24 So, there is a way to do it through a market
25 structure, again, it sort of involves one, two steps. I

1 think for California it will be unclear jurisdictionally
2 who would manage that. But conceptually from a rate-payer
3 point of view, you know, it's a great idea is that, hey,
4 let's save some money and get our transmission system, you
5 know, workable in the right ways. It just seems like a
6 great thing. And if all it takes is some creative thinking
7 on what the market and jurisdictional process are, I think
8 we can solve that. You know, Texas on the one hand does
9 have it slightly easier in that they're kind of
10 self-contained island grid without needing it to go to FERC
11 and sort of abide by some of those additional
12 jurisdictional hurdles.

13 MR. ZICHELLA: You know, they don't have the
14 geographical diversity that we may have access to in the
15 Western Interconnection because they're FERC allergic.

16 You batted the ball sort of into Neil's yard a
17 little bit, and I wanted to ask Neil, you know, when we
18 think about this, the system is constantly changing right
19 now, things are coming out of the system, we're seeing
20 power plants retire, we're seeing inertia shift to
21 different areas or finding different ways to meet the kinds
22 of grid support needs that we have. All this affects
23 our transmission needs, are right of way usage, and the
24 expected build that we have. As you see the system
25 constantly changing, and I want to just mention, because

1 people may not realize it, how much innovation that the ISO
2 has tried to do to help integrate some of these
3 technologies. Four, five years ago they had a battery
4 storage test project to try to find what would a tariff
5 might look like there. They're not as stultified as people
6 may think, maybe not as aggressively innovative as I would
7 like sometimes, but I have to say I think no one has a
8 finger better on the pulse of what's needed to keep the
9 system whole as it's changing. And not being in denial
10 that it's changing but looking forward as to where it's
11 going to go.

12 So, Neil, you know, as we look at these changes,
13 what kinds of technologies do you see on the horizon? And
14 do some of these things -- this industry is so conservative
15 and understandably so at the reliability of the thing that
16 your entire economy runs on is held hostage to it. But we
17 still have to think about how we're going to get to where
18 we need to go and what new things to bring in. It's not a
19 great place for innovation, this electricity space.
20 Although we're doing it more now.

21 What do you see, Neil, in terms of, are there new
22 technologies that can become viable, or some of the ones
23 we talked about today that are really on the cusp of
24 adoption, you know, what does your crystal ball say?

25 MR. MILLAR: Well, I think there are -- thank

1 you, Carl. I think there are a few technologies that
2 really are, as you said, on the cusp. You know even when
3 we're talking about storage. We're recognizing now that
4 there's -- we're planning on through our stakeholder
5 catalog of initiatives process to get this issue of how we
6 address storage that might be a little in rate base and a
7 little out of rate base to get that on the table and see
8 how interested the stakeholders are on jumping on it.

9 One of the reasons historically we hadn't seen
10 that need to press forward on that particular issue from a
11 policy level was we did see that storage as a local
12 capacity resource was actually working. So unlike a lot of
13 jurisdictions we actually were seeing storage moving
14 forward connected to the subtransmission system everywhere
15 from 10 to 30 megawatt batteries proceeding as local
16 capacities. So there was a vehicle that was working that
17 might not have been how some people felt it should be, but
18 it was getting what we needed. Some of the purely
19 transmission are storages are rate based item as a
20 mitigation for transmission. We've had unfortunately a lot
21 of proposals where they were the preferred resource but
22 they didn't actually meet the technical need. So those
23 were all -- actually disappointing because there was
24 nothing worse for us than to have to study these
25 alternatives and say, you know, nice try but that actually

1 isn't meeting the basic reliability need. We need more
2 hours. We need more capacity.

3 One issue that we faced when we studied a number
4 of projects was simply that you had to get that line back
5 in service by night or else you wouldn't be able to
6 recharge and have it for the next day. So looking at
7 fundamental things like, okay, you've got one cycle, then
8 what, was an important part.

9 So this is an issue that we do see the need
10 though as the local capacity model might come under more
11 pressure, especially with CCA's on the horizon. How will
12 that work? So we do want to see what needs to be done on
13 that issue.

14 But in terms of the other technologies, you know,
15 the Oakland plant is a potential retirement where working
16 with PG&E we are exploring how we can make a basket of
17 resources work. We've already indicated to stakeholders
18 that should that plant move to retirement, on an age issue,
19 that we are not intending on moving forward on a major
20 transmission solution. We see some inside the substation
21 work that would help with some of the multiple contingency
22 issues. But the larger contingency issues we would be
23 looking for preferred resources, and that's going to be a
24 great proving ground for how can we operationalize these.
25 Because that's actually a key issue. Having them work on

1 paper and having an operational solution that the control
2 center can rely on is very important.

3 Now, in that context, we see a lot of these
4 solutions having possibilities. Given the amount of time I
5 have to admit that we sunk into the Old Town-Mission
6 alternative, we were disappointed that we weren't able to
7 get that over the finish line. We saw it being a good
8 project on its own merits, and we also saw it being that
9 critical getting your foot in the door where integrating a
10 new technology generally includes some level of startup.
11 There's some new tools that are acquired for
12 implementation, there's new stores sparing strategy and so
13 forth. You know with Edison, with the ACCC conductor they
14 found a project that's big enough to justify the rest of
15 the infrastructure that goes along with introducing a new
16 conductor class. So that's great. Once it's established
17 within that area it creates more opportunity. So we're not
18 there yet on the Smart Wires technology but we have to keep
19 looking.

20 We do see, and this is one of the things our
21 group is really having to focus on, is instead of saying,
22 well, this is just as good as a synchronous condenser or
23 just as good as a conventional resource, we're really
24 having to dial back to look at what are the fundamentals
25 that the solution actually needs to address. When we're

1 talking about inertia is it that we really need an inertia-
2 like governor response, or is it that we've been counting
3 on some fault current in the area so that the rest of the
4 protection and control works. So we really do have to
5 dissect back to say, well, what is it that we're actually
6 counting on that resource to need and which of these
7 solutions help contribute. You know, inverters can provide
8 excellent governor-type response but they don't provide a
9 lot of fault current if you need to get motors started in
10 the area or need to make sure your protection and controls
11 -- your protections are continuing to work.

12 So, that's where we've been focusing now is, this
13 year in particular, we're dialing back internally and
14 looking at some of these fundamental issues so that we can
15 better articulate the needs in some of these areas and
16 hopefully get solutions that are more targeted. Not trying
17 to compare themselves to some other solution but actually
18 address the fundamental requirement, right from the get-go.

19 MR. ZICHELLA: Really good comment, Neil. I
20 think we've seen -- we've underestimated the ability of
21 some of the resources to provide some of the grid services
22 that we need, and, of course, some of the work that ISO and
23 NREL have done with First Solar have helped illuminate some
24 of what's possible from that. Very precise, very fast
25 responses, but, again, not everything you need. When you

1 need something like reactive power it's very locationally
2 unnecessary, unlike frequency response. So you have to
3 think differently about what's available to you in that
4 location.

5 So, really good comment.

6 MR. MILLAR: Can I just add --

7 MR. ZICHELLA: Sure, please.

8 MR. MILLAR: -- a tough nut to crack on that
9 though is that while you can get that excellent governor-
10 like response that only works if the product isn't running
11 at its maximum output.

12 MR. ZICHELLA: Right.

13 MR. MILLAR: So, backing off even a little to
14 provide that governor-like response still looks like
15 curtailment.

16 MR. ZICHELLA: Yeah.

17 MR. MILLAR: It's still lost megawatt hours that
18 could have been produced from a free energy source. So
19 while that's one way to produce that response, it does have
20 its disadvantages when you're watching, you know, free
21 energy being lost --

22 MR. ZICHELLA: Yeah.

23 MR. MILLAR: -- to provide that capability.

24 MR. ZICHELLA: Yeah, there is that head room
25 issue, you know, you can always dispatch down, but

1 dispatching back up again not so easy.

2 Does anyone else on the panel want to take a
3 crack at that? That's kind of an open-ended question about
4 where you see things going.

5 I can see Tom was a -- the wheels were spinning
6 there, Tom. So I want to see what you've got to say.

7 MR. BIALEK: Sure, no problem.

8 So, I'll sort of walk back a little bit. You
9 talked about, you know, why is it hard, why aren't the
10 utilities more innovative. And, I think, it really sort of
11 comes back to providing, you know, we're the entities that
12 are seen to provide safe reliable service. And if the
13 system collapses or if there's an issue, then what is the -
14 - if we apply some of the innovative technology and it
15 doesn't work, what are the consequences? If the
16 consequences of failure are that you are going to be
17 punished because of taking those risks, then you can guess
18 that the reality is you're not going to take those risks.
19 So, the question is, what is the environment that allows
20 you to be innovative and how, you know -- and if you are
21 innovative and something goes wrong that's one thing, but
22 if you're innovative and something doesn't, you know, goes
23 right it certainly helps everybody along. I think what you
24 see sort of, you know, following something that Neil was
25 saying, if you look sort of the -- and Wendy mentioned this

1 as well. If you look at broader DER kind of alternatives
2 that could potentially displace transmission alternatives,
3 et cetera, you get into scenarios under which there was a
4 set of criteria that they have to align to, I mean,
5 certainly size, place, location, performance sort of
6 guarantees, but then you get into what is the individual's
7 incentive, you know.

8 So, for example, we have lots of discussions on
9 the distribution side about, well, if you move people off
10 of their maximum power point tracking and push back on
11 their power production, well that's an impact on their
12 bill. And they look at that and go, I'm not going to do
13 that. Why would I do that. So, there's this whole
14 question about sort of rates and rate design, how does
15 this -- how does this stuff flow through, you know. Is
16 there values for services that traditionally we're not
17 valuing today that we are bundling. We certainly do that
18 on the distribution level significantly, and I know we do
19 it on the transmission level as well.

20 And, so, when you start to think about if you
21 unbundle those and that's accepted, then other services can
22 be provide and there would be other kinds of resources
23 available to provide those services perhaps, better than
24 currently existing resources.

25 And so those are some of the challenges and it

1 really does require people to stop and take a step back and
2 think about this in a little bit different fashion. And so
3 that's one of the challenges. And I think, you know, Kevin
4 brought that up as well. How do you get people to -- who
5 have been doing the same thing for thirty years to suddenly
6 say, well, no, I might be able to do it a different way.

7 MR. ZICHELLA: I think the main dynamic is the
8 system is changing and changing quickly. So, you know,
9 doing what we did for thirty years may not be the viable
10 option anymore. But being that you mentioned it, Kevin, I
11 wanted to come back around to you, Kevin, because I know
12 Edison has been a leader in trying to unravel and unpack
13 sort of the distribution system challenges of DER's coming
14 into the system. And also try to make that much more
15 visible and much more controllable and; therefore, much
16 more able to contribute to the operation of the bulk system
17 too. There's a communications issue and a management issue
18 that I know you've been struggling with and, of course, you
19 had a lot of issue with CCA's drawing load away. But you
20 still have this basic pioneering attitude to -- really some
21 fundamental changes to how the distribution system is put
22 together and operated that I think is really interesting.
23 And a transmission-distribution system interface really
24 makes a big difference. If we can get more support out of
25 the distribution system it may enable us to get more out of

1 the bulk grid and; therefore, more out of our existing
2 rights of way. So I realize it's kind of a bank shot but
3 it is related right now as all of things are. Your views
4 on what your work on the distribution system upgrades and
5 how that might translate into more of an interface with the
6 bulk electricity system.

7 MR. RICHARDSON: Thank you, Carl.

8 I think it's definitely a good avenue to pursue
9 and we are pursuing it. But just at this stage I think
10 we're still pretty siloed between transmission and our own
11 distribution unfortunately.

12 MR. ZICHELLA: Yeah.

13 MR. RICHARDSON: So, I mean, we have -- we've
14 reworked our company to address a lot of those issues, but
15 the people doing the transmission reliability planning
16 studies or the generation interconnection studies or even
17 on the subtransmission level, they're still kind of
18 isolated separate groups. And I think internally as a
19 company we really need to work on that and work more with
20 our distribution counterparts. But I think also, I think,
21 in the rate case we didn't get a lot of our grid mod
22 approved yet. So, I mean, that's a little disappointing
23 because we're definitely trying to go that area and when
24 we're getting signals of, you know, not getting that type of
25 money approved we have to wonder are we doing it the wrong

1 way, or is, I mean, do people really want this? So, I
2 think, we're still kind of in the infancy of trying to get
3 there, you know.

4 MR. ZICHELLA: Thanks for that, Kevin. I know
5 it's difficult. One person's silo is another person's
6 cylinder of excellence, of course. So, you know, it's
7 difficult sometime to break those down because people are
8 used to working in the milieu that they work in and they've
9 actually done a good job. So I say that half in jest and
10 it is really true. I mean, we've come to the level of
11 reliability that we're at because people did really focus
12 in on -- and we had a much simpler system to focus in on at
13 the time. So, anyway, thank you for that.

14 Any other thoughts? I see Alex you have a hand
15 up.

16 MR. MORRIS: Yeah, so I think going back -- this
17 has been a great discussion. A key point I'm thinking of
18 in my mind is with the transmission discussions what
19 problem are we trying to solve again. And as you all know,
20 you know, there's different buckets of transmission.
21 There's our main reliability bucket, which I think is what
22 we've focused on. But there's also this policy bucket
23 which is from a transmission perspective what's the smart
24 investments to make to help us achieve our, sort of,
25 renewable policy goals. And anyone who's participated in

1 RETI knows kind of there's a lot of complexities about how
2 you think, you know, what's the right mix? Where's the
3 good renewables? How much is the transmission upgrade? Is
4 that the right approach? And, you know, we want to see the
5 future and make smart decisions and I commend that. I
6 think, you know, one area where jurisdictional issues show
7 up though is that if you have solar sited in a perfect site
8 but it's, you know, kind of upstream on a skinny
9 transmission line, you know, then you kind of say, okay,
10 jurisdictionally the generator needs to -- does the state
11 want to pay for a policy upgrade, or should the generator
12 have to pay for some of those upgrades to be fully
13 deliverable, or do we want storage upstream of that so they
14 can essentially be fully deliverable but you never have to
15 upgrade the transmission. And so I, you know, I continue
16 to wonder if we have fully dialed in our analytical process
17 to think about this array of options for the policy
18 solutions.

19 And another key issue I wanted to mention is
20 that, you know, if you go back 50 years and you said, hey,
21 you know, it looks like we need -- we have ten new houses
22 in this area, you know, how are we going to serve them.
23 The utility would say, should we have some new
24 transmission, should we build some local gen, what's the
25 right mix? And they can compare and contrast those one --

1 against one another.

2 And now just because of the way we've approached
3 deregulation, transmission is in its own category, and then
4 and as Neil mentioned, hey, it's pretty nice when the local
5 RA make sure the gen is cited locally enough so that you
6 don't have to worry from a transmission perspective. But
7 we don't necessarily, as I can tell, have that head to head
8 competition between the transmission solution and the gen
9 side solution. And storage seems to do that but the one
10 key is then you just have to define, hey, is the storage
11 operating in this jurisdiction or that jurisdiction. But
12 really what it is, is allowing sort of gen style resource
13 to compete with the wires resource.

14 MR. ZICHELLA: That's a really good point but I
15 also think though it's very clearly a transmission resource
16 and some of the applications as you mentioned --

17 MR. MORRIS: Yes.

18 MR. ZICHELLA: -- before there's all these
19 different flavors. A great example of what you just talked
20 about in terms of strategically locating transmission is a
21 proposal to build a compressed air electricity storage
22 facility at Delta, Utah. It's a well-proven technology.
23 It's been in service, although at a smaller scale, for many
24 years looking at doing 1200 megawatts of it at Delta,
25 taking the coal plant out of service, one of the best wind

1 sources in North America, just upstream from there it's
2 a -- obviously, variable though high capacity factors. You
3 have a great opportunity there at --biggest salt formation
4 in the west that captures a lot of that excess wind when
5 it's at a really good price and keep that transmission line
6 that was built for the coal plant at IPP operating at a
7 good utilization factor in basically any hour you want it
8 to. It's a wonderful idea but it may not happen.

9 MR. MORRIS: And why's that? I mean you sold me.

10 MR. ZICHELLA: You know the reason it may not
11 happen is because it's outside of the box --

12 MR. MORRIS: I see, okay.

13 MR. ZICHELLA: -- you know, it's not a
14 traditional look at a resource choice that people have made
15 because you just don't see them, right? How many CAES
16 projects do you really know about in the west? There
17 aren't any. You know, there's one in the Eastern
18 Interconnection that's been working, in Texas they want to
19 employ them. But it hits a specific need about
20 transmission line utilization and resource wheeling that,
21 you know, is not that common.

22 So, it's just a great example of what you were
23 talking about earlier, and one that I've been keenly aware
24 of. Because I've been a supporter of having that project
25 analyzed at the Western Electricity Coordinating Council

1 because it was even a struggle to have them analyze it,
2 because it was not something that was, you know, commonly
3 in their wheel house so.

4 Was there another question?

5 MR. MORRIS: Let me just wrap up.

6 Yeah, and that's where I think the IEPR can play
7 a key role of saying, hey, you know, we, the State of
8 California, think this is a problem, we need to be thinking
9 smartly on, and here's some recommendations which agencies
10 can be on point, et cetera.

11 MR. ZICHELLA: That's a good one. And the
12 transmission line actually delivers power into the heart of
13 Los Angeles basin. So, it's a good one for California to
14 think about.

15 Wendy, you were itching to say something?

16 MS. ZHANG: Yeah, just to compensate of what this
17 same topic. When we think about transmitting only wire
18 solution [indiscernible] transmission solution. And that's
19 maybe for many years we think that way after the
20 deregulation generation. And the reason I think more and
21 more people think about wire and the nonwire solutions.
22 And, of course, it's going to take some time for like a
23 transmission planner gradually to start to like to put a
24 nonwire solution as wires alternative. But I see that's --
25 more and more people think has been educated to think both,

1 like wire and the nonwire. Of course, the nonwire not only
2 generation that including a bunch of maybe energy storage
3 or generation, new technology, a bunch of things that call
4 nonwire solution.

5 And as Neil mentioned, in the PG&E we have the 15
6 projects put on hold and re-scoping the project. And in
7 that re-scoping process we going to consider nonwire
8 solution. And, so, it just going to take some time for
9 people. You need to educate people. And also when we
10 really implement there is there are advantages.

11 I think Tom mentioned something and I also
12 mentioned something. A lot of the things we need to
13 consider and that's more than regularly we do our normal,
14 traditional transmission planning. For example, if we
15 propose project when we identify a need, we just -- we
16 using the ISO approved base case that's either 1 in 10 or 1
17 in 5 peak load base case. We run -- that's just one
18 scenario. We run the base case we found, oh, 10 percent
19 overloads we propose in our projects. But in order to
20 implement, for example, energy storage or DER we need to
21 look at very deeply much more information, not only just
22 look at base cases, what is modeled, like what is modeled
23 in the base case.

24 The four major things we need to look on the
25 load -- only on the load side is, for example, the peak

1 load, the timing, frequency, magnitude, duration. So all
2 this different characteristics of the load we need to look
3 really, really deeper and to make a decision whether energy
4 storage could be a better fit. And how to size, right
5 sizing of the energy storage. So the overall, if this is
6 cost effective solution, I think utilities willing to look
7 at it and we already do it more and more is starting to do
8 it.

9 MR. ZICHELLA: Yeah, I think, Wendy, what you
10 said a little earlier about usually there's not going to be
11 one choice, there's a menu of things that we may need to
12 do, there's a variety of things that have to work in
13 concert with each other.

14 Just this past week BPA announced they're
15 abandoning their I-5 project, which was really high on
16 their list of needs for a long time but they're dropping it
17 in favor of nonwire solutions. And they have a long
18 history, I think, probably close to 15 years of doing
19 nonwires transmission analysis and making judgments about
20 which lines to build on the basis of that. If we can get
21 what we thought we were going to get, we won't build the
22 line. It also helps you justify the line that you
23 eventually need to build, if you do that. It's much easier
24 I think if you have a transmission need and you've gone
25 through that exercise.

1 I wanted to give Tom and Tony a chance to add,
2 and if they'd like to, and then I'd like to open it up to
3 questions from the audience and on the phone. We've got
4 about, I think, 25 minutes or so. And the first couple of
5 panels we weren't able to incorporate any of the feedback
6 from folks in the room, so I'd like to try to give folks
7 here a shot.

8 So, Tom or Tony, any thoughts you'd like to add
9 in on this conversation or directions we need to think
10 about?

11 MR. BIALEK: And I'll put it this way. This
12 morning we, again, we saw a lot of sort of multilayered
13 views of what the world looks like. I think people need to
14 also understand that for a transmission planning
15 perspective it's also a multilayered view. A very
16 technical multilayered view but it does take a long time to
17 necessarily go through some of all of these alternatives.
18 And that a one size -- while a technology may work in one
19 particular area, it may not work in others for a variety of
20 different reasons. Foot print is one. I mean, we've
21 deployed a lot of energy storage. You look at where is the
22 available space and you look at that and go, well, how can
23 I -- where's the free available acres that I have that I
24 can site which will get me around some of the permitting
25 issues that might otherwise have to do if I have to build

1 brand new infrastructure -- green field infrastructure.
2 And, so, it's in the context of looking at this and trying
3 to understand how we can apply technologies. Technologies
4 enables us to look at these kind of alternatives to try to
5 understand what we can do when we aren't constrained. But
6 they certainly -- we certainly need to think about them in
7 the context of, as we plan and go forward, that they're
8 just another tool in the tool kit that we really do need to
9 look at. Really do need to say, well, isn't this a better
10 alternative than what we've done traditionally.

11 MR. ZICHELLA: Tony?

12 MR. DELUCA: I just wanted to add that I think
13 some of the things that I worked on in the past, I was
14 surprised that the transmission system was often times
15 considered to be completely separate from the distribution
16 system, that was really good point. And there really was
17 an a-ha when people said, hey, this actually works, they
18 actually do flow across the boundaries. And there's a lot
19 of regulation and a lot of thought and work that's been
20 done on the transmission side to make sure that we have
21 four second data, received at the control center, there was
22 a lot of automation already in place, there's all kinds of
23 sexy things that are happening at the transmission level
24 and smart grid and all these activities are all about
25 automating things at the distribution level. And I will

1 say having peeked under the skirt there, it's not really
2 ready for some of that stuff. And volumetrically it's a
3 huge amount of things that you have to do to implement
4 these things. And the reason I mention that is when you
5 start talking about DERs and landing resources down at
6 perhaps the distribution level, what kind of an impact is
7 that going to have and who's going to pay? Because it's
8 really going to float up. If you want to aggregate a whole
9 bunch of things and then roll that up and make use of that
10 at the transmission level, what does that do? So that's
11 only --

12 MR. ZICHELLA: That's a good observation. Of
13 course, a lot of the investment that we've made over many
14 decades we've been living on for a long time and we're in a
15 big transitional period, and a certain amount of system
16 investment that's going to be required no matter what we do
17 at this point. We're on trends that are not likely
18 reversible with variable generation coming in and a lot of
19 base load falling out because it's not able to compete in
20 markets, even bilateral markets in many cases.

21 Alex, can you -- you've got a quick one because
22 I --

23 MR. MORRIS: Yes, just one final point.

24 MR. ZICHELLA: Okay.

25 MR. MORRIS: I just wanted to add. I really hear

1 that the work you guys do is complicated and hard and I
2 recognize that. I wanted to mention that there's a
3 learning curve that's normal, and I don't mean to pick on
4 San Diego. But as part of the CPUC's direction for San
5 Diego to procure storage, you guys looked at a distribution
6 substation deferral project, which I constantly get the
7 substation wrong, I call it Jamacha, but I think I have
8 that incorrect, so. But I think that one of the lessons
9 learned was that, you know, you guys initially spec'd out
10 the RFO and said, hey, we want some storage to help us with
11 a substation deferral and here's the operating specs. And
12 the numbers came in from storage and it was expensive. And
13 you said, why is it so expensive? And it's like, well,
14 because the deferral -- the performance requirements were
15 very high. And, so, maybe -- and I think what I understand
16 is you guys were thinking of redoing that RFO to still
17 pursue the same substation deferral but with more modest
18 requirements on the storage device maybe it's not so over-
19 robust of a solution. And so, I think, that learning curve
20 to me highlights that's fair, that's reasonable, you guys
21 should be able to learn and figure this new stuff out.
22 It's part of the paradigm shift that we're, you know, we
23 seek.

24 And one final point, is that, there was a bill
25 this year that was really designed for that purpose. It

1 was called Assembly Bill 914. And it essentially said,
2 hey, we're the state, if you're a utility that's
3 jurisdictional to us, we want you to at least consider some
4 nonwires alternatives. We're not saying you're not doing
5 it already, and we're not saying you're not doing a good
6 job, but we want to see you continue to build that
7 capability by -- and force your people to think outside the
8 box a little bit. So when they go into the CAISO's
9 transmission planning process they at least come with a
10 handful of options. And they may not win, they may not be
11 cost competitive, but we appreciate that you're, sort of,
12 figuring this out and going through that learning curve and
13 sort of developing that change in your culture.

14 MR. ZICHELLA: This is a tremendous conversation.
15 I want to thank you all. This is -- I could go on for
16 hours talking about this. This has been really
17 interesting. But I don't know if we have any blue cards
18 from folks that have signed up.

19 Somebody's pointing. Karen, do we have blue
20 cards? Are you pointing at -- who's got them?

21 Oh, okay. And if there --

22 MS. DOUGLAS: Right, there was one at the dais.
23 Let me look for it while --

24 MR. ZICHELLA: Okay. Let me then just ask while
25 Karen's looking if anyone in the audience was -- is

1 interested in speaking who didn't fill out a blue card that
2 I think we have plenty of time.

3 Is that yours David?

4 I think I know whose blue card that is.

5 MS. DOUGLAS: Found it.

6 MR. ZICHELLA: Okay. David, why don't you come
7 up to the podium here if you don't mind and identify
8 yourself and give us your question.

9 MR. TOWNLEY: Sure. Thanks, Carl.

10 Thanks, Commissioner.

11 Thanks for the opportunity. This workshop really
12 great kind of play off some wires and nonwires
13 opportunities to get more out of the grid. I'll take about
14 one minute to speak to advanced conductors and to grid
15 efficiency as a means of getting more out of the grid.

16 Advanced conductors, we like to call them
17 high-performance transmission conductors, you've seen that
18 in our comments. We also have heard high-temperature, low-
19 sag, kind of given the historical use of solving the sag
20 problem. So we've heard it mentioned. We heard an
21 application described to Kevin. This class of conductor
22 has been called high capacity, and it is. But within that
23 high capacity class there are some that are much more
24 efficient within that class. And one of these, ACCC, or A
25 triple C, conductor has been third party certified to

1 reduce losses, generally about 30 percent reduced losses,
2 line losses. And that's at about a cost of 2 to 2 ½
3 percent the traditional ACSR. So this reduced line loss
4 translates directly to reduced emissions. Sort of the
5 whole backdrop of -- the discussions that we have around.
6 And it also fewer required megawatts of any generator,
7 renewable or otherwise, that goes in, they're just not
8 serving those losses.

9 So when SCE energizes the line for line
10 replacement that Kevin described, we are all expecting to
11 see about a 30 percent reduction in line losses across that
12 segment. But I want to use that description of grid
13 efficiency to highlight what I describe as an underutilized
14 emission reduction resource, the electric grid. A 30
15 percent reduction in T&D losses just from California. It's
16 about a one to two million ton per year CO2 reduction.
17 That more efficient grid reduces emissions, it reduces the
18 amount of renewable energy that we need to put on the grid
19 to serve the loads. So the ASK is, please, consider ways
20 to give guidance or to incentivize an appropriate goal of
21 increasing the grid efficiency. As we otherwise go about
22 our annual processes, looking at T&D reliability issues,
23 from both existing and new lines. So some guidance. And I
24 would ask -- it's not a question, but it's a premise, and
25 so if there's some comments on that certainly like to take

1 those.

2 Thanks for the opportunity to make a comment.

3 MR. ZICHELLA: Thank you, David.

4 Does anyone else like to add a comment in the
5 room? If not, then I'm going to say something that I
6 always get a kick out of saying. Let's go to the phones.

7 MS. RAITT: Todd Ryan, I think you had a comment.
8 We will open up the line, if you want to go ahead.

9 MR. RYAN: Good afternoon, I hope everyone can
10 hear me clearly. I'm Todd Ryan with Smart Wires and I just
11 wanted to thank everyone for participating and bringing
12 this forward. I'm curious if some of the presenters -- or
13 panelists would like to comment on some of the benefit they
14 see in advanced technologies and why they're excited about
15 those advanced technologies coming forward.

16 MR. ZICHELLA: Anyone want to tackle that?

17 MR. BIALEK: So, it's Tom Bialek, SDG&E. I would
18 just put it in the context of I think something that you
19 had pointed out originally, Carl. If you look at from
20 inception to completion of a transmission line in a new
21 corridor, the costs, the time, the regulatory process, you
22 know, Sunrise, I think, construction took about 2, 2 & ½
23 years, everything else took the other 8 years, the stack of
24 papers was, you know, 3 or 4 feet high, and you look at
25 that you go, okay, now I want to do something, I've got a

1 need, is there an alternative. And if that alternative can
2 utilize the existing right of way then why shouldn't I take
3 advantage of it. Especially if it gets me around a lot of
4 my siting and licensing issues that I may have. Because
5 those become ultimately really key especially if you look
6 at it and say if I want access to a renewable rich
7 resource, then what is it that I have to do, and how do I
8 do it, and how can I do that most cost effective stream
9 line fashion, that has the most minimal amount of impact.
10 And so these technologies, whatever those technologies
11 happen to be, provide you the potential for actually doing
12 that at a, you know, more streamlined fashion at a
13 potential lower cost to actually implement.

14 MR. ZICHELLA: Thank you, Tom. Well said.
15 Go ahead, Neil.

16 MR. MILLAR: I just like -- it's Neil here. I'd
17 just like to add in that the flexibility that we see on the
18 transmission system is also going to become progressively
19 more important, you know, Tom -- I'm sorry, Carl mentioned
20 the infamous duck curve earlier and people tend to think of
21 it as a generation issue but they also have to remind -- we
22 also have to remind people that those resources that are
23 back-filling when the renewables are dropping off are
24 located in a different place. So besides keeping frequency
25 under control, we also have to keep the whole grid stable,

1 voltages within ranges throughout the transition. Normally
2 just a ride through the peak and then watch load drop right
3 back off.

4 So the operating flexibility of the transmission
5 grid itself is steadily increasing, that's another area
6 we're hoping to see a larger contribution from more new
7 technologies, FACTS type devices and helping us manage that
8 amount of transmission and volatility at a lower cost and
9 certainly without having to put a lot of new conductor in
10 the air just as a hedge because we are having to deal with
11 a wider range of operating conditions.

12 MR. ZICHELLA: Yeah, it's also one of the reasons
13 I mentioned regional expansion of the ISO as a tool because
14 you do get the opportunity to use the rest of the system
15 that transmission has committed to this system to its full
16 capacity rather than a just contracted capacity. All of a
17 sudden a lot of options open up to you. It's like you get
18 a bunch of transmission just from doing it. So a lot of
19 things to look at. Some of them don't cost that much; some
20 of them are politically costly like expanding the ISO
21 footprint, which we really have to try to figure out. But
22 we've got a chance here to do some things that for the long
23 term give us a lot of value.

24 Do you have another comment, Neil?

25 MR. MILLAR: Well, I was just going to build on

1 that. One of the issues, that obviously for us was a real
2 concern, in the Smart Wires technology evaluation, was one
3 of the concerns at San Diego Gas and Electric indicated in
4 their recent letter to us was that besides the additional
5 engineering challenges and that opening the door to some
6 permitting requirements, they also identified the potential
7 risk that we were trying to mitigate around the potential
8 delay of a major project, and there was a possibility that
9 by needing some permitting requirements for the Smart Wires
10 solution, it could actually open the door to revisiting the
11 permit for the original project. So, if a mitigation
12 solution ends up for a potential delay causes more delay,
13 that's circular, that's the last thing we could afford to
14 risk. So that was another major part in our consideration
15 of the concerns expressed by San Diego.

16 MR. ZICHELLA: There is a -- and I'm going to
17 call this to Karen's attention. There is a recommendation
18 to really pay some attention to, because it is something we
19 may be able to do in a regulatory context that could avoid
20 that problem of having to reopen a permit to do something
21 that's really relatively minor in terms of a very fast and
22 cost effective solution. So good comment, Neil.

23 Any others on the phone? Okay. No other
24 questions.

25 Last chance in the room.

1


2

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of June, 2017.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of June, 2017.



Jill Jacoby
Certified Transcriber
AAERT No. CER CET 633