

DOCKETED

Docket Number:	17-IEPR-11
Project Title:	Southern California Energy Reliability
TN #:	218020
Document Title:	Transcript of the 05222017 2017 IEPR Joint Agency Workshop Energy Reliability in Southern California
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/12/2017 9:24:02 AM
Docketed Date:	6/12/2017

APPEARANCESCommissioners Present

Robert Weisenmiller, Chair CEC

Karen Douglas

Janea Scott, CEC

David Hochschild, CEC

Andrew McAllister (Via WebEx) CEC

Liane M. Randolph, CEC

Tom Doughty, CAISO

Reiko Kerr, Los Angeles Department of Water & Power

Laki Tisopulos, South Coast Air Quality Management District

Legislative Officials

Katherine Ellis, Senator Henry Stern's Office

Staff Present

Heather Raitt

Panelists Present

Rob Oglesby, Executive Director, CEC

Lana Wang, CEC

Matthew Layton, CEC

Neil Millar, CAISO

Garry Chinn, SCE

Sergio Islas, SCE

Patrick Charles, SDG&E

Catherine Elder, Aspen Environmental

Edward Randolph, CPUC

APPEARANCES (Continued)Panelists Present (Continued)

Kenneth Silver, LADWP

Update from Southern California Gas

Rodger Schwecke, Southern California Gas

Independent Third-Party Review

Scott Backhaus, Los Alamos National Laboratory

Panel Discussion

Lana Wong, CEC

Tim O'Connor, Environmental Defense Fund

Michael Bardee, FERC

Jason Ackerman, Best, Best & Krieger

Bryan Starr, Irvine Chamber of Commerce

Dorothy Rothrock, (Via WebEx) California Manufacturers Association

Michael Webster, Southern California Public Power Authority

Kevin Wood, SCE

Issam Najm, Porter Ranch Neighborhood Council

Public Comment

Chuck Adamson, SCE

Anthony Frontino

Jane Fowler

APPEARANCES (Continued)Public Comment (Continued)

Deirdre Bolona

Lane Semper

Helen Attai

Lorraine Lundquist

Alexandra Nagy

Andrea Leon-Grossman, Food & Water Watch

Daryl Gale

V. John White

Armando Flores, VICA

Christine McLeod, Cordoba Corporation

Patricia Glueck

Brandon Matson

Cheri Derohanian

Brad Jensen, San Gabriel Valley Economic Partnership

Marcel Hawiger

Amy Yue-Lap-Wan

Anthony D-Aquila

Anna Jung, San Gabriel Valley Chamber of Commerce

Patty Conover, Orange County Business Council

Craig Glancy (phonetic) (Via WebEx)

I N D E X

	Page
Panel 1	13
Legislative Comment	68
Panel 2	72
Update from Southern California Gas	135
Independent Third-Party Review	158
Panel Discussion	180
Public Comment	223
Adjournment	262
Reporter's Certificate	263
Transcriber's Certificate	264

P R O C E E D I N G S

1:30 P.M.

MS. RAITT: All right. Good morning, again. Welcome to today's IEPR Joint Agency Workshop on Energy Reliability in Southern California. I'm Heather Raitt, the Program Manager for the IEPR.

I'll just go over a few housekeeping items.

Please go ahead and turn your cellphone to silent or vibrate mode.

The restrooms are located down the hallway across the auditorium entrance.

The facility is normally closed on Mondays, so the onsite cafeteria is closed; but there are a number of nearby restaurants and there's a listing of nearby restaurants at the entrance to the auditorium, where we have some other materials for today's workshop.

For the speakers, I would like to request that you put your microphone on mute until you want to speak.

And, for today's workshop, please note that it is being broadcast through our WebEx conferencing system, so you should be aware that it is being recorded.

We'll post an audio recording on the Energy Commission's website in about a week and a written transcript in about a month.

We do have a very full agenda, so I would like to

1 remind our presenters to please stay within your allotted
2 time.

3 There will be an opportunity for public comments
4 at the end of the day, and we will limit those to three
5 minutes.

6 And, for those on WebEx, you will also have an
7 opportunity to comment; just go ahead and raise your hand
8 to let our coordinator that you would like to make
9 comments.

10 And then just a few words about the scope of
11 today's workshop. The workshop will address reliability
12 issues related to the two major disruptions in California's
13 energy infrastructure.

14 The morning, we'll review issues related to the
15 closure of San Onofre Nuclear Generating Station that
16 closed in 2012, which was compounded with the planned phase
17 out of once-through cooling facilities.

18 In the afternoon, we'll move on to review the
19 energy reliability issues for this summer related to
20 operational limitations of the Aliso Canyon Natural Gas
21 Storage Facility.

22 Discussion of the role of gas storage facilities
23 and natural gas infrastructure and the state's long-term
24 greenhouse gas reduction strategies is not a topic of
25 discussion for this workshop.

1 Those issues and long-term solutions for the
2 reliability related to the Aliso Canyon Storage Facility
3 are being addressed in the proceeding led by the CPUC.

4 So, just to recap, the afternoon will be, in
5 regards to Aliso Canyon, is on summer reliability issues.

6 And one more comment is that written comments are
7 welcome and they're due June 5th.

8 And, with that, I'll turn it over to Chair
9 Weisenmiller for opening remarks.

10 Thanks.

11 CHAIR WEISENMILLER: Great. Thank you.

12 First, I'd like to thank the South Coast for
13 letting us use their facility today, and, particularly, as
14 Heather said, on a day when they're not even open.

15 But, anyway, we find this to be a very convenient
16 location because, as you know, oftentimes when we come to
17 Southern California, we bring down our audiovisual staff to
18 try to get things set up and working. And it's always
19 amazing how something goes wrong. And this one seems to be
20 pretty flawless.

21 So, thank you in terms of the South Coast team,
22 and I certainly again thank them for allowing us to use
23 this facility.

24 As Heather said, in my tenure as Chair of the
25 Energy Commission, we've had two critical pieces of

1 Southern California infrastructure fail. Both of them were
2 not anticipated.

3 I mean, we'll start out with San Onofre. And, in
4 fact, when it failed, much of the transmission system in
5 Southern California was built around the assumption it was
6 always going to keep operating. And, when that happened,
7 we were directed by the Governor to put together an action
8 plan and to basically deal with the situation we had.

9 And, in the case of San Onofre, we weren't quite
10 sure how long it was going to be out, if it was going to
11 come back, or when it was going to come back. But we
12 worked pretty closely with the California Public Utilities
13 Commission (CPUC) and the California Independent System
14 Operator (Cal ISO) to really put together an action plan,
15 you know. And, through whatever combination, so far, we're
16 doing pretty well. And each year as we move forward, as we
17 put -- you know, the various pieces of the action plan are
18 more and more in place, we're more and more comfortable
19 with where we're heading in that context.

20 Today's morning conversation, then, will be
21 looking at San Onofre. It will be looking at basically the
22 implementation status of the action plan. And, you know, I
23 think we've been doing this every year now for -- I've lost
24 track of the years we've done this. I suspect we probably
25 will have one more event next year on this review; but,

1 literally, we're getting to a stage where it is pretty
2 mature.

3 In the case of Aliso Canyon, again, when that
4 failed, you know, and that's sort of a historic leak, you
5 know, that there was a long period of time scrambling to
6 deal with the leak. And, at this point, we're sort of in a
7 situation, there are myriad proceedings trying to address
8 different aspects of that.

9 You know, I think there's the CPUC, Division of
10 Oil, Gas and Geothermal Resources (DOGGR) investigation on
11 whether or not to allow reinjection and when. There is the
12 CPUC investigation on long-term future of the facility.

13 This, again, is very focused on reliability this
14 summer, mitigation measures. And we put in place a number
15 of mitigation measures. I think there is about 20. And
16 part of what we want to do this afternoon is see what
17 worked, what didn't work, what we can do better, and also
18 to figure out if there's any other actions we can take.

19 You know, I think, generally, the one thing I
20 would say, particularly in both context, we really -- one
21 of the things that's very important, we've reached out as
22 part of both efforts to really encourage people in Southern
23 California to adopt energy efficiency measures. I mean, it
24 is, you know, talking about (light-emitting diode) LED
25 lighting. There's a whole variety of options which you can

1 take in your hands and do which basically reduce the amount
2 of power we need or the amount of gas we need. All of
3 which help in this situation; and all of which, frankly,
4 save you money, are good for the environment, and good for
5 greenhouse gas.

6 So, it's certainly one of those things, if you've
7 been thinking about doing it, the basic message is go out
8 and do it now.

9 So, again, thanks for being here. We're looking
10 forward to these discussions today.

11 Commissioner Randolph.

12 COMMISSIONER RANDOLPH: Thank you,
13 Chairman Weisenmiller.

14 I am happy to be here on behalf of the PUC. Very
15 interested to hear the update on (San Onofre) SONGS
16 reliability issues. I mean, that provided for an
17 unprecedented level of inter-agency coordination, which
18 proved to be useful when it came to the Aliso Canyon
19 incident and coordinating on issues related to that.

20 And, so, I'm looking forward to the detailed
21 discussion of both.

22 I am the assigned Commissioner on the CPUC's
23 long-term look at the viability of the Aliso Canyon Storage
24 Facility. And, so, as both Chairman Weisenmiller and
25 Heather noted, it's important to note that the summer

1 reliability issues we are talking about this afternoon are
2 not the same as the long-term viability issues for the
3 facility generally.

4 For instance, the summer reliability analysis
5 explicitly doesn't talk about the cost associated with
6 running the system without Aliso Canyon. And those will be
7 issues that we'll be covering in that proceeding. That's
8 just one of the examples of the differences between those
9 two discussions.

10 The other interesting issue is that the analysis
11 notes that we may have to depend a lot on energy coming
12 from other areas to maintain summer reliability.

13 And, on May 3rd, there was a Stage 1 reliability
14 emergency. And one of the issues noted in that was that
15 imports that were expected, did not show up on the system.

16 And, so, as we go forward, it's important to
17 understand why that occurred because it may be an important
18 issue for looking at summer reliability issues this summer.

19 And, so, I'm looking forward to the detailed
20 discussion this afternoon about the challenges that we face
21 over the summer.

22 Thank you all for participating.

23 MS. RAITT: Okay. Thanks.

24 So, first, we'll have a presentation -- or a
25 series of presentations on an update on reliability issues

1 associated with the San Onofre Nuclear Generation Station
2 closure and phase out of once-through cooling.

3 The first presentation from the Energy Commission
4 by Rob Oglesby, and then followed by Lana Wong and Matthew
5 Layton.

6 MR. OGLESBY: Thank you.

7 This is Rob Oglesby, Executive Director of the
8 California Energy Commission.

9 And I'm here today at this panel to talk about
10 the latest evaluation on reliability and progress related
11 to the Statewide Advisory Committee on Cooling Water Intake
12 Structures, which roles off the tongue, and most people
13 refer to it mostly as SACCWIS, which is what I will do.

14 The overview's been covered by previous speakers,
15 and, as you observed, there have been a number of unusual
16 events that cause us to give attention to reliability in
17 this region. And, as part of that, my role is to report on
18 the progress to implement -- and implications of
19 implementing the one-through-cooling (OTC) policy adopted
20 by the State Water Resources Control Board.

21 Now, the once-through-cooling policy established
22 by SACCWIS, by the Water Board, created SACCWIS to keep an
23 eye on the progress towards SACCWIS and take into account
24 the impacts on reliability for the electrical system.

25 And, as a result, there has been a technical

1 advisory group and inter-agency coordination that includes
2 many of the agencies that deal with energy and, as also,
3 water and air.

4 And we do a review every year of the status and
5 progress in order to advise the Water Board if a correction
6 or adjustment is needed to be made in the schedule for the
7 phase out of the once-through-cooling plants,
8 once-through-cooling technology used at power plants.

9 So, progress to date has been impressive.

10 The blue line -- this is water use at the power
11 facilities, and this is statewide. And the blue line,
12 basically, is the decline in once-through-cooling-water use
13 as projected in compliance with the schedule adopted by the
14 Water Board originally.

15 The green line is the, basically, the
16 projections, actual -- or projections of the design of the
17 facilities as they've come to be because of plans put in
18 place and because of retirements and such.

19 The red line is a line from the Environmental
20 Protection Agency (EPA), which is the actual water use
21 recorded historically. And you can see that we are, in
22 actual practice, far ahead both the original and modified
23 projections for the decline of once-through cooling.

24 So, this -- just quickly, this is our target area
25 that we're talking about today. It's the Southern

1 California region. It, basically, has two local
2 reliability areas: The Los Angeles Basin and the San Diego
3 Basin.

4 One thing to draw your attention to is there an
5 are number of energy resources in the Los Angeles Basin
6 that are impacted by the once-through-cooling policy, San
7 Onofre is highlighted, although it's down just for
8 reference, and the Encina plant that we're going to talk
9 about more today is one of the few resources that are
10 available in the San Diego local reliability area. Excuse
11 me.

12 So, as the once-through-cooling policy has been
13 implemented, the challenge faced by the replacement of the
14 once-through-cooling energy resources has fallen into a few
15 tranches to achieve.

16 The first, of course, is preferred resources,
17 which includes energy efficiency, demand response,
18 distributed generation, and storage.

19 And then, second, basically, grid-support
20 solutions, which include reactive power, including
21 synchronous generators, and other strategies, as well as,
22 transmission lines and grid upgrades.

23 And then, finally, non-once-through-cooling
24 conventional generation.

25 These are some key power plants that are impacted

1 or will have an impact on reliability to varying degrees as
2 a result of the once-through-cooling policy. One of the
3 things I want to draw your attention to is that the
4 existing, or initial capacity, on the left half of the
5 chart is much higher than the replacement capacity. That
6 reflects a number of things -- improvements in the
7 grid -- but also the change in generation mix that is
8 serving the Southern California region.

9 And, finally, the yellow highlight is the Encina
10 plant, which I'm going to talk about in a moment, because
11 that is one of the more significant developments and most
12 recently with respect to the schedule on
13 once-through-cooling phase out.

14 So, during the course of our review, since the
15 regulation's been adopted, SACCWIS has been examining and
16 tracking progress at all of the power plants along the
17 coast, the once-through-cooling power plants. But, as a
18 result, there are a few power plants that kind of elevate
19 themselves to a watch list that are critical and more
20 on -- with more pending measures that may have an ultimate
21 impact on their phase out, and those are Alamosa,
22 Huntington Beach, and the Encina/Carlsbad plants.

23 And the key is that we need to make sure that we
24 have energy resources in place, both preferred, or, in some
25 cases, the traditional power plants, before the plants can

1 be retired for the sake of reliability, of course.

2 Up until recently, SACCWIS has had no
3 recommendations. This goes over the past several years.
4 No recommendations for a change in course for any of the
5 OTC compliance dates, until now. And, right now, we are
6 recommending to the Water Board that they delay, defer, the
7 compliance date by a year for the Encina plant.

8 I've got a couple of slides here that I don't
9 really ask you to read, but what they are, are a chronology
10 of the process that's gone through for the Carlsbad plant
11 that would replace Encina. And it's been long history of
12 both licensing procedures, as well as, legal challenges.

13 And the bottom-line takeaway from these two
14 slides is after this long road of process, it has resulted
15 in a delay on the commencement of construction for the
16 Carlsbad Power Plant, which is to take the place of Encina.

17 So, Cal ISO relied on -- the analyses show that
18 we still need energy resources under various scenarios and
19 that some energy resource is needed at the Encina site,
20 which would be to -- absent the Carlsbad site being in
21 operation in the summer of 2018.

22 And, so, earlier this year, SACCWIS met with the
23 Water Board at one of its proceedings and made a
24 recommendation to defer the Encina OTC compliance date from
25 December 31st, 2017, for one more year, December 31st,

1 2018, for the Units 2 and 5; 1 is already retired.

2 So, Cal ISO, CEC, and CPUC will continue to
3 monitor the developments on the conventional generation
4 preferred resources and transmission upgrades and will keep
5 an eye to further compliance and the ability to comply with
6 the schedule going forward.

7 There is still some other variables, which I
8 think you'll hear about shortly, that have us keep an eye
9 on the ball as we go forward and implement once-through
10 cooling.

11 So, to continue this story, I'm going to turn the
12 microphone over to Lana Wong.

13 MS. WONG: Okay. Hi, I'm Lana Wong with the
14 Energy Commission.

15 A few years ago, we developed a tool called
16 the Local Capacity Area Accounting Tool (LCAAT), and for
17 the last couple of years, we've produced results for a base
18 case and multiple sensitivities and scenarios. It's a
19 low-resolution tool that allows us to look at annual local
20 capacity requirements and resources in the ten-year
21 planning horizon.

22 One of the key things that the tool does is it
23 will calculate the surplus or deficits in the local
24 capacity areas in the Southern California region. And, by
25 looking at the annual results over this planning horizon,

1 we can see whether a surplus or deficit is persistent or
2 temporary, which allows us to consider which contingency
3 measures are appropriate.

4 This is an example of the output from the tool,
5 which gives an illustrative example of a one-year delay of
6 the Carlsbad plant in the San Diego sub-area. So, when you
7 look at this, you can see that a one-year delay in Carlsbad
8 coming online creates a deficit in a single year, that it's
9 not persistent over time.

10 And, as we've heard from Mr. Oglesby, that
11 SACCWIS has been pursuing a one-year OTC deferral to deal
12 with this reliability issue.

13 And, so, in this year, we did not do an update to
14 LCAAT, as we've done in the past couple of years, in part,
15 because we are dealing with the near-term issues in this
16 2017 to 2018 time frame.

17 We'll hear later this morning about a potential
18 delay of the Mesa Loop-in Transmission Project, which is
19 further out in the 2020 to 2022 time frame.

20 So, we do plan to do an update of LCAAT in the
21 next Integrated Energy Policy Report (IEPR) cycle, which
22 will allow us to look at that project and any other issues
23 that may surface.

24 Thank you.

25 MR. LAYTON: Good morning. This is Matthew

1 Layton. I'm with the California Energy Commission in the
2 Siting Division, the Siting Transmission and Environmental
3 Protection Division.

4 I'm here to talk a little bit about the
5 conventional generation permitting that's going on in
6 Southern California right now.

7 We looked a little further north and south of
8 just the L.A. area just for some context.

9 The Pio Pico Energy Center that came online last
10 fall, 300 megawatts of quick-starting simple cycles. They
11 were commissioned in late 2016. They do rely on gas both
12 from the north and the south. So, they are, I guess,
13 ideally suited for Southern California.

14 You heard a lot about Carlsbad. We did finish
15 the permitting of that earlier -- I guess in 2015.
16 Construction has been delayed, but is currently underway.
17 The tentative online date is October of 2018. And that
18 does seem to conflict with the once-through cooling (OTC)
19 date, the current OTC date, of December 31st, 2017.

20 The El Segundo Units 3 and 4 were scheduled for
21 replacement. The permitting process made it all the way
22 through, but the petition was withdrawn, I think last year.
23 It was going to be a combination of simple cycle -- a
24 couple of simple cycles and also a combined cycle. So,
25 units 3 and 4 are both retired but one-half of unit 3 MW

1 boiler credits are already used. I guess it would be half
2 of 3 and all of 4 MW boiler credits are still available in
3 the boiler offset program. But, currently, there's no
4 schedule for what is going to be done with those megawatts.

5 Alamitos was just completed. The review of the
6 permitting was just completed. One thing to note is that
7 there is a power purchase agreement for 640 megawatts.
8 There's not a power purchase agreement for Phase 2. The
9 400 megawatts of four simple-cycle LMS100s, they are in
10 pre-construction and their online date is June of 2020.

11 Huntington Beach is similar to Alamitos. It has
12 a simple cycle -- excuse me -- combined cycle of
13 644 megawatts. It also has a Phase 2, which does not have
14 a power purchase agreement, of 200 megawatts, two LMS100s.
15 Again, the online date is June of 2020.

16 The OTC date for both Alamitos and Huntington is
17 December 31st of 2020.

18 Redondo Beach, the boiler units 5 through 8,
19 we're going through review. The proceedings have been
20 suspended. The megawatts are, I guess, owned by AES. The
21 boiler megawatts are owned by AES Corporation. And it's
22 unknown what they're going to do with those megawatts at
23 this point in time.

24 Inland, is not an OTC plant. This is a Pomona
25 repower. AltaGas was proposing 100 megawatts one single

1 LMS100. The decision date is unknown. It seems to be
2 going slower than anticipated. Again, how much demand
3 there is for conventional generation I guess is unknown.
4 It does not have a power purchase agreement at this time.

5 The Stanton Reliability Energy Center is also
6 inland from here. I guess not from here, but near here.
7 It is interesting because it is a -- two LMS6000s, two
8 simple-cycle turbines, integrated with a battery. It's on
9 a greenfield commercial site. It's in discovery. The
10 proceeding is going slowly. The decision date is out in
11 Quarter 3 of 2018. It does have a power purchase
12 agreement.

13 Going up to Ventura County, the Puente Power
14 Plant is a replacement of Mandalay 1 and 2, OTC units.
15 We're still in the evidentiary phase. I think a decision
16 is expected Quarter 4 of 2017. There is a power purchase
17 agreement for the 262 megawatts.

18 Also in Ventura County, Calpine is proposing a
19 peaker plant, five simple-cycle turbines. Each turbine
20 would have a clutch and synchronous condenser. And there
21 are also 2 -- 100 megawatts, 25 megawatts of battery, 100
22 megawatt hours of battery integrated onto the site. Again,
23 it's in discovery, early in the decision process. The
24 decision is expected Quarter 1 of 2018. It currently does
25 not have a power purchase agreement.

1 Thank you.

2 MS. RAITT: Thank you.

3 Next is Neil Millar from the California
4 Independent System Operator.

5 MR. MILLAR: Thank you very much.

6 Good morning. I'm Neil Millar with the Cal ISO.
7 Pleasure to be here.

8 I'm going to walk through a bit of an overview of
9 the various projects that were part of the original SONGS
10 (San Onofre) mitigation, as well as, also meeting the needs
11 of the retirement of the once-through-cooling generation.

12 I will try to avoid or minimize any duplication
13 with Mr. Oglesby's presentation. There are a few points
14 though I will try to put some additional emphasis on
15 leading into the subsequent presentations.

16 So, first, just to kind of reset on this, the
17 loss of SONGS, as well as, the retirement of other in-basin
18 generation really created two different sets of reliability
19 issues for us.

20 One, is that the in-basin generation addresses
21 thermal flows into the area by reducing the need to import
22 power from outside of the Basin or San Diego.

23 By reducing the flows, there's also a reduction
24 in voltage support requirement in the basin itself.

25 And, thirdly, the generators themselves provide a

1 source of -- for the reactive power we do need.

2 So, when we've been looking at the reliability
3 issues, it's always been a balance of thermal and voltage
4 stability issues in managing reliability moving forward.

5 Now, just to reiterate what Mr. Oglesby said
6 earlier, there is a significant reduction anticipated in
7 gas-powered generation in the Basin and in San Diego, with
8 less than half of the retiring generation that's forecast
9 to retire being repowered. And that also accommodates the
10 loss, of course, of the San Onofre Nuclear Generating Unit.

11 That's been made up through a combination of
12 resources. But the key point I wanted to drive to here was
13 the significant reduction in in-basin gas-powered
14 generation that's anticipated.

15 Chairman Weisenmiller referred to earlier, the
16 basket of solutions that were being explored through the
17 various agencies, and it really did require firing on all
18 cylinders to get a mitigation program in place. So,
19 there's been a significant reliance on both resources,
20 conventional and preferred resources, as well as dynamic
21 support to provide that voltage control I was talking
22 about, as well as a number of transmission projects that
23 were helping with some voltage issues but also helping
24 address thermal loading challenges.

25 Thank you.

1 The various mitigations working together -- now
2 all of this analysis to this date on the long-term planning
3 perspective has not been taking into account any gas
4 limitations, gas access limitations, associated with
5 Aliso Canyon or any of the other gas fields. At this
6 point, we're still assuming business as usual in that
7 regard. And we will be participating, of course, in the
8 CPUC proceeding on the investigation into the Aliso Canyon
9 situation. But that was not addressed in this material.

10 So, as we look at the various solutions moving
11 forward, when we look at those solutions and the challenges
12 that we've had to this point working collectively, these
13 mitigations are the right mitigation. They are getting us
14 to where we need to be.

15 Now, there are certain scheduling issues that are
16 coming up that we're having to keep a close eye on.
17 Mr. Oglesby has already touched on the Carlsbad Energy
18 Center issues. The other two projects that we're keeping a
19 close eye on working with the state agencies and with the
20 utilities are the Mesa 500-kV Loop-in Project. This is a
21 project targeting service in -- to be available for the
22 summer of 2021, and it -- the current schedule from
23 Southern California Edison looking at the various risks is
24 shifting to March 2022.

25 Now, if we're unable to mitigate through any

1 other means, that could, in the worst case, result in a
2 need for an OTC compliance date extension to cover the
3 summer of 2021.

4 Now, it's too early to make that sort of
5 decision. Edison is working with us and with others
6 reviewing the schedule, the phasing, and the mitigation
7 options available to try to avoid that sort of outcome.

8 The other project that we're keeping a close eye
9 on is the San Diego Gas and Electric Sycamore-Penasquitos
10 230-kV Transmission Line Project. The approvals are in
11 place. The current in-service date is in June of 201. And
12 the project is needed for the summer of 2018. So, we are
13 also looking at options around what could we do if there is
14 a delay to that project.

15 Now, there isn't a delay into the higher
16 temperature periods at this time, but we are wanting to
17 keep our eye on that and consider options.

18 So, our path forward is to continue to work with
19 utilities and state agencies to monitor several key
20 transmission projects, in particular, Sycamore-Penasquitos
21 and the Mesa Loop-in Project. We will also be taking on
22 more study around the -- looking forward from a planning
23 perspective on the availability and flow-rate issue for gas
24 storage.

25 And I do just want to reiterate that our results

1 to this point on the longer-term planning basis have not
2 started to take into account limitations on gas storage or
3 delivery as we're going to be participating in the CPUC
4 process where we hope to see a new normal be established.

5 So that's my presentation. Thank you very much.

6 MS. RAITT: Thank you.

7 Next is Garry Chinn from
8 Southern California Edison.

9 MR. CHINN: Good morning.

10 I'll be presenting Southern California Edison's
11 (SCE) transmission projects, the Mesa Loop-in and the
12 Santiago Condensers.

13 So, the first one is Santiago Condensers. Since
14 the SONGS retirement, Cal ISO approved this project back in
15 the '13/'14 transmission plan, for a need for a dynamic
16 reactive support in the area.

17 San Diego has about half of that capacity,
18 actually, exactly half the capacity, 225 megavars, to be
19 located at San Onofre substation.

20 SCE is to build the remaining half, the 225
21 megavars, at the Santiago substation, which is immediately
22 kind of northwest of San Onofre.

23 The current status of that project. General
24 Electric (GE) has been selected as the vendor for building
25 that one at Santiago. Physical construction began last

1 year in August. And it's expected to have start-up and
2 commissioning tests Quarter-3 of this year. So, it's
3 currently on schedule to meet the end-of-year in-service
4 date.

5 The next transmission project SCE is working on
6 is the Mesa 500-kV Substation Project, also known as the
7 Mesa Loop-in, since it is designed to loop in the 500-kV
8 lines into the substation.

9 A little overview of the diagram.

10 All those dots are SCE substations, except for
11 the ones to the south, which is San Diego.

12 About half of SCE's load is served by those blue
13 dots on the diagram.

14 The predominant flow is kind of -- you have a
15 desert towards the coast, so all those 500-kV lines
16 basically bring a lot of power into those blue dots. And
17 then those blue dots further transform the voltage down to
18 serve about half of SCE's load in this service territory.
19 It's primarily the Western L.A. Basin.

20 The green kind of power-plant-looking symbols are
21 the OTC units and SONGS. Once those go away or are
22 repowered to a lower capacity, it's a burden on the
23 transmission system. And the Mesa is designed to enable
24 another import route into the Western L.A. Basin by going
25 to the north there at Mesa, which is currently a 230-kV

1 substation, expand it to 500-kV and loop in the
2 Vincent/Mira Loma line.

3 Current status. We filed the Permit to Construct
4 (PTC) back in 2015. The draft environmental impact report
5 (EIR) was published the following year, followed by the
6 CPUC approval in February of this year.

7 So, given all we know as of today, the operating
8 date is currently March 2022; but SCE is investigating
9 accelerating that schedule to a potentially earlier time
10 frame.

11 So, there is a potential, as I assume was
12 previously mentioned, a reliability gap in the summer of
13 2021.

14 The next slide has some descriptions of what the
15 concerns are, but I would like to stick with the slide
16 since it has a diagram here.

17 The reliability concern for 2021 is going to be
18 the Serrano Corridor. The Serrano Corridor is those lines
19 west of the Serrano Substation. If you look at the
20 diagram, there's a red dot at Serrano, kind of the middle
21 of the diagram there. That's the 500-kV substation.

22 Power flows westbound toward Barre and Villa Park
23 and Lewis substations. Those 230 lines are what we call
24 the Serrano Corridor. It's one of the corridors that kind
25 of feeds the area.

1 So, the 230 lines, as well as the transformation
2 at Serrano, is what we're going to label as the Serrano
3 Corridor.

4 Based on the current planning assumptions,
5 meaning the low forecast, available generation inside the
6 Western L.A. Basin, if there is no 500/230 kV transformer
7 banks at Mesa Substation, if Mesa is not able to complete
8 by the summer of 2021, we're going to have bank overloads
9 at Serrano. Meaning, that, without Mesa, the Serrano
10 Corridor is going to load up and overload the
11 transformation at Serrano Substation.

12 The caveat, I guess, for that analysis is that
13 this is still four years out. There is some variability of
14 where generation is going to be located outside the Western
15 L.A. Basin, the location of renewables actually impacts
16 this problem.

17 The second item is the forecasted load in the
18 Western L.A. Basin, if that continues to go down or up,
19 that's going to change the results.

20 Generation retirements in the Western L.A. Basin.
21 I think Cal ISO had a slide that showed potential
22 additional retirements in the Western L.A. Basin, so that's
23 going to be another variable in trimming the magnitude of
24 this problem.

25 The last one that I listed was Aliso Canyon.

1 That also will affect the gas availability in the Western
2 L.A. Basin.

3 So, all those variables combined could change
4 this outcome, either up and down, in terms of magnitude of
5 overload on the Serrano Corridor.

6 So that covered that slide.

7 The last slide there is mitigation options that
8 SCE is looking at in developing.

9 First of all, as design considerations, we're
10 really focused on enabling the OTC retirement on the
11 schedule date of 2020, so we're developing mitigations that
12 cover the summer of 2021.

13 Second point, we do want to avoid load shed in
14 the West L.A. Basin. It's considered a high-density
15 urban-load area, so that's something else we want to avoid.

16 Last point there, we're trying to find low cost
17 options, and that could be online by summer 2021.

18 The options being considered is -- One, is an OP,
19 Operational Procedure. So, as of current assumptions,
20 there's a potential to operate around the contingency. The
21 critical contingency is N-1-1 condition, so we lose one
22 transform bank at Serrano. We could take an action before
23 the loss of the second bank. So, the critical problem is
24 the loss of two banks and the last banks overloads at
25 Serrano.

1 So, the operational procedure would manually open
2 up the entire Serrano Corridor to push back on the flows to
3 the remaining corridors in the Western L.A. Basin. Not the
4 perfect solution because we are going to give up the
5 corridor in its entirety and then redirect power to other
6 corridors. That could be done manually after the initial
7 contingency.

8 The second option is to wait for the second
9 contingency. So, a remedial action scheme would register
10 the first contingency; wait for the second contingency;
11 after that one occurs, then open up the Serrano Corridor to
12 reroute the power.

13 A little more equipment involved in that we had
14 to install relays and maybe some telcommunication
15 equipment.

16 The last option listed is potential upgrades in
17 the corridor itself. Based on current assumptions, we
18 don't see the corridor overloading now, but this is another
19 back-up option in case some of those variables change and
20 the Serrano Corridor actually starts to overload on lines
21 themselves.

22 There is some potential to upgrade the terminal
23 equipment. I think there is a potential for maybe a
24 six-percent increase in the line rating, which was terminal
25 equipment.

1 So, the -- some of the lines have limitations
2 both on the conductors themselves and the terminal
3 equipment. So, with some minor, I guess, within the
4 substation modifications, we could gain a small percentage
5 increase in terms of rating the lines.

6 So those are the options we're investigating.
7 We'll probably finalize them this year and kind of present
8 them to the ISO as part of this upcoming transmission
9 planning process.

10 So, I think that's all I had.

11 MS. RAITT: Thank you.

12 So, next is Sergio Islas from the
13 Southern California Edison.

14 MR. ISLAS: Thank you.

15 This morning, I am going to be sharing with you
16 additional steps SCE is taking to ensure reliability in
17 Southern California, in particular, what we're doing in
18 terms of adding capacity to the system from preferred
19 resources. And, as previously described, we're talking
20 about energy efficiency, demand response, distributed
21 generation, energy storage.

22 I'm also going to be sharing with you an update
23 on our preferred resources pilot, and what is going on and
24 what is the latest update there.

25 Let's see if I know how to work this high-tech

1 gadget.

2 So, in terms of capacity, we've added to the
3 system since our last procurement from our local capacity
4 requirements (LCR) request for offer (RFO), we've added, or
5 have in the pipeline, about 30 percent more preferred
6 resources, about an additional 200 megawatts, that are
7 expected to come online through 2020.

8 And a lot of the acquisition from these
9 additional resources stem from the acquisition we've been
10 doing to support the objectives of the preferred resources
11 pilot, as well as in response to Aliso Canyon. Our own
12 energy storage targets, that has driven a lot of the
13 acquisition that you see summarized here in the table
14 format. And you can see also in the table in the sums that
15 about 30 percent of the 650-plus megawatts we have in the
16 pipeline are scheduled to be deployed in the preferred
17 resources pilot (PRP) region.

18 And just to get grounded, get us all aligned, the
19 PRP is being implemented in SCE's southern portion of its
20 territory, encompassing two substations, Johanna and
21 Santiago makes up about five percent of SCE's territory.

22 So, of course, the deployment of the resources
23 has been somewhat delayed for various reasons, particularly
24 for the PRP region. In the PRP region, the resources
25 expected to come online were allowed to come online

1 earlier, so -- if they were to come into the PRP region,
2 both -- we've had a bit of a delay in response to that.
3 And that's important because, in order to be able to prove
4 out the objectives of measuring the performance of
5 preferred resources, you need the deliveries of these
6 resources that will ultimately not only help prove out
7 their performance, but there's additional value that will
8 help us prove out in terms of understanding their
9 locational value, help us understand how to improve urban
10 acquisition and deployment of preferred resources, and how
11 to integrate and operate them for the benefit of the
12 system.

13 So, as I mentioned, while we have a good amount
14 of preferred resources procured. Their deployment in the
15 PRP region for purposes of supporting the pilot are
16 necessary and, again, a challenge.

17 Here we go.

18 So, the next slide provides you an update
19 on -- let's see -- if I point to it. Up. Down. Yup.
20 There we go. Perfect. Thank you. Sorry about that.
21 Don't trust a guy with the gadget here.

22 So, in terms of preferred resources, there's a
23 slide here that represents what we were expecting to see in
24 the PRP region itself only. This is not the entire Western
25 L.A. Basin; it's just a subset of that. And this is in

1 relation to the preferred resources pilot.

2 So, what you see here is a comparison of what we
3 expected to see prior to the delays and what we're going to
4 see now. And, as you can see, in 2015 -- through 2015, we
5 have had quite a bit of success through our demand-side
6 management (DSM) programs, energy efficiency, demand
7 response, distributed generation, in terms of being able to
8 get resources in the system quick.

9 But, from a measurement standpoint, while a lot
10 of the resources from our DSM programs, they're tied
11 directly to the performance of the programs. And, like
12 some of the attributes, we need to be able to measure them
13 down at the system level, what is the objective of the PRP.

14 So, what we're going to see in 2017 is slightly
15 less than what we were expecting to see. We are going to
16 see an uptake in the year 2018, and you see that deployment
17 rate here through 2020.

18 So, in terms of the measurement work the PRP is
19 doing to prove out their performance, we are not going to
20 receive the -- we won't be able to obtain the additional
21 insights we were looking for in 2017, probably until past
22 the summer of 2018 when we see a bigger bulk of the
23 resources will come online, will give us the capabilities
24 to be able to measure them.

25 Another interesting fact that I wanted to share

1 with you is the amount of resources expected from behind
2 the meter. Of the 260 megawatts or so expected to come
3 into the PRP region, about 200 of those are going to
4 target -- they're going to be behind the meter. And
5 they're going to target predominantly CNI customers. In
6 this region alone, the commercial and industrial (C/I)
7 customer base is about 30,000 customers. So, you could
8 image that we're likely to face some challenges from the
9 customer-adoption standpoint, as well as integrating them
10 into the system, and, as well as working with third-party
11 developers in how they get integrated.

12 All right.

13 Quite a bit of insights we've learned since we
14 launched the PRP in terms of how we acquire and deploy
15 resources into the region.

16 For instance, foremost, as I have mentioned and
17 you have seen from the prior slide, the -- our DSM programs
18 have been instrumental in our ability to getting resources
19 deployed in a quick time frame.

20 The other key, inside, we've done two targeted
21 solicitations in the PRP region. And the second one we saw
22 the most amount of success in terms of a robust response.
23 And we attribute that mainly to having a broad solicitation
24 with pretty much a resource agnostic solicitation, as well
25 as having flexibility in the bidding process for the

1 solicitation.

2 And, lastly, the ability to anticipate grid needs
3 when we do an acquisition of resources is key to be able to
4 anticipate when perhaps the system and the local up-peaks
5 don't match and how do we attribute and manage resources to
6 be able to manage a local need, as well as a system need.

7 So, having the ability to foresee some of these
8 issues and anticipate that and work that into our
9 procurement process, it's critical.

10 What we're doing next in terms of the preferred
11 resources pilot and SCE to -- let's see -- thank you.

12 In terms of what we're doing to continue the
13 reliability in the Southern California region is take
14 proactive steps to work with our developers to ensure the
15 behind-the meter-, and other preferred resources are
16 successfully deployed. We're also continuing the
17 measurement of the preferred resources to help inform the
18 development of grid standards, and, as well as understand
19 the locational value of distributed energy resources (DERs)
20 and acquire some best practices in how we go about
21 integrating them into the system and operate them.

22 That's the update I have for you today.

23 MS. RAITT: Thank you.

24 Next is Patrick Charles from San Diego Gas and
25 Electric.

1 MR. CHARLES: Well, good morning. And I want to
2 thank you for the opportunity to provide an update on our
3 procurement activity since the closure of SONGS.

4 I'm Pat Charles. I work in Electric and Fuel
5 Procurement at the utility. So, I've been involved in the
6 solicitations we've run.

7 And I don't think I'm going to have a whole lot
8 of news for you this morning. I think you're probably well
9 aware of all the issues I'm going to talk about. And I'm
10 heartened to say that the different dates and status
11 updates that we've heard so far this morning jive perfectly
12 with the information that I'm going to give you, so I'm
13 happy to see that.

14 So, by way of background, just so we can level
15 set perhaps for this afternoon, you're all aware of this,
16 but with the early retirement of SONGS back in 2013, the
17 Public Utilities Commission added a track, a procurement
18 track, to the 2012 Long-term Procurement Plan (LTPP)
19 proceeding -- they called it Track IV -- in which they
20 authorized Edison some additional capacity to go out and
21 procure and they authorized SDG&E to go out and procure
22 between 5- and 800 megawatts of in-basin, that is in the
23 San Diego local subarea, capacity to help keep the system
24 reliable. So, that's how we got started.

25 And the first thing is the Carlsbad Energy Center

1 that's been discussed at some length already this morning.
2 In June of 2015, we signed that contract. Is for five GE
3 LMS100s. And, as has been stated, the first unit is
4 expected to be online in May of 2018, with plant completion
5 in October of 2018.

6 So, with the approval decision of the Carlsbad
7 Energy Center, the Commission directed that -- we had
8 originally requested a 600-megawatt plant -- that the
9 additional 100 megawatts be preferred resource, and, that
10 for the remaining authorization, SDG&E focus procurement on
11 preferred resources and energy storage.

12 So, at that point, this diagram kind of shows
13 where we were at. We needed at least 25 megawatts from
14 energy storage and at least 175 megawatts of additional
15 resources that were either preferred resources or energy
16 storage.

17 Thanks.

18 So, what we have done? Well, the first thing was
19 to issue an all-source request for offer (RFO) in September
20 of 2014. And once the Carlsbad contract was signed, it
21 wasn't all-source RFO, so all the preferred resource types
22 that have been mentioned -- energy efficiency, demand
23 response, renewables, energy storage, and distributed
24 generation and a conventional product type. And once the
25 Carlsbad plant was signed, the Carlsbad -- or the

1 conventional product type was off the table and we focused
2 on preferred resources.

3 Out of that RFO, we signed two contracts in 18.5
4 megawatt energy efficiency, contract with Wildan Energy
5 Solutions, and a 20-megawatt energy storage contract that
6 has since terminated. But the Wildan contract is ramping
7 up as we speak.

8 Next in our story, we had the CPUC Resolution
9 4791 that came out in response to the Aliso Canyon
10 situation. And San Diego Gas & Electric (SDG&E) worked to
11 procure two large energy storage resources; one of which,
12 the 30-megawatt plant in Escondido, I'm told is the largest
13 lithium ion battery facility in the nation I think. And
14 alongside of that, was a 7.5 megawatt energy storage
15 facility out at El Cajon. So that came out of the
16 Aliso Canyon Resolution.

17 Next slide, please. Thank you.

18 So, next, in February of 2016, we issued a
19 preferred resource RFO. This, again, was relying on the
20 Track IV authorization, working toward continuing to fill
21 the in-basin capacity need; again, soliciting for energy
22 efficiency, demand response, renewables, energy storage,
23 and distributed generation.

24 We have signed those contracts, and, last month,
25 filed an application seeking approval of 88 megawatts of

1 resources; eighty-three-and-a-half of which are energy
2 storage and four-and-a-half of which are demand response
3 resources.

4 These are flexible resources that we believe will
5 help us to more effectively integrate higher levels of
6 renewable power on the grid. And with approval of these,
7 we will have substantially met our Track IV target and will
8 be pausing to see what our next steps will be.

9 Of note, the year of interest for us out of the
10 Track IV decision was 2021. So, we have a bit more time to
11 see where we need to go from here.

12 So, this chart summarizes all the activity that
13 I've talked about. The ones with two asterisks are the
14 resources that were in this most recent application, which,
15 of course, is an open proceeding in front of the
16 Commission.

17 And, together, we have procured 644 megawatts of
18 resources.

19 Next slide.

20 So, these are the objectives that we've kept in
21 mind as we've moved through these various procurement
22 activities.

23 First and foremost, we're looking to procure
24 cost-effective resources that help meet our customer needs
25 and where possible try to leverage procurement toward

1 meeting multiple procurement goals or mandates that are out
2 there, such as the storage mandate and the in-basin
3 preferred resource mandate, things like that.

4 These, as I've said, are all flexible resources
5 that help to enhance reliability and help us to integrate
6 higher levels of renewables, which is important for us
7 because over the last 12 months we've delivered about
8 43 percent of our customers' power from renewable sources.

9 At this point, as I mentioned, you know, we're
10 pausing to see what need remains and where loads go and
11 what studies that the Cal ISO and others will do, have to
12 say. So, we'll see what's next.

13 And, of course, we're committed to ensuring that
14 our customers in the wider community have access to clean,
15 safe, and reliable energy.

16 And I see by my watch we're ahead of schedule, so
17 if anybody has questions, you're welcome to entertain them.

18 CHAIR WEISENMILLER: Sure. I'm going to ask
19 actually a number of questions of folks on the panel. And
20 I'm going to try to do it by a specific area and then sort
21 of welcome everyone to jump in under that area. And after
22 I finish my list, then I believe everyone else has a list,
23 and we'll see if we're all covered.

24 So, actually, I mean, first thing I was just
25 going to note, I mean, sort of a correction on my order of

1 comments; the San Onofre plant we also had a lot of great
2 assistance from the South Coast Air Quality Management
3 District and the California Air Resources Board.
4 Obviously, you can't do anything in Southern California
5 without their assistance.

6 And, also, I would want to note that the Marines,
7 particularly Secretary Dennis McGinn [phonetic], were very
8 important on getting the synchronous condenser done at San
9 Onofre. It's a very valuable real estate for them and took
10 a lot of support from them to get that moving.

11 I guess the first one, and I'm going to look to
12 Rob and Lana and maybe we have to pull Mike Webster
13 forward, but just for context we've been talking a lot
14 about the OTC repowers, Edison side of the equation. We
15 haven't really mentioned the Los Angeles Department of
16 Water and Power (LADWP) OTC repowers, you know, situation.
17 At least for context, I thought it would be good to get
18 that on the table.

19 MS. RAITT: If I could just jump in and ask the
20 panelists to identify yourselves before you speak. Thanks.

21 MS. WONG: This is Lana Wong.

22 So, LADWP, they do have a plan for phasing out
23 the OTC plants. When the policy was passed, L.A. had
24 worked with the Water Board to revise some of the dates of
25 the OTC -- well, some of the OTC compliance dates.

1 So, currently, they do have a schedule in place.
2 And I believe their schedule takes them all the way out to
3 2029, as far as Water Board compliance dates.

4 I know that LADWP., in their Integrated Resource
5 Plan, may have a plan to replace some of the units earlier
6 than the Water Board compliance date, but they have a plan
7 in place and are on track and, possibly, LADWP could add
8 more on the specific dates because I don't recall all the
9 individual plants. But I know there is a schedule and they
10 have achieved compliance with some of their OTC plants,
11 Scattergood, Haynes. They've had individual units that
12 they've repowered or replaced and still have come
13 additional units to -- that they'll achieve compliance with
14 over the next decade.

15 CHAIR WEISENMILLER: Yeah. And, again, I want
16 everyone to know, my recollection was that it's sort of a
17 one-for-one replacement, it was a megawatts, that it go
18 sequentially. Some of the plants are done now and others
19 will continue through now to the end of the decade; is that
20 right?

21 COMMISSIONER KERR: If you would like some
22 additional information, we do have Ken Silver here who is
23 our Director of Power Supply Operations that could speak to
24 the OTC units that have been completed, as well as some of
25 the plans going forward.

1 CHAIR WEISENMILLER: No. That'd be good. Again,
2 I think just for context. We spent a lot of time on part
3 of this system down here but nothing on that part.

4 So, please, come up and identify yourself.

5 MR. SILVER: Good morning.

6 I'm Ken Silver. I'm the Director of Power Supply
7 Operations for LADWP.

8 And, as stated, we were -- when the policy came
9 out, we negotiated a schedule that allowed for us to
10 maintain reliability as we repowered our units.

11 And, as you stated, it is a -- our studies show
12 that it's a one-for-one replacement, that each megawatt
13 that we decommission, we need to have a corresponding
14 resource of some type for -- equal to it.

15 Our plan is sequenced such that we can construct
16 the new before we retire the old. And due to space
17 limitations on our sites, we can't just repower everything
18 all at once.

19 So, we've completed two repowers under the
20 schedule already: One at Haynes and one at Scattergood.
21 Our next repower is the second one at Scattergood, which
22 has a schedule date of 2024. We are on target for meeting
23 that. And that will -- that second repower will take
24 Scattergood completely off once-through cooling, so that
25 will be quite a milestone for us.

1 The additional repowers are sequenced out through
2 2029, as was stated.

3 CHAIR WEISENMILLER: And I guess the other two
4 questions -- so the total number of megawatts being
5 repowered, again just for the record?

6 MR. SILVER: I could --

7 CHAIR WEISENMILLER: Oh, you could submit it the
8 later.

9 MR. SILVER: I could add it up real quickly, but
10 it's probably about 2,000 megawatts, I believe. I don't
11 know.

12 Does anybody know?

13 No.

14 CHAIR WEISENMILLER: That's fine.

15 MR. SILVER: Yeah.

16 CHAIR WEISENMILLER: Yeah. And, so far, there's
17 been no issues on that. As I recall, if there were issues,
18 you could go to the Water Board for working out potential
19 delays, if there were any issues with the specific project.

20 MR. SILVER: Yeah. As we attend the SACCWIS
21 meeting every year and we present our Grid Reliability
22 Report. If we had any issues, we would -- it would show up
23 in our report at that time, although we would be discussing
24 it much sooner if we saw a problem coming.

25 CHAIR WEISENMILLER: And, so far, everything is

1 going pretty smoothly?

2 MR. SILVER: Yeah. All of -- our first two
3 repowers have been on schedule, and we're already working
4 on site preparation for the next repower, although we
5 haven't firmed anything up. But we are working on the site
6 preparation already, which involves tearing down the other
7 unit that we repowered.

8 CHAIR WEISENMILLER: Okay. Great. Thank you.

9 MR. SILVER: You're welcome.

10 CHAIR WEISENMILLER: Thanks.

11 I guess the other thing I want to talk about some
12 is Mesa Loop-in.

13 My understanding -- you know, thanks for the
14 summary at this stage. My understanding was that, you
15 know, you got the CPUC decision, you were looking at the
16 decision, and that the Securities and Exchange (SEC) filing
17 was indicated that there was some risk with delay and that
18 Edison was going to try, A, to see if they could keep the
19 construction on schedule and/or then have the back-up plans
20 if not.

21 And, so, I thought the first question was just in
22 terms of, with the decision you got, why can't you make the
23 prior schedule? What are the issues there?

24 MR. CHINN: This is Garry Chinn with the SCE.

25 I think there's always been the risk with Mesa.

1 I think this is really a risk recognizing the potential of
2 delay. I think the last number I heard was this is a kind
3 of 50/50 schedule. If we're unable to meet the original
4 date, therefore we would push out the date to 2022 to kind
5 of recognize that risk. So, this is kind of a
6 risk-weighted schedule for the new OD. That kind of
7 triggers the whole planning process to investigate
8 mitigation options for that potential window in 2021.

9 So, I think that that risk has always been there,
10 but I think we're just recognizing it in our schedules now.

11 CHAIR WEISENMILLER: Is there any --

12 MR. MILLAR: Neil Millar here with the ISO.

13 There is someone from Edison here who could talk
14 about the details of what created that risk, if you're
15 interested.

16 CHAIR WEISENMILLER: Yes.

17 Please, come on up.

18 MR. ADAMSON: Should I go up to the mic?

19 CHAIR WEISENMILLER: Yeah. Come on up and
20 identify yourself.

21 MR. ADAMSON: Yeah. My name is Chuck Adamson.
22 I'm with Edison's Project Management Group, and the
23 construction of the Mesa Substation Loop-in is under my
24 responsibility.

25 So, we have a very detailed schedule. If you can

1 imagine, Mesa is a complete 220 to 66 to 16 kV substation.
2 We're going to entirely rebuild it on the existing site.

3 So, there's a lot of sequencing that has to go
4 on, outage planning that has to go on, environmental
5 concerns that we have to deal with, seasonal bird nesting,
6 all those sorts of things.

7 So, we have about a four-year construction
8 schedule. It is conceptual and preliminary based upon what
9 we know. We were originally hoping to get started before
10 the nesting season this year. That didn't happen. So,
11 now, we're working through getting all the follow-on
12 permits and the notice to proceed from the Public Utility
13 Commission.

14 Once, we have all of that and get in there and
15 start the construction, we'll be able to have a much better
16 idea of when we'll be able to finish.

17 What we did in creating the risk-adjusted
18 schedule was, we were not able to start early this year, we
19 moved the start date to September because that's when the
20 bird nesting would be over. And it just simply pushed the
21 whole thing to the right to after the summer of 2021.

22 So, that's what the basis of the delay was in SEC
23 filing, but we are still doing everything we can to look at
24 that construction schedule and try to find ways to
25 accelerate it where possible to keep it before June of 2021

1 for completion.

2 CHAIR WEISENMILLER: So, as I was going to ask,
3 what are the options you're looking at to maintain the
4 construction schedule and when will we know whether they're
5 viable?

6 MR. ADAMSON: So, we will look at things, such as
7 double shifting; that may require a modification in the
8 license from the CPUC because that was not considered in
9 the original environmental review. We'll also be looking
10 at trying to compress some of the outages and just
11 compressing the construction time itself by putting more
12 crews on the site and doing more of the work at the same
13 time.

14 So, those are sort of the construction options
15 that we're going to look at.

16 And what was the rest of the question? I'm
17 sorry.

18 CHAIR WEISENMILLER: When will you notify the
19 commissions, the results of that assessment?

20 MR. ADAMSON: So, we are going to be going out to
21 bid for our construction contracts. Once we have our
22 construction contractors onboard and we're able to work
23 with them and look at the best schedule that we can come up
24 with together, we'll be able to make a much more definitive
25 assessment. We currently expect that will be in the

1 September time frame.

2 CHAIR WEISENMILLER: Okay. Now, assuming you can
3 adjust the schedule, then we come up with what are the
4 options to maintain reliability there. I think all of us
5 are interested in not having to keep the thermal units
6 around.

7 MR. ADAMSON: Uh-huh.

8 CHAIR WEISENMILLER: And so, again, trying to
9 understand when that assessment -- assume that assessment
10 will be more sequential to the construction, when will you
11 know the results there?

12 MR. ADAMSON: That's happening at the same time.

13 CHAIR WEISENMILLER: At the same time?

14 MR. ADAMSON: That's in the AES purview, the
15 reliability assessments of what we can do with the
16 operating of the system to maintain the reliability if Mesa
17 is not ready by June of 2021.

18 CHAIR WEISENMILLER: Okay. Great.

19 Anyone else have questions on this specific
20 topic?

21 MS. KERR: This is Reiko Kerr from Los Angeles
22 Department of Water and Power, and I would like to clarify
23 some comments.

24 The initial studies that we did on the
25 once-through cooling did indicate a one-for-one megawatt,

1 but we are taking a look at that again and looking to see
2 if there are other alternatives or combinations of
3 alternatives that can be used to -- for what other plants,
4 ultimately, are constructed on the remaining OTC units.

5 The ones that we have done, these plants are 60-,
6 to 70-years old. They're very inefficient. And the ones
7 we have done have realized a 20-, to 40-percent reduction
8 in emissions, as well as being flexible to assist us with
9 integrating renewables.

10 So, I wouldn't say today that it's a one for one.
11 I think we're taking a hard look at that right now.

12 CHAIR WEISENMILLER: Do you have a sense of when
13 that assessment might be done?

14 MS. KERR: By the end of this year, hopefully.
15 We've done some studies, but we want to run some additional
16 ones. So, hopefully, by the end of this year we will have
17 a better idea of what we'll bring forward for
18 recommendations.

19 CHAIR WEISENMILLER: So, anyone have any
20 follow-up on the L.A. or the Mesa Loop-in?

21 Okay. Thank you.

22 Let's talk about the preferred pilot. I guess
23 one of the things -- just, you know, obviously, I always
24 appreciate candor on these things in terms of where we are.
25 On the one hand, in the San Onofre situation and Aliso

1 situation, we're really trying to ramp up the preferred
2 resources, you know, in sort of a geographic area, which is
3 sort of a -- anyway, this has always been sort of a novel,
4 groundbreaking approach. But, you know, what can we do to
5 move -- speed things up, you know, to really get more, as
6 they say steel on the ground, although, obviously, we're
7 talking about solar, we're talking about demand response,
8 we're talking about storage, down here when we really need
9 it?

10 MR. ISLAS: So a few of the things SCE has
11 started doing -- sorry, Sergio Islas with
12 Southern California Edison.

13 A few of the things we've started doing is
14 working more closely with our counterparties, our partners
15 that have contracts under the LCR, to ensure they have the
16 right tools, that we are also supporting them by doing
17 customer outreach within what the contracts allow.

18 So, we're working with them gathering feedback,
19 trying to get a better understanding of what additional
20 support they may need from SCE to get them deployed.

21 The particular LCR resources we were expecting in
22 the PRP region where predominantly delayed through some of
23 the approval process. And, so, that has delayed when
24 they're coming online now. So, that's one area, you know,
25 we're always interested in exploring, obviously.

1 But, in addition to working with our partners,
2 we're working and finding out what other solutions we may
3 need. So, we're in the early phase right now of trying to
4 identify what other steps we can take to partner with our
5 developers to ensure they're successful in the deployment
6 of the DERs.

7 CHAIR WEISENMILLER: Since you started this
8 effort, the Cal ISO has also put in place a DER procurement
9 program. And I'm, again, trying to figure out if there's a
10 way to make things fit together better because, again, we
11 need to be ramping things up. We're at a time where ticket
12 cost of solar is down phenomenally, photovoltaic (PV) is
13 coming down, LEDs. I mean, there's a lot of options here.

14 COMMISSIONER DOUGHTY: Chair, this is Tom Doughty
15 with the ISO.

16 And I couldn't agree more. I think most of us
17 would agree that the demand response has not, by any means,
18 hit its apex that we seek.

19 Many of you know we had a Stage 1 alert on the
20 system for the first time in over a decade in the last
21 couple weeks, and called on DR, got some good response.

22 But DR means more than just being available to
23 respond to emergency circumstances. It needs to be a part
24 of our market. And we're committed to working with the
25 CPUC, the Energy Commission, and others to find new

1 vehicles to further develop demand response (DR) resources
2 and make market enhancements to make that more lucrative.

3 So, I guess, not so much of an answer to your
4 question as just an acknowledgment that you're right, we
5 don't yet have DR working the way it needs to.

6 CHAIR WEISENMILLER: Yeah. I need to be careful
7 in the sense, I think all of us have applauded Edison and
8 certainly support Edison's activities here, which are very
9 visionary in, you know, setting pretty aggressive goals and
10 all that. And part of it is just trying to figure out, you
11 know, how can we help you get there. You know, meet and
12 exceed, as opposed to sounding critical on just the
13 real-world realities.

14 MR. ISLAS: I think we have, as you mentioned,
15 successfully proven the ability to acquire a portfolio of
16 DERs. The acquisition part has shown that we can acquire
17 them and we can acquire them for a local. For instance, in
18 the PRP region.

19 The challenge does become, with a large set of
20 behind-the-meter resources, the acquisition is largely
21 dependent as well on customers, their willingness to adopt,
22 and their willingness to try new things, as well as our
23 developers.

24 And I think our developers are committed. We've
25 been working with them to get them deployed and on a timely

1 basis. And, so, they have been reaching out to their
2 customers and laying out a strategy for how they're going
3 to acquire customers. And there are probably things we
4 could do as well. You know, ensure the customer has the
5 right information. Ensure the customer has the right
6 ability to make a correct decision that's in their best
7 interest.

8 So, that's definitely some of the areas that
9 we're exploring, in addition to exploring what additional
10 support we may need.

11 The flexibility I think we gain from our DSM
12 programs, as you saw from our early slide, they have, in my
13 point of view, provide us the flexibility to be able to
14 deploy resources quickly. To a large extent, you may hit a
15 limit in terms of what you can do. We've seen -- since we
16 launched the PRP, through our DSM programs, about
17 50 megawatts of resources deployed in the PRP region,
18 energy efficiency and distributed generation. So, that has
19 been key.

20 What the PRP is doing is trying to offset
21 incremental load growth of 238 megawatts plus through the
22 year 2022. So, for that, you need additional type of
23 mechanisms to get resources in place.

24 So, I think the DSM programs play a critical role
25 to be able to get them in service and get them where you

1 need them quickly, because they're already approved
2 programs, you just need to shift them and be able to adapt
3 them to what our grid's needs may be.

4 But, also, having a close partnership between all
5 the agencies, SCE, developers, and customers, I think is
6 another key to be able to make sure that there's clear
7 communication. For instance, one of the things we hear
8 from customers is, We need clear communication as to what
9 you need from us and what is in the best interest for us.

10 From our developers' side, we're hearing a strong
11 call to action would be beneficial. One of the feedbacks
12 we got was in response to Aliso Canyon, one of the things
13 that was successful was it was an emergency need. And, so,
14 it helped folks see that there was a need and be able to
15 respond to it. So, a strong call to action is one of the
16 things we hear would be beneficial, and that's why I think
17 the partnership between the agencies and SCE developers
18 will be key.

19 COMMISSIONER HOCHSCHILD: Just a question about
20 vehicle electrification and how you see that being part of
21 the solution. We have almost 300,000 electric vehicles in
22 the state now, and that transformation is gaining momentum.
23 I'm curious to hear how you think intelligent charging
24 protocols might help, in particular, either slowing or
25 temporarily halting the charging of fleets or even, as

1 we've seen with the Chair's leadership, getting the L.A.
2 Air Force Base actually vehicle-to-grid up and running.
3 Your thoughts on that.

4 MR. ISLAS: I'm not a big expert on the electric
5 vehicles, but what I can tell you is there's development of
6 pilots within SCE to integrate them and to be able to use
7 the resource -- or the electric vehicles as to manage the
8 grid.

9 MR. CHARLES: Yeah. From San Diego's
10 perspective, I would agree with that. I think
11 unidirectional power flow for vehicles to charge from grid
12 (V1G) is certainly something we need to look at in the near
13 term. You know, vehicle to grid or two-way power flow
14 (V2G) is down the road a ways. But, as those numbers grow,
15 as you point out, it certainly has to be part of the
16 solution.

17 COMMISSIONER RANDOLPH: Can I ask a question
18 about the -- the grid needs that you were talking about?

19 Does SCE sort of try to identify those needs and
20 solutions for them? Are you asking the developer? Like,
21 how is that process working?

22 MR. ISLAS: What we've done in the PRP region is
23 to the design and the analysis up front. And, through the
24 acquisition, we list a set of attributes we look for
25 developers to be able to fill.

1 And, in this case, if we see a need at a
2 particular substation or a circuit and we identify that
3 peak need versus the need at the A-banks. There's a
4 discrepancy there, right? And, so, we need to have the
5 flexibility to be able to dispatch a resource when it may
6 not be needed for the system but it's needed for the local
7 need.

8 So, it's in terms of the timing, the capacity
9 that's needed, the duration that's needed. Those are the
10 type of attributes we have listed in our solicitation
11 process to be able to inform developers in how to spec out
12 their projects.

13 CHAIR WEISENMILLER: A couple of things. I mean,
14 one, I was just going to ask Heather if she would check
15 with Commissioner McAllister -- I think he's on the
16 phone -- to see if he has any comments on this area.

17 The other thing I was going to offer to Edison, I
18 know from the Aliso context, we sent -- I sent out notes or
19 letters to general services, you name it. You know, I
20 think I spammed half of Southern California to try to get
21 agencies to step forward and do energy efficiencies and
22 fluor [phonetic] technologies now.

23 So, certainly, if there's some way we can help
24 you reach out to your customers to again get the message
25 out about the importance, I'd be happy to help there.

1 Again, I think this is an important effort. You
2 know, we have to make it work. And, so, the question is
3 how we can all work together to get there.

4 Commissioner McAllister, do you want to chime in
5 or not?

6 COMMISSIONER MCALLISTER: Sorry about that. Can
7 you guys hear me?

8 CHAIR WEISENMILLER: Yes. Go ahead.

9 COMMISSIONER MCALLISTER: Yeah. I was just
10 nodding my head in agreement to your question on energy
11 efficiency (EE) and Tom Doughty's observation on DR. I
12 think everybody knows that I have, you know, strong
13 feelings about both of the above.

14 I guess, you know, I think this issue came up in
15 the En Banc on Friday as well actually, and I think
16 half -- the question is how do we get the marketplace to do
17 more with less and avoid overinvesting in admittedly
18 wonderful technologies that are getting cheaper every day,
19 but I think, you know, the rate base can only take so much.
20 So, how do we use a combination of investment in hardware
21 with good planning and implementation over time to get to a
22 place where, you know, power costs can remain reasonable in
23 the long term as we decarbonize.

24 MR. ISLAS: Sergio Islas with SCE.

25 And I think one of the critical first steps we

1 have to take is have a better understanding of the
2 performance of preferred resources in general, so that we
3 can inform the right sizing of the grid investment we need
4 to make for reliability. And I think that's one of the
5 first steps, which is the main objective of the preferred
6 resources pilot, is to be able to identify their
7 performance, do they show up when you need them, where you
8 need them for as long as you need, and have that capability
9 so that you can right size your grid reinforcement and you
10 can also right size your procurement. And I think that's
11 one of the first steps we have to tackle.

12 COMMISSIONER MCALLISTER: I certainly appreciated
13 the (unintelligible) and the Wildan Group pilots. But
14 they're both pretty modest in size compared to the rest of
15 the resources, even the storage that are -- you know, round
16 out the procurement after Carlsbad.

17 So, you know, certainly want to just encourage
18 all of us to think creatively and implement this as
19 posthaste as we can and then learn and then reinvent.

20 COMMISSIONER RANDOLPH: Can I ask a question
21 about the Wildan EE project? I just wanted to hear a
22 little more detail from SDG&E about what that project
23 entails.

24 MR. CHARLES: This is Pat Charles from San Diego.
25 Yeah. I was part of the RFO that solicited that

1 project, and we evaluated it and signed the contract for
2 it. I know we're in fairly early stage ramp up for that.
3 The year of need, again, that we identified was 2022.

4 So, I believe that they will ramp up toward that
5 full eighteen-and-a-half megawatts between now and then. I
6 don't know exactly where they are today. And, off the top
7 of my head, I can't tell you the measures that are included
8 there.

9 I can tell you that one of the issues that we've
10 struggled with is the synchrony mentality issue. That is,
11 if you're already depending on a resource to keep something
12 reliable, you know, and then it gets offered into an RFO,
13 you know, Hey, I was already counting on that being there.
14 And that's been a struggle for us, not just San Diego, but,
15 you know, the larger group here. All of us I know have
16 struggles with that.

17 And energy efficiency, in particular, is a tricky
18 one because of the additional available EE that isn't
19 identified necessarily as we're looking at, you know,
20 fairly longtime horizons.

21 So, if you'd like, I could take that down as a
22 "to-do" and we can certainly get back to you with more
23 detail. We'll do that.

24 COMMISSIONER TISOPULOS: Sergio, you may have
25 already covered this, but it's not clear in my mind. I

1 know you have four peaker plants, smaller ones, 50 to
2 100 megawatts, perhaps, scattering the basin here that
3 you're modernizing and upgrading to make it more flexible
4 and combining them with storage capacity. And I note two
5 of them have already got their permits and perhaps they're
6 already deployed. And I remember for the other two, we
7 just got permits like a week ago or two weeks ago.

8 Were those included in the tally, and how do they
9 fit into the puzzle? Are they predominantly for the local
10 response, local demand response, or the regional response?

11 And my second question is, some of the AES
12 projects that we talked about, I thought one of them had a
13 pretty sizeable storage component as well, battery storage
14 component. Can you elaborate on that a little bit?

15 MR. ISLAS: I can definitely elaborate on the
16 tally.

17 COMMISSIONER TISOPULOS: Okay.

18 MR. ISLAS: Sergio with SCE.

19 And I should have someone here that could
20 probably give you some additional details about their
21 market function.

22 The tally I showed on Slide Number 2 includes the
23 projects you just mentioned, the energy storage projects,
24 so it does. So, in the context of Southern California
25 reliability, they play a key role in helping support

1 reliability throughout.

2 The dispatching, the functionality of how they
3 get used, I'm looking to the back to see if there's
4 somebody that has any additional information. If not, I
5 can definitely get back to you on that point, if that's
6 okay.

7 Thank you.

8 CHAIR WEISENMILLER: I guess the one thing
9 following up on Commissioner's Hochschild's point for a
10 second. Both utilities really are becoming very much
11 centers for charging networks at their headquarters, and,
12 you know, both employees I assume as we have more electric
13 vehicles in the fleet. And, so, one question is, how
14 quickly can we get vehicle-to-grid demos there?

15 I mean, it's not like you're dealing with the
16 Navy or Air Force or any number of outside parties. It
17 just seems like that's an easier one to try to move than
18 either one.

19 MR. CHARLES: Yeah. Pat Charles again from
20 San Diego.

21 Since I think I'm the only one from SDG&E here, I
22 think I'll respond, although I don't work in our Clean
23 Transportation Group.

24 My colleagues in that area that I've spoken with,
25 I know that they're looking at a V2G pilot with a small

1 number of vehicles. And, again, I would be happy to take
2 down that as a "to-do," and we can give you good
3 information soon.

4 CHAIR WEISENMILLER: Oh, that would be good.
5 We'd like to hear that.

6 MR. CHARLES: That's what we'll do.

7 COMMISSIONER HOCHSCHILD: I would just commend
8 you to talk to the folks at the L.A. Air Force base. I
9 believe there's 43 electric vehicles (EV) connected to V2G,
10 and it's been a success.

11 I don't know, Mr. Chair, if you wanted to share a
12 little bit about that.

13 CHAIR WEISENMILLER: Yeah. I mean, for one, I
14 was going to say actually it's been a project. We've used
15 Lawrence Berkeley Lab as sort of a consultant to the Air
16 Force in that project, particularly in the setup. And,
17 again, that's been a project which Energy Commission
18 responded would be happy to, you know -- and, actually,
19 we're now talking about another sooner project the Miramar,
20 but it's one-way instead of two-way.

21 So, again, our people would be very happy to
22 meet, our experts in this area, with your experts in this
23 area and try to figure out how we can move things along.

24 MR. CHARLES: Thank you very much.

25 CHAIR WEISENMILLER: Okay. Looking more at Neil.

1 Sycamore-Penasquitos. So, should we -- how sure should we
2 be about that being on time?

3 MR. MILLAR: Sorry. It's Neil Millar with the
4 ISO.

5 At this point, San Diego has indicated that they
6 are on schedule but have just highlighted the various risks
7 associated with a significant underground transmission
8 project in a relatively high-density high-traffic area.

9 So, our concern has really just been focused on
10 the fact that we're starting with a schedule that is
11 already at the last minute and that there are practical
12 concerns around that scope of project.

13 So, as I said, they haven't identified any
14 specific concerns that will cause the delay, but we're
15 being cautious because of the time line already being into
16 the summer season and just the scope of the project
17 overall.

18 CHAIR WEISENMILLER: I asked two questions. When
19 have they mentioned that in an SEC filing?

20 MR. MILLAR: Sorry?

21 CHAIR WEISENMILLER: Has SDG&E mentioned that in
22 an SEC filing?

23 MR. MILLAR: I am not aware of that.

24 CHAIR WEISENMILLER: Okay.

25 MR. MILLAR: We've received formal communication

1 from San Diego Gas and Electric just indicating the
2 potential, given the nature of the project. And that was
3 enough for us to start looking at possible mitigations.

4 CHAIR WEISENMILLER: Okay. When will you know
5 how worried we should -- whether we should be worried or
6 not?

7 MR. MILLAR: Again, I'm hoping that by the,
8 certainly, fall and the end of this year we'll have a much
9 better picture. But we're really relying on information
10 from San Diego Gas and Electric.

11 CHAIR WEISENMILLER: Okay. I think I've covered
12 my questions.

13 Who wants to go next?

14 Let me thank the panel. You've been very
15 helpful. We've covered a lot of ground. Obviously, it
16 sounds like we'll be back again next year on this topic,
17 but, you know, keep helping us work forward on this.

18 I believe at this point we have maybe a
19 representative from Senator Stern in the room.

20 Please come forward.

21 We're in the process now of pivoting from San
22 Onofre to Aliso Canyon. And, so, let's start with
23 legislative comment on Aliso Canyon.

24 MS. ELLIS: Good morning. My name is Katherine
25 Ellis, and I just want to thank you all for the opportunity

1 to speak to all of you today.

2 I would like to read a statement on behalf of
3 Senator Henry Stern.

4 I would like to commend all the agencies, the
5 California Independent System Operator, the Energy
6 Commission, the Public Utilities Commission, and the
7 Los Angeles Department of Water and Power, for working
8 together to identify and implement strategies to
9 ensure the energy grid in the Los Angeles Basin
10 remains clean, safe, and reliable.

11 It has been about 19 months since the leak was
12 discovered at Aliso Canyon, and we do not yet know the
13 root cause of the blowout.

14 While those unanswered questions are pursued, a
15 cooperative inter-agency effort in newfound capacity
16 and demand response, energy efficiency, distributed
17 solar, and most notably, clean energy storage.

18 These alternative supplies have allowed us to
19 manage the grid reliably in the L.A. Basin through a
20 summer and a winter season without Aliso Canyon in
21 full operation.

22 As we head into our second summer, we should feel
23 confident, but ever vigilant. Everyone needs to step
24 up and do everything they can to maximize gas-demand
25 reduction overall, whether through alternative

1 generation and storage or efficiency and demand
2 response.

3 None of this is out of line with the 100 percent
4 renewable energy goals both California and the City of
5 L.A. have begun pursuing.

6 As we chart forward in our zero-carbon future, we
7 must ensure reliability in the present. That's why
8 the vision at Aliso Canyon is key. There's still
9 about 14.8 Bcf of gas in the storage facility. The
10 minimum operating pressure is 5 Bcf, leaving Southern
11 California Gas Company (SoCalGas) about 9.8 Bcf of gas
12 to use if needed.

13 So far, it has only been needed over a two-day
14 cold snap this past January. Only about 0.025 Bcf of
15 gas was tapped from Aliso each day.

16 If another demand spike occurs and Aliso must be
17 tapped again, at that prior rate, that field could
18 provide gas for over one year without hitting the
19 minimum operating pressure; 392 days to be exact.

20 Keep in mind, also, the new 200 million
21 compressor the gas company found in time to install at
22 ratepayer expense, all while the well blowout response
23 was underway on the mountain. That will speed up the
24 time line should any new injections be
25 required to ensure minimum operating pressure.

1 Ratepayers ought to get some relief from their massive
2 investment here.

3 However, this entire response cannot, should not,
4 and under current law, ought not be paid for by
5 ratepayers.

6 As we approach the summer months, we expect the
7 gas company and its parent company, Sempra, to step up
8 in a big way to right this wrong. Let's set the
9 record straight on environmental justice, ratepayer
10 risk, pitting other communities against Porter Ranch
11 belies the ageless axiom that, "All justice,
12 especially environmental justice, is indivisible."

13 If all of us, from the individual customers to
14 utilities and regulators to the clean energy industry,
15 work together we can move through the summer safely,
16 reliably, and consistent with our shared vision for a
17 sustainable future.

18 Thank you.

19 CHAIR WEISENMILLER: Thank you.

20 Any other legislative comments?

21 Actually, the other thing I was going to do,
22 since we're a little early, if there are any public
23 comments on San Onofre at this morning's session, we're
24 happy to take you now instead of at the end of the day.
25 And then we'll go for an early lunch and come back early.

1 So, yeah, okay. Let's take an early break.

2 Let's come back at 12 45.

3 Thank you.

4 (Whereupon, the luncheon recess was taken from
5 11:40 a.m. to 12:45 p.m.)

6 CHAIR WEISENMILLER: And, so, I'm looking at
7 Evie, the court reporter to make sure you both are ready.

8 You're ready?

9 Court reporter, you're ready?

10 Heather, let's go.

11 MS. RAITT: So, after the break, we were going to
12 hear legislative officials, but we already heard from
13 our --

14 CHAIR WEISENMILLER: Let's just call out.

15 Is there any other legislative officials?

16 Let's go.

17 MS. RAITT: Okay.

18 So, we have a joint agency presentation for an
19 update on reliability issues associated with Aliso Canyon
20 Natural Gas Storage Facility.

21 Presenters are Rob Oglesby from the Energy
22 Commission, Mark Rothleder from the California Independent
23 System Operator, Edward Randolph from the CPUC, Kenneth
24 Silver from the Los Angeles Department of Water and Power,
25 and Catherine Elder from Aspen Environmental.

1 MR. OGLESBY: Rob Oglesby here, Executive
2 Director for the Energy Commission, and I'm leading off
3 this panel where we're going to give you the update of your
4 team's work on the Aliso -- the status of the action plans
5 related to Aliso Canyon.

6 So, this effort indicates a great deal of
7 cooperation and coordination among the various energy
8 agencies and entities that have been working year after
9 year on the -- since the issue erupted, and involves the
10 California Public Utilities Commission, the California
11 Energy Commission, the Independent Systems Operator, and
12 Los Angeles Department of Water and Power, and others who
13 have provided input.

14 So, this slide is useful, although small, to
15 emphasize the significance and inter-relationship between
16 the storage facilities, the backbone pipeline, and the
17 pipeline that is the distribution system, with the backbone
18 pipeline being the red lines and the distribution system
19 being the black lines.

20 And, if you look close enough, you can pick out
21 in the triangle with the dark center, the Aliso Storage
22 Facility. And you can see that it's ideally located to be
23 a distribution point for stored gas. But, also, today,
24 you're going to hear a lot about the other storage
25 facilities within this system that are also indicated on

1 this map by the triangles that have the dot inside.

2 And you could see that it's a compact and limited
3 system, both in terms of pipeline locations and capacities,
4 as well as storage fields that we've come to rely on.

5 So, the status of the facility as it now stands,
6 there are the moratorium on injections at Aliso Canyon
7 continues. At this date Aliso continues to hold very close
8 to 15 billion cubic feet of natural gas. This was the
9 amount that was held in reserve to help support the system
10 if needed; largely, has not been utilized.

11 Aliso inventory remains available for withdrawal
12 at critical times, if necessary. And a new storage safety
13 enhancement plan is being implemented across all the
14 facilities.

15 The inventory at other -- and this is an
16 important point. The inventory at other Southern
17 California gas natural gas storage facilities, are below
18 levels needed to achieve the target inventory needed to
19 support summer needs. And you'll hear quite a bit about
20 that with subsequent speakers.

21 I'm going to turn it now over to Caty Elder.

22 MS. ELDER: And, hopefully, I got the button
23 right. It sounds like I did.

24 And I have a button. And if I push this, will I
25 get -- or it just advances it?

1 UNIDENTIFIED SPEAKER: It advances it.

2 MS. ELDER: Okay. Got it. Sorry about that.

3 You may remember a year ago, some of you will
4 remember a year ago, the analysis that we had done looked
5 at four specific days. And we looked at days that we
6 thought might be trouble days. And we ran those through
7 hydraulic analysis accompanied by power-flow analysis on
8 the electric side. And the key finding from that analysis
9 was that, on days where we had a mismatch between supply
10 and demand of as small as 150 MMcf per day, we were afraid
11 that we would run into natural gas curtailments that could
12 be large enough to cause power outages.

13 And, so, later on, we'll talk about mitigation
14 measures that we put in place to remedy that. But one of
15 the key mitigation measures to deal with that specific
16 issue was to tighten up the balancing rules.

17 In the winter, we did an analysis for you that
18 didn't look at specific days, but was a capacity analysis.

19 And I guess I could already push to the next
20 slide. There we go.

21 We did a capacity analysis to look at what was
22 the maximum amount of demand that we thought we could
23 serve. So, we did something similar to that this summer.
24 Given that we'd already looked at the four specific days
25 before, we didn't need to look at those again. Instead, we

1 did, what's the maximum amount that we can serve kind of
2 analysis.

3 Essentially, we -- I'm trying to hit the right
4 button. There we go. And I'm -- why am I not on the right
5 page?

6 Clearly, I'm failing at clicking buttons
7 properly, so I must need to go back to kindergarten. All
8 right. Yeah. Save us from me, please, somebody. I can
9 drive a race car, but -- anyway.

10 So, let's go on to the next one.

11 So, we assumed that all of the available
12 capacity, pipeline capacity, into Southern California was
13 operating. That number comes out to be about 3.158 Bcf per
14 day. That represents all of the capacity that flows into
15 Southern California, except for the Line 3000 outage. So,
16 it's about 250 MMcf per day ?cf lower than what it
17 otherwise would be if Line 3000's work were all finished
18 and it were available.

19 We also assumed that they could pull from their
20 other three fields, basically, at maximum capability. That
21 number works out to be 1.47 Bcf per day.

22 So, we take those numbers and we throw them into
23 the hydraulic analysis. And SoCalGas -- we're in the
24 hydraulic again. And they ended up finding that there are
25 certain hours in the day where the storage fields would

1 have to pull at their maximum capability, but there are
2 other hours where there wouldn't be enough demand to place
3 all of that gas. And the bottom line is that -- and I
4 think this appears actually on the next page -- is that
5 they can serve about 3.6 Bcf per day maximum capability.

6 Yeah, go ahead and -- there you go. So, I'm not
7 the only one who hits more than one. Okay. It's the
8 clicker, not me.

9 So that 3.638 Bcf per day is what we found is
10 basically the maximum demands that SoCalGas can serve this
11 summer. Now, a couple of caveats to that. The key caveats
12 are that that assumes that on the electric side, everything
13 is all perfect, the transmission lines are all available
14 and operational. It also assumes that there are no other
15 outages on the gas side. In other words, that the
16 pipelines that come into Southern California, but for the
17 Line 3000 that's got some work ongoing to deal with, some
18 required reliability work that it needs, that everything
19 else works perfectly. It also assumes that the 1.47 Bcf
20 per day at the other three fields is available.

21 If long supply drops below those maximum
22 assumptions or we can't get a whole 1.47 Bcf or the hourly
23 equivalent out of the other three gas storage facilities,
24 then the maximum that we could serve would be
25 correspondingly lower.

1 And, with that, I'm going to turn this over to
2 Mark Rothleder.

3 MR. ROTHLEDER: Thank you.

4 This is Mark Rothleder. I'm the Vice President
5 of Market Quality and Renewable Integration.

6 So, from the gas analysis, we then took and
7 looked at from the electric side, what is the minimum
8 generation level that we need to generate with in order to
9 support reliability in Southern California.

10 And this is similar to what we did in the 2016
11 summer assessment, in the sense that we did a power-flow
12 study there, too, to look at the minimum electric
13 generation.

14 However, this year, we also took into
15 consideration some additional transmission upgrades, which
16 I'll be discussing later in the presentation.

17 We also considered the electric storage
18 facilities that were added to the system. The hydro
19 conditions, as well as other renewable energy resources
20 that were added since 2016.

21 We focused our attention, not around the entire
22 day, but around the eight peak hours because that's when
23 the electric generation would be having to pull the maximum
24 amount of gas and put the most stress on the gas system.

25 What we found was that our minimum electric

1 generation need in terms of gas utilization would be
2 1.87 billion cubic feet per day, and focusing on those
3 eight peak hours, 976 million cubic feet for those eight
4 peak hours.

5 We then assumed 100 percent electric transmission
6 import utilization. So, what we mean by that is that we
7 assume that the entire import capability into Southern
8 California was available and there was supply able to be
9 imported in at the time.

10 When we looked at it from that perspective, what
11 we found is that, even if we had to take electric
12 generation curtailments of gas down to the minimum levels
13 identified in the study, there would be sufficient
14 capability and sufficient supply, assuming 100 percent
15 utilization, such that, assuming we used demand response
16 and other measures, we would be able to meet reliability
17 requirements for summer 2017.

18 However, I want to make sure, this is predicated
19 on the fact that we would be able to withdraw sufficient
20 gas generation from the other storage facilities at a
21 sufficient rate over those eight hours.

22 Based on actual conditions, we know that,
23 generally speaking, at high load levels, the electric
24 generation actually, from an economic dispatch level, uses
25 more gas than what was the minimum identified in the

1 studies.

2 The end result is that, while we found that if we
3 can use the 100 percent maximum utilization of the
4 transmission system, if there's limitations on the electric
5 transmission system or if there's not sufficient electric
6 supply to bring in during these conditions when we have
7 high generation needs or if there is insufficient
8 withdrawal capability from the other storage facilities,
9 there is still a risk to electric reliability in Southern
10 California.

11 That risk can be mitigated by several measures,
12 including emergency assistance, potential electric load
13 shed in Southern California, and potential withdrawal from
14 Aliso Canyon when necessary.

15 This graph is an extrapolation of the study
16 scenarios and the sensitivities that we performed in the
17 study.

18 The orange line, the top line, is a line that
19 represents what I just described, assuming 100 percent
20 electric transmission utilization.

21 And the vertical line, which is 1470 MMcf per day
22 withdrawal capability from the other non-Aliso storage
23 facilities, but this indicates on the XY axis, the fact
24 that that's positive, indicates that we have a surplus of
25 gas capability relative to the minimum generation needs.

1 However, what we can see from this is that, if we
2 don't reach 100 percent electric transmission and
3 utilization, as represented by the gray dotted line and the
4 yellow dotted line, then you can see here that there's
5 potential where we can go negative, or we have insufficient
6 gas delivery capability relative to the electric generation
7 needs.

8 And that indicates that there is still a risk,
9 again, if we cannot make full utilization of the electric
10 transmission or there's insufficient electric supply.

11 In addition, this graph indicates that if you
12 look back from the vertical line at the 1470 MMcf per day
13 line, this indicates that if you have insufficient
14 withdrawal capability, in other words, you do not have
15 enough inventory in the other storage facilities, you can
16 get to the point where, again, on the gray line, or even on
17 the orange line, you would have insufficient withdrawal
18 capability when needed and you could still be at risk.

19 So, the bottom line is that, what this graph
20 illustrates, is that if you can make the target levels,
21 again, of withdrawal capability by having enough inventory,
22 gas inventory, in those other storage facilities, it
23 largely mitigates the risk. However, we also have to be
24 prepared for the fact that we don't use 100 percent
25 electric transmission and there may be supply

1 short -- supply insufficiencies getting electric supply
2 when needed into the Southern California system.

3 So, it's prudent, based on this information, that
4 Aliso would still need to be available for at least some
5 amount of withdrawal capability for this summer to mitigate
6 those risks.

7 The question, obviously, is how much. And this
8 graph does help illustrate that question. It looks like
9 around about 350 million cubic feet of additional
10 capability, withdrawal capability, when we're in those
11 emergency conditions would be helpful. Again, assuming
12 that there is sufficient withdrawal capability from the
13 other storage facilities.

14 If there's insufficient withdrawal capability,
15 then there's additional need for Aliso, kind of on a
16 one-for-one million cubic feet basis.

17 With that, I'll turn it over to Ed Randolph to
18 talk about the measures.

19 MR. RANDOLPH: Thank you, Mark.

20 Edward Randolph, Director of the Energy Division
21 of the California Public Utilities Commission.

22 Last summer, or last spring going into summer, as
23 we had done the technical assessment looking at risks for
24 last summer, the joint agencies also prepared an action
25 plan of mitigation measures to help reduce the risk of

1 natural gas and of electric curtailment during the summer.
2 And then we did a similar action plan for the winter of
3 2016/'17.

4 Those action plans initially had 21 mitigation
5 measures for the summer, and then added an additional nine
6 for last winter.

7 In the 2016 action plan for last summer, we found
8 that it largely mitigated the risk last summer. And, that,
9 coupled with the fact that it was a mild summer weather
10 pattern with only four extreme heat days and two of those
11 extreme heat days being on Sundays, we were able to get
12 through last summer without any major significant
13 curtailment on the gas side and no curtailment on the
14 electric side.

15 Those measures, the mitigation measures, largely
16 reduced the risk or greatly reduce the risk of the main
17 risk we saw in the technical assessments last year, which
18 was big fluctuations in the intraday demand in gas.

19 For this year, going into 2017, we're
20 recommending adding one additional measure, which is
21 focused on adding the storage -- you know, increasing the
22 storage from the current level in the other storage fields
23 in the region to make sure that those storage fields are at
24 maximum withdrawal capacity.

25 Right now, after a colder-than-average winter,

1 with withdrawals throughout the winter to keep the system
2 balanced and no ability to withdraw from Aliso -- or,
3 there's ability to withdraw from Aliso, but the protocols
4 only withdrawing in the most extreme circumstances, those
5 fields are lower in storage capacity than then normally
6 would be at this point.

7 The CPUC has ordered SoCalGas both to implement
8 their well upgrade projects on those fields in a manner
9 that will have sufficient withdrawal capacity for the
10 summer to meet demand, and now, to more aggressively inject
11 gas into the fields over the next coming weeks so that the
12 storage capacity is up at a sufficient level by the time we
13 get into the summer season.

14 Nineteen of the measures from last year required
15 no further action; however, we continue to benefit from
16 those measures this summer. I'll get into more detail of
17 those in a second.

18 And ten of the measures that will be in place for
19 this summer, as we go forward through this summer and the
20 next fall, we'll have to consider further action because
21 some of those had time limits on them and may need to be
22 extended.

23 And then there are two measures that are still
24 actively being implemented.

25 Heather, can you move the slide? Thank you.

1 Out of the new and active measures, right now,
2 one of the active measures continues to be the effective
3 completion of the required safety review at Aliso Canyon.
4 That continues to be underway.

5 Forty-five wells have now passed the required
6 DOGGR test, and an additional 69 have been taken out of
7 service.

8 With the wells that have passed and are available
9 for withdraw, that leaves that field right now with a
10 withdrawal capacity of 440 million cubic feet per day of
11 withdrawal capacity.

12 It's worth noting -- and I don't know if I have
13 it in a future slide, so I'll hit it here. It's worth
14 noting that withdrawal capacity is also based on the
15 inventory that's in the field right now, which is
16 14.8 billion cubic feet. The withdrawal capacity is a
17 factor of both the number of working wells, but also the
18 pressure in the field. As gas is -- if gas were further
19 withdrawn from the field with no injection, that 440 MMcf
20 withdrawal capacity would continue to go down. As the
21 inventory goes down, the pressure and, thus, the withdrawal
22 capacity goes down.

23 Additionally, we continue to monitor the core
24 balancing rules, which are the most effective of the
25 mitigation measures so far.

1 And, most critically, there is agreement to
2 further refine the balancing rules for core customers going
3 forward into this fall. SoCalGas, in a settlement
4 agreement, has agreed to submit proposals by September on
5 further modifications on the core customer balancing rules
6 that should help further increase effective utilization of
7 the system.

8 And then, finally, we've already talked about
9 this, on the need to increase the gas inventory at the
10 other storage facilities.

11 Next slide, please, Heather.

12 Just skipping through this fairly quickly. Of
13 the mitigation measures from last year that are completed
14 but we're benefiting from now, the categories, they were
15 broken up into were prudent use of Aliso Canyon and the
16 remaining gas that was in there; tariff changes, both on
17 the CPUC side as they regulate the balancing rules for
18 SoCalGas, and the Cal ISO working with Federal Energy
19 Regulatory Commission (FERC) to change tariff changes there
20 to better coordinate on the electric side; better
21 coordination of the operating system between the ISO LADWP
22 and the gas company; reducing natural gas and electric
23 usage and reducing maintenance downtime further.

24 Going back up to the top. Yeah. Just to call
25 out there, one of the big ones on prudent use was the

1 updating Aliso Canyon withdrawal protocol. That will need
2 to be further refined going into this summer. It's been
3 the product of settlement agreements, and I -- we are right
4 now, CPUC is taking a look at those rules to make sure that
5 they -- what was effective for the winter will be effective
6 for this summer and as it relates to last summer. And then
7 just also noting down there on reduce natural gas electric
8 usage, a number of those programs were demand response and
9 conservation, but a very key program is flex alerts, which
10 will continue to be funded into this summer.

11 I also bring it up here because the key to making
12 flex alerts work is public participation. So, on days flex
13 alerts are called, people are very much needed to reduce
14 their electric usage to help reduce the need for
15 curtailment.

16 Next slide please, Heather.

17 And I've hit on all these. Can we go ahead and
18 move to the next slide?

19 This chart here is based on CPUC analysis on the
20 impact of the demand side mitigation programs developed in
21 response for Aliso Canyon for the entities that we have
22 control over.

23 It does not incorporate the analysis or any
24 efforts that LADWP or the other publicly-owned utilities in
25 the region have taken. And it looks only at programs that

1 were specifically implemented in response to Aliso. But
2 you can see on this chart that when we initially -- our
3 initial estimates on the need for Aliso Canyon on a peak
4 demand day would be 900 million cubic feet per day. But
5 once we implement these mitigation measures here, that
6 reduces the need for Aliso Canyon to about 415 million
7 cubic feet per day.

8 So, the combination of all of these mitigation
9 measures have reduced on a peak demand day of Aliso by a
10 little over half. We could probably take that number down
11 further because this doesn't take into impact into
12 consideration other efficiency programs that have been in
13 place for some time that continue to lead to reductions in
14 the region, you know, out there that reduce it.

15 The reason why we don't include those in there is
16 some of those are also already incorporated into long-term
17 demand forecasts, so it's hard to separate out what was
18 already in the forecast, what's not. But, you know, we do
19 know that those actually have an impact over that
20 54 percent reduction.

21 Next slide, please.

22 And this is just an example of one of the
23 specific mitigation measures. And, you know, a big success
24 on the demand side of the equation. Actually, all of these
25 were more of a supply side resource here, which was

1 SoCalGas -- or Southern California Edison and SDG&E both
2 went out and did quick solicitations for additional battery
3 storage that could be located at substations and, thus,
4 serve to look like a gas-fired peaker plant. And that's to
5 be available on those peak days to reduce some need for
6 natural gas.

7 Next slide.

8 And, again, CPUC activities beyond the action
9 plan. We continue to develop a number of demand side
10 resources that will help reduce gas demand, especially peak
11 gas demand in the region. And then there is a long-term
12 study being conducted by the California Council for Science
13 and Technology looking at statewide viability of natural
14 gas storage. So that's not just looking at Aliso Canyon,
15 but all storage facilities across the state.

16 And then there is an order instituting
17 investigation, an OII, that has been opened with
18 Commissioner Randolph as the Lead Commissioner on that
19 looking at the long-term feasibility of reducing or
20 eliminating the need for Aliso Canyon.

21 And with that --

22 Does this go back to you, Mark?

23 MR. ROTHLEDER: Yes.

24 So, in addition to the balancing rules, which
25 were identified as one of the key mitigation measures, I

1 think that probably the next key mitigation measure is the
2 level of coordination that occurred between the California
3 Cal ISO, LADWP, and Southern Cal Gas as the gas operator.

4 From the Cal ISO's perspective, we enhanced our
5 markets to provide two-day ahead information to inform the
6 generators how much gas would potentially be needed. And
7 this information also went to Southern Cal Gas, so that
8 this interplay between gas purchasing and electric
9 operations and needs really was a very intensive, increased
10 amount of coordination.

11 From a ratepayer's perspective, the Department of
12 Market Monitoring within the Cal ISO has been watching over
13 gas prices. And what they found is that, despite the
14 limitations of Aliso Canyon, there wasn't a significant
15 overall impact on electric markets as a result of the gas
16 prices and gas limitation at Aliso Canyon. The Department
17 of Market Monitoring will continue to monitor for
18 significant events in 2017.

19 The end result of the coordination is illustrated
20 by this graph. Just to orient you, the blue line is
21 effectively 2015; so, before Aliso Canyon. And the dark
22 black line on the Y axis is the amount of gas burned
23 difference between what we expected a day ahead and what
24 was actually occurring in real time. And, so, a positive
25 number indicates there that we missed the gas expected burn

1 day ahead and the actual real-time gas burn was greater
2 than what we expected. So, that dark black line is at 150
3 million cubic feet per day.

4 And what that indicates, and the reason that's
5 important, is because in a 2016 study, that was an
6 identified risk; that if there was a mismatch of more than
7 150 million cubic feet, that was one of the triggers of
8 risk that was identified in the system.

9 And you can see here that in the orange in 2016,
10 we never got to the 150 million cubic feet additional gas
11 burn beyond what was expected a day ahead. So,
12 effectively, this information provided and our better
13 forecasting allowed for sufficient gas to be brought in a
14 day ahead versus real time. And this trend is continuing,
15 as represented in the red line, it's current. We have not
16 seen misses in terms of the electric generation on the
17 California ISO under the Cal ISO responsibility approaching
18 the 150 million cubic feet. And the table there just
19 illustrates the difference between the 2015 and the 2016
20 maximum difference between real time gas burns and expected
21 day ahead gas burns. And you can see there, again, 2016
22 never exceeded 150.

23 In addition, for 2017, as I mentioned, there's
24 several transmission upgrades. And you got briefed about
25 some of the upgrades coming in the future from the earlier

1 panels. But, in the SCE area, there's been most notably a
2 500 kV line addition, in the San Diego area, some
3 synchronous condensers.

4 In the Pacific Gas and Electric (PG&E) area,
5 there are some things that happened at Midway, which is
6 kind of the interface point between PG&E and Southern Cal
7 Edison system that has also helped.

8 And, coming in from Arizona, there has been
9 improvements on series capacitors between Palo Verde and
10 Hassayampa coming into the San Diego area.

11 In addition to that, in the future we are
12 expecting some additional condenser additions. That will
13 also help some of the localized reactive constraints that
14 result in needing additional minimum generation on in the
15 area. And these are just a few of them that are coming in
16 2017 and 2018.

17 Before I hand it off, I do want to point out that
18 in 2017 there is a special event coming up in August 21st.
19 It is a solar eclipse. And the solar eclipse is on a
20 Monday. It will result in about 5500 megawatts of reduced
21 solar generation on the grid for about a three-hour period,
22 between 9 o'clock and noon. Obviously, this far ahead, we
23 don't know what the load will be that day. But if it's a
24 Monday and it's a hot Monday coming off of a hot weekend,
25 those tend to be days that oftentimes are our peak load

1 conditions.

2 So, it's just something to point out. It's
3 nothing that we specifically studied in the report. But it
4 is a one-day event that we should be cognizant of, that
5 losing that amount of generation could, at least on that
6 particular day, force us to rely more heavily on the gas
7 generation fleet than what we normally would have done.

8 And, with that, I will turn it over to Ken.

9 MR. SILVER: Kenneth Silver, Director of Power
10 Supply Operations for LADWP.

11 Okay. Where are you pointed?

12 Next slide, please. I know we jumped ahead a
13 couple.

14 UNIDENTIFIED MALE SPEAKER: Which slide do you
15 want to be on?

16 MR. SILVER: 22. Back one more, please.

17 So, as has been mentioned, there's been increased
18 electric and gas cooperation between the gas company, the
19 Cal ISO, and LADWP.

20 We're continuing several of the things we've done
21 in the past. We've changed our hedging, our gas hedging
22 program, so that we don't LOCK ourselves into amounts of
23 gas that we may not be able to burn or that are not the
24 right amount for that day.

25 We've also updated our economic dispatch. We're

1 basically trying to optimize the available gas that we use
2 each day. That gives us additional flexibility. And we've
3 done that also by making some block energy purchases to
4 ensure there's energy that we can bring into the area, as
5 well as being more -- being more careful on energy that we
6 would be selling.

7 Next slide.

8 We're maintaining our dual fuel capability at
9 several of our generating facilities. We have about
10 1500 megawatts that can burn, alternate fuel, as a very
11 last resort. And that would be only immediately prior to
12 having rotating blackouts.

13 We're also continuing to work on our energy
14 efficiency program. The values that are listed here are
15 cumulative savings, and they include such things as air
16 condition tune-ups, more efficient lighting installations
17 at residential and commercial.

18 We also have a program that we implemented last
19 year called Summer Shift, where some of our large customers
20 have moved their load profile so that they move it away
21 from the peak of the day. And we realized about
22 100 megawatts of load savings on the peak. And that helps
23 smooth out that gas usage ramp also.

24 Next slide.

25 Some of the future things that we're looking at

1 is continuing our utility and residential solar. We've got
2 about 945 megawatts of utility solar now with another 144
3 MW coming on this summer. We're adding to our net
4 metering, the behind-the meter solar. And we've also gone
5 out trying to get additional feed in tariff, another
6 65 megawatts, in new proposals.

7 We've accelerated our plans for energy storage.
8 We have a 20-megawatt project scheduled for our Beacon
9 Solar Station that will be in right at early 2018.

10 We also are, among the pilot projects, is we have
11 a program at one of our local fire stations. It's a
12 combination solar and battery installation. We've
13 increased our demand response up to 50 megawatts. And
14 we've also completed a study to determine how much
15 distributed energy we can manage on the system and still
16 operate reliably.

17 And that's completes the LADWP efforts. And I'm
18 not sure who gets it next.

19 MR. OGLESBY: That's me.

20 MR. SILVER: Okay.

21 MR. OGLESBY: So, just to give a report on the
22 assignments that the Energy Commission had, which basically
23 focused on supply and demand of natural gas to the system.
24 And the Energy Commission determined that the feasibility
25 of increases in California production are limited and could

1 not effectively increase gas supply into SoCalGas.

2 We also completed our studies of what it would
3 take to bring in LNG to the state, and did an analysis of
4 potential with that.

5 And, finally, we will continue to do our
6 monitoring function to look at natural gas use at
7 refineries and also monitor gasoline prices should they be
8 impacted by energy issues.

9 Next slide.

10 And, now, speaking for the group, we will
11 continue to monitor the plan for increasing storage
12 inventories and also to continue implementing the many
13 mitigation measures we have.

14 The CPUC will complete their OII on the
15 feasibility of reducing or eliminating the use of
16 Aliso Canyon, and complete the long-term study of
17 the -- the Energy Commission will complete the long-term
18 study of statewide viability of natural gas storages.

19 CHAIR WEISENMILLER: Thanks again.

20 I'll start asking questions. Try to do it by
21 topic, and then try to move by topic to give everyone else
22 a chance to chime in.

23 So, the first question is really to, let's see,
24 LADWP and Mark, although it might be Ed instead. We
25 generally talk about moving away from least-cost dispatch.

1 And LADWP has some very specific things in terms of
2 hedging, et cetera. Do we have any sense of what
3 the -- all of which lead to hire costs. Do you have any
4 sense of the higher cost of the way what we're doing
5 operationally now compared to what I'll characterize as
6 business as usual?

7 Mark, do you want to start?

8 MR. ROTHLEDER: Yeah.

9 I don't have a cost estimate for that. I will
10 say that we have an obligation to still do a minimum cost
11 dispatch based on economic bids. That said, the resources
12 and some of the load-serving entities may take a strategy
13 where they basically buy more gas, generate more, or offer
14 their resources to generate more than they would have
15 otherwise generated to effectively hedge that risk of a
16 curtailment by burning more gas in the first place. And
17 that's something that would be maybe something that could
18 be answered by the load-serving entity, Southern Cal
19 Edison, San Diego Gas and Electric, about their strategies
20 from that perspective.

21 LADWP is in a little different place because they
22 are the utility and load-serving entity as well.

23 CHAIR WEISENMILLER: Yeah.

24 MR. SILVER: Ken Silver.

25 I don't have an exact dollar amount, and there's

1 many factors. It's hard to predict what the cost is ahead
2 of time. Last summer was pretty mild. So, I know that
3 mitigated some of the costs that -- some of the excess
4 costs. But there are a lot of variables, and it's very
5 different to forecast.

6 I know we did a back-cast, but, unfortunately, I
7 don't have the dollar value right at hand.

8 CHAIR WEISENMILLER: Actually, I guess, while we
9 have you at the microphone, you want to fill in the one
10 number that you didn't know this morning when I asked you a
11 question?

12 MR. SILVER: The amount of repower remaining on
13 our system is about 2600 megawatts.

14 CHAIR WEISENMILLER: And how much has been so
15 far?

16 MR. SILVER: We've done about 1100.

17 CHAIR WEISENMILLER: Okay.

18 MR. SILVER: Or -- I'm sorry -- 900.

19 CHAIR WEISENMILLER: 900.

20 MR. SILVER: 900.

21 CHAIR WEISENMILLER: Okay. So, if you do have
22 any quantification, if you could submit it in the record,
23 that would be good.

24 I don't know if Edison or San Diego had the right
25 people here to answer that question. Certainly, if so, I

1 would encourage them to come up. If not -- okay.

2 Catherine is pointing. If not, certainly, you can chime
3 in in writing later.

4 Come on up.

5 MR. FRONTINO: Hi. Good afternoon. Tony
6 Frontino, Southern California Edison. I am the Principle
7 Manager of Trading and Energy Operations.

8 To address the question about incremental costs,
9 it's very hard for us to quantify as well. And, so, what
10 we have been doing is coordinating the best that we
11 possibly can in terms of managing our gas burns with what
12 we think the Cal ISO is going to dispatch. Based off our
13 forecast, we'll buy gas accordingly as well.

14 So, we're managing our gas burns the best that we
15 possibly can. We'll forecast what we think the gas burns
16 are going to be. We'll buy to that forecast, and then
17 adjust intraday if we need to.

18 So, the variables associated with incremental
19 cost, to the extent the Cal ISO does implement any
20 nomograms of constraints for natural gas, we would also
21 look at that and see how that impacts our portfolio. But
22 don't really have the specific number in terms of
23 incremental costs related to all of Aliso Canyon mitigation
24 measures.

25 CHAIR WEISENMILLER: Okay.

1 SDG&E, is anyone here that can answer --

2 Anyone else, questions on this specific topic?

3 COMMISSIONER DOUGHTY: Chair, just observation.

4 As I was preparing to come today, I looked back a
5 year ago at our time here, and I thought it was important
6 that we acknowledge these speakers and the organizations
7 that they represent. This really has been an
8 all-hands-on-deck moment. And thanks to good planning well
9 in advance, we have over three dozen mitigation measures
10 that we're managing, good coordination, both in the periods
11 before real time and in real time, unprecedented from my
12 advantage point, and, quite frankly, a little bit of good
13 fortune, good weather over a summer and a winter, and good
14 performance by existing infrastructure.

15 So, Mark said some points at the end of his
16 message that I wanted to reiterate. The assessment that
17 we're looking at now is cautiously optimistic.

18 Infrastructure still needs to work both in the gas and
19 electric system for us to weather this challenge this
20 coming summer. But we should make no mistake that our
21 situation still remains urgent and in need of continued
22 diligent monitoring.

23 CHAIR WEISENMILLER: Anyone else?

24 Now, yeah, I think certainly -- oh, go ahead.

25 COMMISSIONER RANDOLPH: I would like to ask a

1 question.

2 Obviously, this last year has been really wet.
3 In the past, we've had with Aliso and gas availability the
4 ability to assist each other and help each other when
5 either system is under strain. That, obviously, is
6 impacted now. And one solution I keep hearing is Castaic
7 as a solution. So, I would like to ask Ken to clarify the
8 flexibility or ability of Castaic to help solve some of
9 these challenges we're encountering.

10 MR. SILVER: So, the operation at Castaic is,
11 while the plant has a large capacity, over 1200 megawatts,
12 it's an energy-limited resource, as all hydros are. And
13 the ability to operate it at high loads for multiple days
14 is limited.

15 One of the things is as the water passes through
16 the west branch of the California aqueduct and we generate
17 it with it, the initial energy actually belongs to the
18 California Department of Water Resources, so we don't even
19 benefit by it.

20 The benefit we receive is only in our ability to
21 optimize when we generate it and the ability to pump back.
22 But the ability to pump back is constrained by -- you have
23 to have the energy available to pump. And it's about a
24 1.5 megawatt of pump for every megawatt it generates, so
25 it's not a very efficient process.

1 So, the reservoir, Pyramid Reservoir, we have
2 elevation constraints and daily and weekly limits on how
3 much we can vary that. So, we don't have an unlimited
4 capability. And, so while it looks like a huge resource,
5 it really isn't, particularly for multiple days. You can
6 lean on it pretty hard the first day, but the second day,
7 it's not -- you're not nearly going to have the available
8 energy. So, it's -- so I wouldn't call it a one-and-done,
9 but it's not an unlimited resource and certainly not for
10 multiple day usages.

11 COMMISSIONER RANDOLPH: Thank you.

12 CHAIR WEISENMILLER: Just to give people a sense
13 of scale, one of Ed's slides, I think, there's been about
14 100 megawatts of new storage added to the grid because of
15 Aliso. How much is the capacity at Castaic?

16 MR. SILVER: The usage -- the realistic useable
17 storage is about 10,000 megawatt hours. So -- which is
18 looks like a lot. But if you run several hundred megawatts
19 for several hours and you can't pump it back up that night
20 or you can't pump -- you can only pump a portion of it back
21 out, up that night, then it's one-for-one less the next
22 day. So, it is much bigger -- it is much bigger than a
23 battery, but may not have the overall flexibility.

24 CHAIR WEISENMILLER: Yes. I guess I either need
25 Ed to convert the 100 megawatts into megawatt hours or I

1 need you to convert the 10,000 megawatt hours into
2 megawatts.

3 MR. SILVER: The plant's about 1200 megawatts.
4 You can run it full load for eight hours. It's
5 eight hours, essentially. You know, a battery, when you
6 talk about -- when people talk about batteries, you got to
7 talk about megawatts and megawatt hours, and people keep
8 forgetting the second part of it.

9 CHAIR WEISENMILLER: Yeah. You know, just trying
10 to give people a sense of scale of Castaic.

11 So, obviously, one of my focuses is risk
12 mitigation, which gets to mitigation measures. I think
13 you've done some analysis. I think, as Tom said, we're
14 sort of operating in an unprecedented fashion now in terms
15 of, do we have coordination between the Cal ISO, LADWP, and
16 the gas company. Again, who would have thought, you know,
17 five years ago that any -- the three of you would even
18 speak to each other, much less operate daily together.

19 COMMISSIONER TISOPULOS: Yeah. I have a
20 question.

21 So, when we calculate peak demand, are those
22 one-day scenarios or multi-day scenarios?

23 MR. ROTHLEDER: The way we did the analysis was
24 just take a one-day scenario.

25 COMMISSIONER TISOPULOS: One-day scenario.

1 MR. ROTHLEDER: You bring up a good point, and
2 that is, if you have multiple days where you're drawing on
3 storage of gas or you're drawing on the gas capability of
4 the pipeline, you could get into multiple-day situations
5 that could be exacerbated over multiple days. But we
6 looked at one-day events.

7 COMMISSIONER TISOPULOS: Uh-huh. Uh-huh. Thank
8 you.

9 And all scenarios, if I understood them
10 correctly, assume that the pipeline capacity is there too
11 100 percent of the time, right, at least from
12 (unintelligible)?

13 Is there a situation where we may be competing,
14 this region may be competing with other parts of the
15 country? I know it's a very realistic scenario during
16 winter at times when there is a cold spell experienced by
17 say Midwest. You know, they can pull the gas to meet their
18 needs. Are we having similar scenarios or are they likely
19 scenarios during summertime that may impact our region?

20 MR. ROTHLEDER: From a historical experience,
21 you're correct that those -- the competition for gas across
22 the nation is more of a winter phenomenon. That said,
23 what's more of a summer phenomenon is that you could have
24 equipment issues, whether it be on the Southern Cal Gas
25 system or on the pipeline system out of state, that can

1 affect the pipeline capability. And that is, in part, why
2 we -- that is a risk in terms of unplanned outages. That
3 needs to also be considered.

4 In the study, we studied both 100 percent gas
5 pipeline utilization, as well as a 90 percent gas pipeline
6 utilization.

7 The 90 percent gas pipeline utilization was based
8 on recognition that there could still be errors in the
9 amount of gas coming in, and also recognition that even on
10 high takeout days, rarely, do you get up to 100 percent
11 utilization of the pipeline. So, we took that into
12 consideration. But whether it fully takes into
13 consideration unplanned events and outages on other parts
14 of the gas system, I think the independent review has some
15 opinion about that and some suggestions.

16 CHAIR WEISENMILLER: Thank you. Okay.

17 Just following up, so what's been the historic
18 level of flowing gas in terms of "C" points? Is it close
19 to 90 or 100 percent?

20 MS. ELDER: It's hard to answer that in a
21 comparative way that makes sense; it's a real
22 apples-to-apples comparison because the historical rates
23 that we'd observed were when Aliso was available.

24 And, so, if you just looked at flowing supply
25 into the SoCalGas system versus its available pipeline

1 capacity, you're probably going to see a number that is
2 somewhere between 70 and 85 percent, depending on exactly
3 when you look.

4 But, this past winter, with the mitigation
5 measures in place, we were able to get that much higher.

6 MR. RANDOLPH: It's worth noting that you're
7 trying to look at it from a historical basis on just the
8 flows. We know from history that no system operates at
9 100 percent capacity day after day after day all summer
10 long or all winter long.

11 And the 100 percent lines on Mark's graph assumed
12 both the electric system and the gas system are working at
13 100 percent capacity. That means no fires taking out
14 transmission lines. That means no technical issues on the
15 gas system. For example, last summer, there was a one-day
16 event where some compressors on the gas system went out due
17 to an electrical system, you know, failure there. Those
18 things happen. I think it's unrealistic for us to assume
19 that the system works 100 percent to capacity every day.

20 CHAIR WEISENMILLER: Yeah. So, basically, it's
21 the best-case bookend.

22 And what's your sense of how much gas is in the
23 other fields today? I mean, obviously, we recently found
24 the issue of the --

25 UNIDENTIFIED SPEAKER: I'm going to pass that to

1 Katy just simply because this morning as I was preparing
2 for this, I asked her, What's our sense of how much gas is
3 in storage?

4 MS. ELDER: And I pulled up the magic Envoy web
5 page and it says 44.3 Bcf. And that includes the 14.8 at
6 Aliso. So, roughly -- do the math, roughly 26 Bcf.

7 CHAIR WEISENMILLER: Relative to?

8 MS. ELDER: I think where we'd like to see those
9 fields going into winter on November 1st would be more like
10 60 Bcf.

11 CHAIR WEISENMILLER: And where we would like to
12 see them going into summer? June 1, what do we
13 want -- where do we need to be June 1?

14 MR. RANDOLPH: I, unfortunately, don't know the
15 number off the top of our head. We have given them a
16 number I think on where we would like them to be July 1.

17 CHAIR WEISENMILLER: Okay.

18 MR. RANDOLPH: And I can get back to you on that,
19 but I just don't remember it off the top of my head.

20 CHAIR WEISENMILLER: Okay. That's fine.

21 MR. RANDOLPH: I'm sure Rodger will know when he
22 comes up.

23 CHAIR WEISENMILLER: Okay.

24 So, anyway, trying to let the framework -- we've
25 got sort of the best case. You know, one of the things we

1 have to focus on is getting the other storage up, so, you
2 know, we're at least in better shape.

3 But, again, on the mitigation measures, I think
4 the metric Picker kept using last year was about 60 percent
5 of gas loads in the summer is electric generation and about
6 60 percent in the winter is core loads.

7 So, at this point, we need to be focusing on how
8 do we do electric generation in the summer. And we -- and
9 I don't think today was spent much time on the winter
10 question.

11 So, you know, again, looking at the programs, and
12 this is probably a good question for Ed, what more can we
13 do in terms to up the storage energy efficiency? Demand
14 response? Solar take? You know, what can we do to get
15 closer? It looks like we got about half of the target
16 there. How do we get better there?

17 MR. RANDOLPH: That's a good question. And it
18 gets increasingly challenging to do incremental. Part of
19 the challenge, in a lot of these areas -- it's both a
20 challenge and a blessing that we already had the gas pedal
21 the way to the floor. We are ready, as a state, doing all
22 cost-effective energy efficiency we can and have statutory
23 mandates to double that, those efforts.

24 We are ready. We're aggressively developing
25 demand response programs.

1 What we did last summer, which got us to where we
2 were, was to take a lot of those programs and accelerate
3 them. So, that acceleration would be a one-time
4 acceleration. It was beneficial. It's good that it's
5 there. You can't keep accelerating it year after year
6 after year, but we can keep the programs going, so you'll
7 continue to see that incremental reduction in electric
8 demands and gas demands down.

9 There are other places, such as storage, the
10 electric storage, we could put more storage online. The
11 challenge there then does become cost, which you were
12 asking earlier. If you look at longer term cost of battery
13 storage, you see a cost curve that's going down. But
14 they're still a relatively expensive resource compared to
15 other ways to provide reliability right now.

16 And the more we accelerate battery storage now,
17 the more ratepayers are paying for a more expensive
18 resource; where, if we waited until 2019, 2020, 2021, those
19 resources would be far less expensive.

20 I think the biggest place where there is room for
21 continued improvement is what I talked about in terms of
22 the core balancing rules. The non-core, if we look at the
23 numbers and the analysis both in the CPUC's kind of more
24 in-depth analysis of the impact of the mitigation measures,
25 and in some of the report, you'll see that the non-core,

1 with the balancing rules that went into place, very
2 effectively balanced their demand -- their supply and
3 demand, where the core procurement was not nearly as
4 effective.

5 So, I think we really need to focus on the rules
6 that apply to how SoCalGas is procuring for their core
7 customers, and making sure that what they're procuring on
8 that day actually meets demand on that day.

9 CHAIR WEISENMILLER: And you said there's going
10 to be a filing -- I'm trying to remember. How long do you
11 think it's going to take to get an answer in that
12 proceeding?

13 MR. RANDOLPH: The settlement agreement from last
14 year required SoCalGas to file proposals by September of
15 this year. We know standard CPUC proceedings can go
16 anywhere from nine months if it's not controversial to
17 18 months if it's fairly controversial. I think on this
18 one, along with the priorities were put into other areas,
19 the Commission needs to put some priority on this, since
20 this is the low-hanging fruit. And it's my intention to
21 put some pressure on SoCalGas throughout the summer to make
22 sure that they come forward with a fully fleshed out
23 proposal in September so we can move quickly.

24 CHAIR WEISENMILLER: Yeah. Although, obviously,
25 it's not going to help us this summer, and it's going to

1 take a miracle to get it in place for next winter.

2 MR. RANDOLPH: Yeah. For the summer, it wouldn't
3 help much. But, in the summertime, I -- since the core
4 procurement is such a small percentage overall, I don't
5 think it makes a difference. And next winter there may be
6 some interim things we can do while you're looking at
7 longer term solutions.

8 CHAIR WEISENMILLER: Okay.

9 LADWP, what more could you do? Yeah, again,
10 assuming you could do more in terms of trying to do energy
11 efficiency. You listed additional things you're doing,
12 which is good. I'm just asking, you know, if could you
13 press the pedal more for storage or other areas?

14 MR. SILVER: I'd almost like to defer to my boss
15 on this one. But, yeah, you know, we're looking really
16 across the board at -- there was mention that we've got a
17 study going to, basically, alternatives to repowering with
18 gas, what other things we might be able to do.

19 And, certainly, demand response, energy
20 efficiency, storage, increased renewables are all part of
21 that puzzle, and we're actively working on all of those
22 areas.

23 COMMISSIONER RANDOLPH: One more thing I would
24 like to add. In a discussion earlier this week with the
25 mayor's staff, we talked about doing the same similar

1 program we did last year with the municipal buildings,
2 where it was a call to action and a competition amongst the
3 city-owned buildings to reduce consumption. And the admin
4 building reduced by five percent. But we talked about
5 expanding that as a call to action to all commercial
6 facilities. So, it is something that we're looking at
7 implementing.

8 CHAIR WEISENMILLER: No, that would be good.

9 Edison, do you have any -- or San Diego,
10 obviously, if you have anything else to chime in that we
11 could do?

12 COMMISSIONER DOUGLAS: Could I ask a question?

13 CHAIR WEISENMILLER: Sure. Go ahead.

14 COMMISSIONER DOUGLAS: So, just as a quick follow
15 up on all of this. You know, as Ed said, we already had
16 the pedal to the metal and then we had this additional
17 Aliso Canyon issue that really highlighted the importance
18 of moving forward with these kinds of programs.

19 You know, as we've now been implementing these
20 mitigation measures over time, has the Aliso Canyon issue
21 caused any of you to either, you know, focus on some
22 measures more than others, for example, move more heavily
23 into storage or more heavily into some mitigation measures
24 that are -- are particularly well-suited to help address
25 this issue or shift resources geographically or anything

1 like that?

2 MR. SILVER: For L.A., I think what we've really
3 done is we've looked at what we were planning to do and
4 see, can we do it sooner, and try to look for the so-called
5 shovel-ready projects that we can bring online more
6 quickly.

7 But many of these things were initiatives that
8 were already in the works and now they've just taken on
9 more urgency.

10 MR. RANDOLPH: I think similar on the -- the
11 entities that we regulate. The electric storage was an
12 obvious last summer low-hanging fruit that proved to be,
13 you know, both something that could happen fast and was
14 very particularly well-suited to meet this. In the future,
15 that may again be a great benefit.

16 There are other areas and programs we
17 experimented with last year. We accelerated rooftop solar
18 thermal programs, and gave a greatly heightened rebate to
19 people who could put solar thermal on their roofs before
20 the end of last year. That met with some success. We did
21 get some more solar thermal out there.

22 But there's a program that's designed at market
23 transformation. And by accelerating that high of rebates,
24 most of the proponents of those programs were afraid that
25 you were using money that, you know, for a one-time thing

1 that wasn't going to help for market transformation. So,
2 they actually asked that we not continue to accelerate it
3 and let it play out in its normal course of business.

4 Last summer, we did look at another issue such as
5 that that I think are worth looking at in the long term
6 that aren't in the short term. I mean, things that -- a
7 lot of the fuel switching requires plumbing and changes,
8 other changes to households you can't do and get them in
9 place in six months. But if you develop a program that's
10 got a six-year or eight-year horizon, you can start doing
11 that very effectively.

12 COMMISSIONER DOUGLAS: Thank you. That's really
13 helpful. Those are both helpful answers and just --

14 MR. ROTHLEDER: I've got one additional --

15 COMMISSIONER DOUGLAS: Oh, I'm sorry. Go ahead.

16 MR. ROTHLEDER: So, not specifically called a
17 mitigation measure, but I would like to highlight that this
18 summer versus last summer, the Western Energy Imbalance
19 Market, which allows us to dispatch other resources outside
20 of the California, Southern California area in real time,
21 we've got additional participation in that energy imbalance
22 market from Arizona Public Service that we didn't have for
23 last summer.

24 And, so, that's an additional measure. But, at
25 the end of the day, you're still limited by the overall

1 transmission capacity. And what we've learned is that they
2 could also be experiencing gas limitations or gas
3 constraints even into the Arizona area that could impede
4 our ability even to get that re-dispatch available even in
5 real time. But, nonetheless, it is an additional tool that
6 is available this year.

7 COMMISSIONER DOUGLAS: Thank you.

8 Just real related quick follow up, can you point
9 to any sort of unexpected successes or just lessons learned
10 out of this that might help -- that you might want to build
11 on in the next years?

12 MR. RANDOLPH: I think the biggest unexpected
13 success is how effective the balancing rules were. And it
14 may be the least exciting of them to say, Oh, my God,
15 managing the gas system better really went a long ways to
16 solve the problem.

17 (Laughter.)

18 COMMISSIONER DOUGLAS: It was pretty interesting
19 from the chart. Actually, that was by far -- it dwarfed
20 the other measures.

21 And is there a lot more we can do there, or is
22 that a, you know, done and now we're managing it better and
23 move on to other measures, or is there more we can do
24 there?

25 MS. ELDER: I would say that the number that you

1 saw in the chart reflects, not only the success of the gas
2 balancing measure, but it's also a little bit higher
3 because people knew that they could -- that Aliso wasn't
4 there to fix their problems, if you will. You know, we
5 lost that degree of freedom, and so they behaved better.

6 COMMISSIONER SCOTT: I had one.

7 MR. RANDOLPH: Well, I had --

8 COMMISSIONER SCOTT: Sorry. Go ahead.

9 MR. RANDOLPH: Just to build on that a little
10 bit. You know, going forward, I mean, I've said working
11 with the core to balance that better will probably help
12 move it more. But I also think it's something we need to
13 continue to monitor and tweak over the next couple of
14 years. I mean, there's already some examples of some folks
15 who, now that they understand the rules better, are
16 starting to dispatch gas in a way that is not affective.
17 So, as they do that -- you know, as they go this way, we're
18 going to have to move the rules that way.

19 And it's not showing up in this PowerPoint
20 presentation because we thought it would be a little
21 confusing, but it is spelled out in our mitigation
22 documents, that in the wintertime, we actually saw, we
23 think because of the operational flow orders (OFOs), in
24 some cases gas usage go up. And, so, we got to better
25 understand what's going on there and maybe tweak some of

1 that. And that has to do with days when there's a
2 high -- or a low reduced flow order (RFO), where people, to
3 protect themselves, are now bringing in more gas. And we
4 aren't quite sure where that's going at the moment, so we
5 need to better understand those and continue to tweak with
6 the rules.

7 COMMISSIONER SCOTT: I was going to ask about one
8 of you mentioned during the presentation that in some
9 instances it was necessary to call on the public to help
10 out. And my understanding is that actually went fairly
11 well last year.

12 I'm wondering if that is still something we would
13 like to continue into this year and how we'll carry that
14 message forward.

15 MR. RANDOLPH: Absolutely. And I may turn to
16 Mr. Doughty a little bit to prompt that since it's one
17 of -- the ISO actually controls flex alerts at this point
18 in time. But we have seen year after year in Southern
19 California when flex alerts are called that they
20 result -- it's a little hard to measure because there's
21 other things going on the same days, but between 400 and
22 600 megawatts of load savings on those days.

23 So, it can be a very substantially successful
24 program. And, as I brought up before, and I think it is
25 incumbent on all of you when speaking in public in Southern

1 California, it works because people voluntarily respond to
2 it. And people need to understand that when it's called
3 there are real risks of curtailment. And, so, they need to
4 participate in that.

5 The one downside to that is, and we haven't seen
6 it in a long time, if it's called day after day after day,
7 the effectiveness is going to go down every single day as
8 people get a little tired of hearing that day after day
9 after day.

10 COMMISSIONER DOUGHTY: Commissioner, if I could
11 add, flex alerts have been incredible program for us. I
12 think maybe 17 years of flex alerts have been operated by
13 the Cal ISO and the utilities.

14 Ed's right, if we call it too frequently, we have
15 consumer fatigue. And it's not a linear drop; it drops
16 very quickly. So, we try to reserve flex alerts for the
17 times when they're really needed. But it's an opportunity
18 here in this room to acknowledge millions of Southern
19 Californians who have become acclimated, even conditioned
20 to this concept of flex alerts. And a hearty thanks go out
21 to those who have responded, and a hearty request goes out
22 to those as we look ahead because there's a likelihood
23 we'll be calling them this year for any number of reasons,
24 including gas shortages.

25 COMMISSIONER KERR: I have a question.

1 So, some of the kind of last-ditch efforts
2 include doing withdrawals from Aliso Canyon, also include,
3 you know, purchasing for imports. And, as I mentioned in
4 my earlier comments, on May 3rd, we saw some of those
5 imports not materialize.

6 And, so, I want to know, first, do we have any
7 visibility into why that was, and, Number 2, any thoughts
8 about how to deal with that so that if we need to, to
9 access those resources in the summer, that we're able to?

10 MR. ROTHLEDER: So thanks for mentioning May 3rd,
11 and yeah, it was a Stage 1 event.

12 In part, some of the imports that were expected
13 to come in didn't come in. We're still looking in to
14 answer why that is, whether the conditions outside the area
15 caused them to not be delivered. There were some internal
16 resources that were also tripped or were unavailable that
17 we expected to be available. And, then, lastly, overlaying
18 with that is we are seeing in the evening condition, we're
19 seeing as the solar production goes down, we're seeing a
20 large ramp in of needing that other supply. And, so, it's
21 those three combinations that played a role on May 3rd.

22 I will say from a gas system, it's my
23 understanding that the gas system, even though we had to
24 lean on it a little bit more, my understanding, and maybe
25 Rodger can confirm this, is that there wasn't a gas

1 shortage situation at the same time. So, it was more of
2 electrical in nature. Maybe we end up burdening on the gas
3 system, but the gas system was sufficient, available on
4 that particular day. But I think --

5 CHAIR WEISENMILLER: Well, it might help if you
6 just walk through what happened --

7 MR. ROTHLEDER: Sure.

8 CHAIR WEISENMILLER: -- for people.

9 MR. ROTHLEDER: So, on May 3rd, which, basically,
10 was a hot day, it was probably the hottest day of the
11 spring going into the summer so far, we were forecasting
12 loads a day ahead. We were forecasting about
13 2,000 megawatts of lower load than what actually
14 materialized.

15 What cleared the market was actually closer to
16 what actually materialized, so we thought we had sufficient
17 resources at least a day ahead.

18 When we got into the peak hours, roughly around,
19 I think around 17 or hour ending 18, what we started to see
20 was some of the supply that was committed or expected to be
21 delivered start to not be delivered, whether it be some
22 imports or some internal generation. And then overlaying
23 with that, again, we were just beyond actually the peak,
24 but we had the evening pull still because the solar
25 production was going down after the system peak.

1 And it was those three combinations put together,
2 loss of supply and then the high-ramping needs that
3 basically created a condition where we had to draw upon our
4 operating reserves.

5 And, once you draw upon your operating reserves,
6 your reserves run short. And that is, by definition, a
7 Stage 1 event. We're not able to maintain your required
8 operating reserves. And, so, we declared that event.

9 And then once we declared that event, we then
10 subsequently went into calling some demand response. And,
11 so, we had about 800 megawatts of demand response kick in.
12 This is a demand-response program, so they've signed up for
13 this. But, in this particular case, they had to act very
14 quickly on very short notice, and we got about
15 800 megawatts of relief.

16 And then as the load continued to go down, we
17 were recovered in about an hour or two-hour period and was
18 able to then stop the Stage 1 event.

19 But that's an example of unexpected conditions
20 changing from what was the expected plan and then suddenly
21 you're in a condition where you're short from what you
22 expected and you're drawing upon those reserves.

23 COMMISSIONER DOUGHTY: Chair Weisenmiller, this
24 was a unique circumstance in a number of ways. It's the
25 first Stage 1 alert we've called in over a decade.

1 And we learned that as we were coordinating with
2 other entities, many of the parties who we were
3 coordinating with had never experienced a Stage 1 before.
4 So, it leaves the opportunity now for us, as part of our
5 lessons-learned exercise, to reach back to parties with
6 whom we collaborate during alerts and warnings and make
7 sure they understand what the stage alerts are about and
8 what's likely to happen.

9 There were some parties who thought the grid was
10 at risk of imminent collapse. And, of course, Stage 1 is
11 our lowest level alert. So, we'll be reaching back around
12 and making sure that we set much more clear expectations
13 with individuals and organizations that we coordinate with
14 during those circumstances.

15 COMMISSIONER TISOPULOS: Ask one more question,
16 and I don't know how fair this question is, but I'm going
17 to go ahead and ask it anyway.

18 You guys are the best in estimating risk for a
19 given set of assumptions, weather assumptions and what have
20 you. So, as you look back to 2016, going 12 months back,
21 and trying to forecast risk for a curtailment for the
22 summer of 2016 versus sitting here today trying to forecast
23 for the summer of 2017, is the risk today lower compared to
24 what it was last year, or is it higher? And I realize
25 facts on the ground are changing in terms of capabilities.

1 MR. SILVER: This is Ken silver.

2 We're a little more -- we've had a year to
3 practice, so, on that basis, we're probably in a better
4 shape. But we need to recognize that last summer was not
5 much of a summer, other than June 20th. I know for L.A. we
6 had -- even June 20th was 400 megawatts, which is well over
7 five percent off of our peak, and that was the highest for
8 the whole year.

9 But, you know, we are more practiced. But the
10 overall risk is still there. We also didn't have any
11 significant events on the interconnection during high-load
12 periods. We didn't have any major fires taking out
13 transmission -- well, we did have, but it wasn't on a
14 high-load day where we lost transmission. And we didn't
15 have any regional heat waves. So, there are times when the
16 whole Western United States is under a heat wave and the
17 northwest doesn't have anything to send, Arizona doesn't
18 have anything to send. So, even if we have transmission,
19 we're not going to get to 100 percent transmission
20 utilization because there's nothing to put on it.

21 You know, this summer is projected to be a hotter
22 than normal summer. Of course, we know weather forecasts
23 are not that good, particularly, beyond an hour from now.
24 So, it's hard to really predict what's going to be. But,
25 yes, last summer was ideal. And, so, while I don't think

1 we have the same opportunities for problems this year and
2 this year they may materialize.

3 MR. ROTHLEDER: I guess I would -- in the
4 positive category, I agree with Ken. We've learned a lot
5 from last year. And I think we can put that learning to
6 experience going forward this year.

7 I mentioned earlier, we've got some transmission
8 upgrades, which gives us a little bit more maneuverability
9 room on having the minimum amount of generation in the
10 area.

11 What concerns me the most is the balance of the
12 non-Aliso storage facilities and the fact that we are going
13 into this summer with much less inventory, much less
14 withdrawal capability than what we had going into last
15 summer.

16 And I think that is probably the pivotal risk in
17 terms of this summer versus last summer. It doesn't mean
18 that we can't still resolve it, and we added a mitigation
19 measure to try to address it. But, to me, that's the big
20 difference between this year and last year.

21 MR. RANDOLPH: It shows up in the press and some
22 of the consultant reports that look at the joint agencies'
23 technical analysis that state that, you know, first we had
24 SONGS and there was going down and the agencies were
25 talking about risk of blackouts and there were none. And

1 then we had this and the agencies were talking about
2 blackouts and there were none. So, therefore, the agencies
3 are overly concerned about blackouts and the risk isn't
4 really there.

5 You know, I started out in my current job right
6 as SONGS went out unexpectedly. And what I will remember
7 most over these last six years is we have not had an
8 extended heat wave in Southern California. You know, so if
9 you look at we plan for a one-in-ten summer, we have not
10 had a one-in-ten summer in eight years. Does that mean
11 we're due for one? That's not the way statistics work.
12 But we also haven't had a summer that completely tests the
13 system in a way for some time.

14 Now, that said, with the mitigation measures that
15 have been put in place, with what we've learned about
16 operating the system, with the transmission upgrades, with
17 all those combination of things, the system this summer is
18 far less dependent on Aliso Canyon than it was last summer.

19 CHAIRMAN WEISENMILLER: Katy, what's your
20 assessment?

21 MS. ELDER: I would say the balancing rule change
22 that we made helped enormously, and that a year ago I was
23 worried that it wouldn't work, that non-core customers were
24 so used to the enormous flexibility that they had here in
25 Southern California with the balancing rule, that it would

1 be very hard for them to adjust to being in balance
2 whenever SoCalGas called the low OFO.

3 So, what we saw is that customers did respond
4 appropriately to try to get into balance quickly when we
5 needed them to. So, to me, it's that. You know, I'm not
6 as nervous about that as I was a year ago.

7 But, on the other side, we have roughly 19 or 20
8 Bcf less in storage than we had a year ago at those other
9 three fields.

10 So, it's those two things that I think are the
11 biggies.

12 COMMISSIONER DOUGLAS: So just as a quick follow
13 up, one thing that is obviously better this year than last
14 year is the states hydro situation. Can you just briefly
15 talk about how that might help or what impact that could
16 have?

17 MR. ROTHLEDER: Well, I think Ken discussed that
18 it from a Castaic pumped storage perspective. Let me
19 discuss it from another hydro perspective.

20 So, yeah, we're in a much better hydro condition.
21 Our studies accounted for the fact that we're in a better
22 hydro condition. But you also have to remember that where
23 the hydro is produced and injected into the network is not
24 necessarily in the localized areas that cause you to have
25 some minimum amount of generation on for managing

1 contingencies and flows in the system.

2 Even in a dry hydro year, you can usually get the
3 maximum amount of hydro out of it for short periods of
4 time.

5 So, in the end, the hydro condition I don't think
6 is that significant of a difference, but at least you got
7 more megawatt hours over a longer period that you can
8 utilize and rely upon. And, obviously, that displaces some
9 of the gas burn in the system.

10 CHAIR WEISENMILLER: Okay. Let me follow-up.

11 We talked a lot about flex alerts. We've talked
12 a lot about what we've done on the power system -- demand
13 response. Last year, and this is a little bit ahead of
14 time, but we talked about trying to put in place a gas
15 alert system, some sort of gas demand response. Obviously,
16 that's more of a winter, but I thought it would be good to
17 get Ed's perspective on how that worked or didn't work.

18 MR. RANDOLPH: That's more of a winter issue.

19 We did have something that resembled a gas flex
20 alert last winter. It was triggered two days last winter,
21 two particularly cold days last winter. You know, we
22 honestly haven't done a deep dive into it, so some of this
23 is a little bit more anecdotal observations.

24 It did seem to help reduce gas demand in the
25 evenings on those cold days. Something, a lesson learned,

1 why you got to continue to look at this stuff is, it may
2 not have had any effect on gas demand in the early morning
3 hours. And this is anecdotal on my part, but a lot of
4 other people kind of agree with this analysis, is, people
5 responded to the flex alerts they heard on the radio and
6 did what they were told to do, which is to turn down their
7 thermostat a couple of degrees, from 68 to 65.

8 But, now, so many people have electronic
9 thermostats that if you override the programming it stays
10 overridden for two hours, then it goes back to the
11 programming.

12 So, people got home that night, said, I'm going
13 to turn my thermostat down to 65 degrees like I was told
14 to; they went to bed; that morning at 6:00 a.m. when the
15 thermostat turned on for the morning, it went back to 68 or
16 70. So none of that savings showed up in the early morning
17 hours because everybody defaulted back to where their
18 thermostats were.

19 So that likely impacted some demand there.
20 That's something I think we need to continue to work on and
21 think through.

22 We also did what we believe is the first ever gas
23 demand response program in the country this summer -- or
24 this last winter, where the utility did two different
25 pilots out there. You know, one was, had customers sign

1 up, and then on the day they needed a demand response, send
2 them an e-mail, send them a message. Those folks, if they
3 saved gas as measured by their smart meters, would then get
4 payment at the end of the month. And then others, you
5 could take advantage of the Nest-type smart thermostats
6 that have remote access to them to just automatically turn
7 down the numbers.

8 Right now, I'm personally a little disappointed
9 in the results of that, but that has more to do with the
10 number of customers that signed up, not over the
11 effectiveness of those customers. So, I think that's
12 something we need to continue to work on with the utilities
13 to more aggressively get customer enrollment in those
14 programs.

15 CHAIR WEISENMILLER: So we're going to switch
16 gears.

17 Mark, would you explain exactly what the Cal ISO
18 will do during the total eclipse?

19 MR. ROTHLEDER: Watch it. No, I'm just kidding.

20 (Laughter.)

21 CHAIR WEISENMILLER: Special glasses, please.

22 MR. ROTHLEDER: No. We're preparing for the
23 solar eclipse. We've already put together a report mainly
24 forecasting what the event will do over the time period,
25 both in terms of grid side solar production, also

1 behind-the meter solar production, rooftop solar
2 production, as well as our solar production in our energy
3 imbalance -- Western Energy Imbalance partners that are now
4 participating in the Western Energy Imbalance Market.

5 We will take several measures, some of which will
6 be informational, getting information about what's
7 happening, the expectation around it. We may call a flex
8 alert. If, in combination, that's a high load day, we may
9 need to call a flex alert. We may end up pre-dispatching
10 solar down to avoid having larger ramps coming in and going
11 out during the solar eclipse.

12 We will probably carry more reserve. So, we'll
13 start more resources on that particular day with the
14 anticipation that we're going to have to use those
15 resources for that solar eclipse period, and those maybe
16 gas resources on those particular days.

17 We will, obviously, set up or day-ahead market in
18 anticipation of it. We will forecast accordingly. And we
19 will pick up additional resources in import capability as
20 necessary to mitigate that.

21 It's an event that will affect California by
22 roughly around 60 to 70 percent, so we lose about 60 to
23 70 percent of the production as a result of the solar
24 eclipse. It's 100 percent and a little bit north of us
25 between Oregon and Washington.

1 CHAIR WEISENMILLER: You know, this happened in
2 Europe a couple of years ago. The Italians just
3 disconnected all the solar from the grid, and the Germans
4 rode it through, but it was a cloudy day in Germany so it
5 was not as much of a stress.

6 What is LADWP going to do on the eclipse?

7 MR. SILVER: We're looking at -- you know, we're
8 still studying. I think we're a little bit behind on our
9 study.

10 But we've looked at what we expect. And with the
11 amount of solar we have, we've actually seen some swings of
12 that magnitude just from the clouds. You know, so this
13 will just be probably a longer duration, but we'll know
14 it's coming. So, we should easily be able to mitigate that
15 with the resources we have.

16 But, at this point, I don't believe we'll do any
17 pre-curtailling, but we'll just have resources positioned to
18 come in behind it when the drop off starts.

19 CHAIR WEISENMILLER: I was going to ask either
20 you or Mark to describe, obviously, Western Electricity
21 Coordinating Council (WECC) and Peak Reliability (Peak)
22 have tried to be helpful, too, and sort of what they're
23 doing and if there's any more they can do to help. But not
24 just in the solar eclipse, but, generally, as we're going
25 to the Aliso situation.

1 MR. ROTHLEDER: Yeah. I know WECC is actually
2 conducting -- they've been following the results of what
3 we've been doing in this analysis, but they're also
4 undertaking a kind of a west-wide gas electric coordination
5 risk analysis. And they're just getting that kicked off.
6 I don't have the exact date when that will be complete.

7 Separate from that, on the solar eclipse,
8 actually North American Electric Reliability Corporation
9 (NERC) has just put out a report around the solar eclipse
10 as well, finding similar things that we identified as well.
11 But we're going to review that report, see if there is
12 anything else we can learn from their analysis.

13 MR. SILVER: The Peak reliability coordinator
14 last week had a meeting of a number of utilities, and
15 they -- that was one of their topics. Several of the
16 utilities made presentations on what they're expecting.

17 So, they're looking at putting all of that
18 information together to look at it from the entire West
19 Coast. And, since their overview goes all the way up into
20 the Northwest where they're going to see 100 percent, the
21 total eclipse, although they probably don't have as much
22 solar up there as we do down here, but they're looking at
23 it from what will be the impact on the regional
24 interconnection, not only in supply, but what that does to
25 the transmission system as lines suddenly become loaded or

1 unloaded in a non-typical fashion.

2 COMMISSIONER TISOPULOS: Just to switch topics a
3 little bit.

4 One of you had referenced liquefied natural gas
5 (LNG) in one of the slides. Is LNG being looked upon as a
6 potential short-term solution, or is this more of a longer-
7 term tool in the toolbox?

8 MR. OGLESBY: The Energy Commission just looked
9 at LNG as one option to bring gas into the state. And
10 just, basically, did the study to prepare to see what would
11 be required in order to do that.

12 COMMISSIONER TISOPULOS: Does it look realistic,
13 a realistic tool, or -- and we can speak offline.
14 That's --

15 MR. OGLESBY: I won't go into detail. I mean,
16 it's going to be. It's not an overnight fix and wouldn't
17 be particularly helpful for this summer.

18 CHAIR WEISENMILLER: Okay. I mean, part of it,
19 as I understand it, and, again, just to dig in a little bit
20 further, Sempra has an LNG facility down in Baja
21 that -- you know. And one of the questions on using it,
22 you know, bringing in gas from there and up here, is the
23 Commission has in place a number of affiliate rules that
24 SoCalGas, negotiating with whatever the appropriate Sempra
25 affiliate that has the LNG part, there is a number of

1 different conditions.

2 So that is at least one of the barriers we're
3 poking around to try to understand. I think, actually,
4 FERC [phonetic] was looking at that issue some, too: You
5 know, were there any conditions where the CPUC would feel
6 comfortable dealing with affiliate transition.

7 I think actually physically moving gas -- well,
8 the LNG terminal has not been used particularly much, you
9 know, it's like maybe once a year someone does something
10 there. But, at least in theory, you could use it. And,
11 so, I think physically, again -- I think the physics are
12 probably pretty straightforward with engineering. I think
13 the affiliate rules are there. And God knows what the
14 price of LNG is today, you know.

15 COMMISSIONER TISOPULOS: Got it.

16 So, it's the Baja plant that is being looked upon
17 as, you know, a potential solution. I mean, in theory, you
18 can ship it, right? I mean, there are ships. They can
19 deliver LNG. Or you can build an LNG facility
20 somewhere -- you know, in the near -- in the region. But
21 it's more of a longer-term solution. You know, you cannot
22 build it at the snap of a finger.

23 CHAIR WEISENMILLER: Or, again, you might bring
24 in some LNG, have it there as sort of quasi storage, I
25 think. You know, assuming that's what we are looking at.

1 I'm looking at Katy to see if I'm
2 adequately -- accurately characterizing the situation and
3 the issues.

4 MS. ELDER: You are.

5 So, to put a little more color on it,
6 Chair Weisenmiller mentioned the facility that sits in
7 Baja, California. And, of course, with natural gas prices
8 in the U.S. versus world, there's no reason for somebody to
9 bring a cargo in.

10 Could you use it as a backstop on a bad day if
11 you were willing to go out and pay the higher price for the
12 gas and bring a cargo in, could you sit it there and use it
13 to serve at least a little bit of demand on a cross-border
14 basis. It appears from the research that Energy Commission
15 staff did, CPUC staff did, we also had a conversation with
16 FERC staff, we could not identify any real affiliate
17 barriers to doing that. It's more of a matter of people
18 deciding they're willing to pay the price and getting it
19 done. At least, that was our assessment.

20 MR. OGLESBY: And having enough foresight to have
21 the -- because it takes a long time to move gas.

22 CHAIR WEISENMILLER: Well, I hate to ask, so how
23 long would it take us to get a tanker of LNG from somewhere
24 to there?

25 MS. ELDER: I haven't called a broker to ask that

1 question.

2 You know, it might take a couple -- a few weeks
3 would be my guess, but, you know, that's without calling up
4 British Petroleum (BP) and asking them how long to get a
5 spot cargo. And I just choose BP off the top of my head.

6 CHAIR WEISENMILLER: Any other questions from
7 anyone on the panel on what we've covered so far?

8 Well, I would like to thank the panel, appreciate
9 your hard work on pulling this together. It's not easy.
10 We wanted to make sure we got this in a timely fashion but
11 that you had as much data as you could. So, again, thanks.

12 Who is the next speaker?

13 MS. RAITT: Thank you very much to our panelists.

14 Next, we'll be hearing an update from Southern
15 California Gas and Rodger Schwecke from the Southern
16 California Gas, please.

17 MR. SCHWECKE: Good afternoon, and thank you for
18 allowing me time to speak with you today.

19 The panel behind me did such a great job
20 explaining the gas issues, I don't know if I have anything
21 to add. So, I might be repeating a few things.

22 But, from our perspective, there are some things
23 that we want to address. And I do have a presentation.

24 So, you know, we have some concerns about the
25 summer operating season. Any operator, obviously, has

1 concerns when there is limitation on resource availability,
2 whether it's electric side, whether it's the gas side.

3 An operator, as we like to say, is not in the
4 hope and pray business. We plan for the worst. We hope
5 for the best, but we still plan for the worst. And to hope
6 that we have a mild summer like we had last year or to hope
7 that we have all the resource available as modeled is not,
8 in our mind, the best planning practice.

9 So, when we look at the concerns for this summer,
10 the analysis that was put together -- and what we did is we
11 did the hydraulic modeling and we provided it to the team
12 that presented before on the technical assessment -- we
13 provided one scenario, one very optimistic scenario. And I
14 think they talked about what those assumptions were and
15 just how optimistic they are.

16 And two items stick out in that assumption that
17 we used in our hydraulic modeling, and that was that we had
18 a hundred percent of our receipt point utilization. When I
19 say a hundred percent, that means we had a capacity and it
20 was 100 percent utilized.

21 I think there was a question before about how
22 much do we typically see. And it's really not a ratio of
23 the capacity as much as a ratio to the demand. And the
24 balancing rules that were supplemented, really, it's to the
25 burn or the usage and demand and not to the capacity.

1 So, in this case, we assumed 100 percent of the
2 capacity was utilized and then determined how much demand
3 we can serve.

4 The next item that was critical in our analysis
5 was 100 percent of the usable storage space. There was
6 withdrawal numbers that were provided to us that should be
7 used by the Public Utilities Commission. And they
8 mentioned the number 1.47 Bcf. We maximize utilization.
9 And I'll get more into the how we maximize those during our
10 modeling characteristics that we came up to get the
11 results. My concern about the assumptions is the overly
12 optimistic feeling for this summer could be betrayed by the
13 numbers that were presented. It's just a concern that we
14 have to be aware of because of those very extreme
15 optimistic assumptions.

16 It also assumes that we had storage inventory
17 levels. I think it was mentioned by the last panel quite
18 often, we have come into this year at lower storage
19 inventory levels at our other three fields, primarily, our
20 other two.

21 We have one field, our Playa del Rey field, that
22 is a very small field. We pretty much keep that full all
23 the time. So, it's really the other two fields, one in
24 particular, Honor Rancho, and then our Goleta storage field
25 up along the coast of San Barbara.

1 Those were lower coming into this year. So,
2 there is an impact, because there is a -- and Ed mentioned
3 this -- there is a direct relationship between inventory
4 level and withdrawal capability. It's simple. It looks at
5 it from the standpoint of pressure, the more pressure you
6 have in the reservoir the more inventory and the more
7 driving force you have to create withdrawal capability.
8 And we, typically, have a withdrawal, what we call a
9 withdrawal curve, that starts at a certain level and
10 declines as the inventory declines.

11 And, this year, we have to figure out what is
12 that inventory decline based on some of the characteristic
13 changes of the storage field, such as, how we look at our
14 well configurations.

15 If you're familiar with some of the new DOGGR
16 rules that have come out, it's looking at a different well
17 configuration for a double barrier scenario, which means
18 you have a smaller piece of pipe sticking in the ground
19 that can flow gas.

20 So, that's another concern on how our fields
21 perform over time and whether they'll see a drop off faster
22 or sooner in that inventory curve.

23 The other difference that we're concerned about
24 is the impact between forecasted demands and actual
25 demands. There was some discussion already by the prior

1 panel on some of the questions that you had with regard to
2 that forecast differences.

3 If you would go to the next slide.

4 And you mentioned the May 3rd incident. One of
5 the most recent incidents. And this is just an example to
6 show how things change fairly quickly. And this is the
7 case where we had -- the forecast that we had from the Cal
8 ISO for the gas system was the yellow line, and then what
9 actually occurred was the red line. You can could see
10 there's that difference that basically started occurring
11 right away in the morning. But that's just a difference.

12 This was a day that was actually a fairly low
13 demand day. But you also see the difference just within
14 the L.A. Basin, from the Cal ISO forecast for the L.A.
15 Basin area, and what the actual burn was. This day, in
16 particular, as was mentioned, we had no problems with the
17 gas system. We had plenty of gas available. We were on
18 minor amounts of withdrawals to meet this additionally
19 [sic] load, and that's because the demand was not that
20 high.

21 But this is just an example of where we could
22 have differences between those forecasts.

23 So, let's go to the next slide.

24 So, when we looked at the hydraulic
25 modeling -- what hydraulic modeling is, is a simulation of

1 the physical operation of our system on how transmission
2 pipelines flow gas, how storage reacts to demand, how
3 demand changes and profiles across our system, and
4 operating within the safe limits of the system.

5 And the safe limits are defined by an upper
6 bounder of the maximum operating pressure or the minimal
7 operating pressure, which is a lower bound. Because you
8 start approaching the lower bound of pressure, and you
9 start losing, potentially losing, gas -- parts of your gas
10 system.

11 We did the hydraulic analysis, you know, Kathleen
12 using the maximum -- we calculated the maximum theoretical
13 system capacity. How much could we serve on a given day
14 with those assumptions, with the characteristics that we
15 saw as historical load profiles from electric generation
16 customers, along with our non-electric generation
17 customers, which is, you know, the commercial, industrial,
18 and the residential.

19 Residential is fairly flat during the summertime.
20 There's not much profile to that load. But the one thing I
21 want to mention, running a computer simulation, I
22 like -- and every time we run it, it's like you're running
23 a flight simulator on your computer. You're trying to land
24 the plane such that you land safely. And it's operating
25 the system in that fashion. You're trying to operate the

1 system so it lands safely, gets back to a characteristic.
2 Since this is only one day, we have to get back to square
3 one every day.

4 So, as you're landing it, if something happens,
5 unlike a computer simulation in which you can just hit, you
6 know, rerun the simulation or hit the reset button, the
7 difference is, on the actual day when we're operating the
8 system, you can't necessarily reset the system. And you
9 have to play it a little more conservative because you
10 don't know how demand will change or will you have upsets
11 on the system.

12 And, remind you, that these assumptions for the
13 modeling assumed a perfect case. We had -- everything was
14 operating, nothing broke, everyone was acting
15 appropriately. But it was different than the 2016 is we
16 took actual historical days where we know the system
17 actually operated, and then modeled it without
18 Aliso Canyon. This case, we start from square one and we
19 model it, assuming no Aliso Canyon and the other
20 assumptions, and how much we can maximally serve.

21 Go to the next slide.

22 And that's where, you know, again, the hydraulic
23 modeling assumptions were directed by the CPUC for the
24 amount of withdrawal capacity, the 100 percent utilization,
25 the storage fields. We had no other additional outages.

1 We had the current Line 3000 outage, which someone asked
2 the question about what's different this year than last
3 year. Last year, we had Line 3000 in service most of the
4 year. This year, we don't, which affects about 300 million
5 a day. And the receipt point utilization with that Line
6 3000 outage and the diminished California production, it's
7 about 3.2 Bcf of supplies that we received in the system on
8 a day. And then we used the 1.47 Bcf of withdrawal
9 capability, which is effectively 100 percent of the other
10 three storage fields' capabilities, and, again, no
11 utilization from Aliso Canyon.

12 So, what we didn't model is some of the
13 contingencies that really need to be considered. I
14 mentioned no other outages. You know, a lot of our
15 compressors are old equipment. When I talk about new
16 equipment, I'm probably talking about more in the
17 30-year-old time frame as new. When we have older
18 compressors that are 50 or 60 years old, they just don't
19 run as well as they used to. And you can't run them as
20 hard as you used to. Also, because of the air quality
21 permit requirements, we can't run them as fast as would we
22 would like to run some of those units as well.

23 So, any unplanned outages in those compressor
24 stations will have a direct impact on the amount of gas
25 that we could serve on a given day. Likewise, planned

1 outages, such as -- unplanned outages, such as the loss of
2 a dehydration storage field, which would limit the amount
3 of withdrawal capability.

4 We also have to keep in mind, and I think it was
5 kind of mentioned before, the system is integrated all the
6 way back into the supply basin across the entire Western
7 United States. So, when you look at a failure on the
8 system, it's not just within SoCalGas' system. You have to
9 take it all the way back that there could be a problem that
10 exists on the interstate pipeline, could be a problem that
11 exists in a gathering system in the supply basin or the
12 producers themselves. It's the same thing that I think
13 Mark was mentioning with regard to the transmission
14 capacity and the available resources. If those supplies on
15 the gas side and the electric side are pulled off into
16 Arizona because you have an extended heat wave that
17 stretches its way all the way into Arizona and Nevada,
18 there is competition for gas supplies, there is competition
19 for electric generation resources. And everything gets
20 stressed.

21 There is no natural gas storage in Arizona.
22 Effectively because of the integration of the system, those
23 customers have been able to pull on the pipeline
24 historically because California was able to use
25 Aliso Canyon and its other storage assets, not only in

1 Southern California, but in Northern California. So, that
2 now has changed the dynamics of how the entire system
3 operates.

4 Supplies at 100 percent. That's not a real -- in
5 my mind, that's not a realistic scenario. I'll talk more.
6 Mark looked at some of the scenarios where they were at
7 90 percent supplies and I think Caty was mentioned
8 something more to 75, 80. How much those are on a given
9 will vary. And whether it's a mismatch of nominations
10 across the system, customers not buying the amount of gas,
11 or a demand swing -- I mean, if you look at our system
12 today, I mean, we're talking today's flow day, we started
13 this system today over 300 billion cubic feet a day short
14 because there was a hot weather weekend. We called the low
15 LFO, part of the balancing rules, and then we ended up with
16 a system that had too much gas. It swung that fast in a
17 given day. And that's the concern that we have with regard
18 to forecasting demand, it could change up or down on a
19 given day rather quickly, probably more so during the
20 wintertime where one-degree difference is about 100 million
21 cubic feet a day of demand on our system.

22 Next slide, please.

23 So, with that, our results came out, and they're
24 already mentioned, about 3.6 billion cubic feet a day could
25 be met with those assumptions. I'd like to point out, that

1 also had an hourly sendout of over an equivalent of 5.3 Bcf
2 on that hourly day.

3 We also did, even though it wasn't concluded in
4 the assessment, we did a second analysis, taking a look at
5 a loss of a potential storage field. We started that
6 analysis when we were looking at our storage safety
7 enhancement plan before we were asked to change that plan.
8 And we assumed that we lost about 400 million a day of
9 Honor Rancho supply capability, which reduced the system
10 capacity about 3.2 Bcf. So, that's some of the sensitivity
11 that we looked at, and it also confirmed a sensitivity
12 that, if you lose foreign supplies, you lose storage
13 capacity, it's about a one-to-one relationship between the
14 loss of supply and the amount of gas you could deliver on
15 that given day, which is what was also mentioned before.

16 So, we confirmed that with an analysis. That
17 analysis was not included. We looked at the 3.6, which was
18 included in the technical assessment.

19 Next slide.

20 This is graphical representation of the hydraulic
21 modeling. The demand line is the red line. What I've
22 included in there is the green line, also, which is really
23 the demand for the non-electric-generation customers which,
24 you know, is fairly flat. There is an uptick during the
25 day with, you know, commercial, industrial loads. But we

1 don't have the same Peak in scenario.

2 The blue line itself is the supply that's
3 delivered into the system. And you could see it's fairly
4 flat up until about noon, and then you see where the
5 storage fields kick in. The difference between the 3.2 Bcf
6 or 3.185, that was a flat line on both the right and left
7 side of the curve in the blue line. And the in-between is
8 the storage withdrawals. And it gets up to the maximum
9 capability of about 1.4 Bcf.

10 But you can see that even in the peak demand of
11 5.3, someone might ask the question, Well, how did you
12 serve the demand between that blue line and the red line?
13 Well, that's what's called pack and draft on our system.
14 That's where you're actually stressing the system by
15 pulling gas away from the pipe and then you make up for it
16 in the afternoon or later evening.

17 So, the area under the curve is the same as the
18 area above the curve when compared to the blue line because
19 we get back to the same place and we have to get back to
20 the same place, because this is one day. What's in store
21 for the next day, we have to be prepared for.

22 Next slide, please.

23 One thing I would like to point out, as Mark was
24 talking, he had that graph that showed three different
25 scenarios that, where they had either 90 percent of

1 receipts or 85 percent of import capability. And that was
2 referenced at Table 4 and Figure 5 of the technical
3 assessment. That looked at that periods in which we would
4 have to use Aliso Canyon if we had those other scenarios
5 which required somewhere between 110 and 150 million cubic
6 feet for an eight-hour period -- again, it's an eight-hour
7 period -- which would require either a withdrawal from
8 Aliso Canyon rate of 330 to 450, or some form of electric
9 curtailment, electric generation curtailment.

10 So, that's what we look at because, again, it's
11 the eight-hour period is the critical period, which is the
12 peak period.

13 Next slide, please.

14 So, while we continue to work on, you know,
15 mitigation measures, we feel that mitigation measures, they
16 help, they don't eliminate risk. You're only trying to
17 manage risk. So, we're trying the best we can to manage
18 the risk of what could happen this summer. And it's part
19 of us -- one of those things is working closely with the
20 operators at Cal ISO and LADWP.

21 And I'll bring up an occurrence today. We had
22 planned some pipeline inspection work in San Diego -- and
23 we were planning on doing that work -- would have made the
24 inability for electric generation down in the most southern
25 part of San Diego. We got a call from Cal ISO today that

1 they needed to operate those plants, and we postponed our
2 pipeline integrity work because of their [unintelligible].
3 That was work that was planned about two months ago.

4 That just shows how far we've gone in working and
5 coordinating with Cal ISO in operating the system on a
6 daily basis and on an hour-to-hour basis.

7 But that was one of the cases where we had
8 planned to do some pipeline integrity work, and we had to
9 delay it because of the situation on the electric system.

10 We'll continue to use our operational orders, or
11 the new balancing rules.

12 Katy mentioned the new balancing rules changed,
13 but also what was changed is how we calculate the
14 sensitivity as to when we call those operational flow
15 orders. So, we'll continue to move down that path.

16 We also look at, as I mentioned what we did
17 today, but on a going-forward basis, we will basically push
18 out, if possible, any maintenance activity. Obviously,
19 there will be some maintenance activity that we have to do.
20 Especially, if it relates to safety or compliance. And we
21 have already begun, and we began in early May, to enhance
22 how we can get injections to our other storage fields.

23 So, we've done that. And we filed on Friday an
24 advice letter with California Public Utilities Commission
25 to enhance even that farther. And we actually put in there

1 what we believe our minimum storage targets are for the
2 summer. And we're having a -- we have a good chance of
3 coming very close to our target for June 1st that we have.

4 Next slide, please.

5 So, I mentioned the filing of the advice letter.
6 We have also, as directed by the CPUC, we have delayed some
7 of our safety enhancement work at our other storage fields
8 to ensure we have, you know, greater amount of withdrawal
9 capability at Honor Rancho and at Playa del Rey and Goleta.

10 So, you know, the one thing that's different also
11 this year that's an option is the availability of Aliso
12 Canyon. Last year at this time, we were still in the midst
13 of doing the safety review process from a physical side.
14 We, basically, had completed the physical sufficient enough
15 to turn the field over to DOGGR and CPUC for review in
16 November of last year.

17 Their review of our submittal is still ongoing,
18 but that's a little bit different than we had last year
19 where we didn't have the physical side completed in June of
20 last year. So, that's an option that, obviously, could be
21 considered.

22 But we stand ready to support energy reliability.
23 We always have for as long as I've been with the company.
24 I've been with the company over 30 years. And we have
25 supported electric reliability as along with our core

1 customers' reliability because we're worried about summer,
2 but I'm a little scared about winter.

3 So, any questions you have.

4 COMMISSIONER KERR: I have a question.

5 The CPUC recently approved a resolution to
6 provide additional funding to the flex alert program that
7 we talked about earlier. And SoCalGas' comments on that
8 resolution was that the funding wasn't necessary because
9 Aliso Canyon was ready to come back into service.

10 Obviously, Aliso Canyon is not in service right
11 now. And your comments raised a question in my mind as to
12 your commitment to fully implementing the mitigation
13 measures.

14 So, I guess I just want an assurance from
15 SoCalGas that you are, in fact, fully committed to
16 implementing the mitigation measures.

17 (Applause.)

18 MR. SCHWECKE: Yes, we're committed to move
19 forward with the program. We just want to make sure that
20 we're very cost effective in how we do that. I think it
21 was Ed mentioned, like on the solar thermal, whether that
22 is the best program. But other efforts, and we'll continue
23 to support that and move forward with that activity.

24 So, we're committed to move forward.

25 CHAIR WEISENMILLER: Okay. So, a couple of

1 questions.

2 One is just for context. My understanding is
3 most of your maintenance is done in the summer; is that
4 correct?

5 MR. SCHWECKE: Well --

6 CHAIR WEISENMILLER: As opposed to the winter.

7 MR. SCHWECKE: Well, it actually goes
8 different --

9 CHAIR WEISENMILLER: Okay.

10 MR. SCHWECKE: Most of our maintenance for
11 withdrawal capacity in the withdrawal system is done during
12 summer. Most of our maintenance on the injection system is
13 done during the winter.

14 CHAIR WEISENMILLER: Okay.

15 MR. SCHWECKE: And, if you look at the actual
16 amount of injection capacity we've had this year, we had
17 considerable outages on our injection capacity starting
18 back in February in preparation for the shoulder months, or
19 the winter -- or the summer injection period.

20 CHAIR WEISENMILLER: Okay.

21 Is there any additional energy efficiency could
22 you do beyond what's in the CPUC-approved advice letter?

23 MR. SCHWECKE: You know, I really can't answer
24 that. That's really not on my side of the business.

25 I'm --

1 CHAIR WEISENMILLER: That's okay.

2 MR. SCHWECKE: Yeah.

3 CHAIR WEISENMILLER: So, obviously, we got a
4 letter from Brad on the 28th of April. I just want to
5 confirm that your testimony covers all the points in that
6 letter.

7 MR. SCHWECKE: Yeah, I believe so.

8 CHAIR WEISENMILLER: Okay.

9 MR. SCHWECKE: We talked about with -- you know,
10 to the inventory issues and a few of the issues associated
11 with the optimistic assumptions, like 100 percent receipt
12 point utilization and perfect operation of a mechanical
13 device. Really, the system is a mechanical device.

14 CHAIR WEISENMILLER: If we got to a point where
15 we said, Okay, we need -- there's a heat spell or whatever
16 and we need 5 Bcf reinjection, how long would that take,
17 realizing again it all depends upon a number of things?
18 What's your best estimate.

19 MR. SCHWECKE: So, if you looked at it from the
20 standpoint that we were given the go-ahead to start
21 injections, there's some criteria that we have to meet to
22 get to that point. Part of the compliance efforts is we
23 have to do a flyover of the facility one week before. We
24 have to do some leak inspections of the pipelines a few
25 days before. I think if you look at what we possibly could

1 do, I think it's a reasonable assumption that we could
2 probably injection 300 million cubic feet a day. So, you
3 take that, that's going to take you, you know, not that
4 long, 15, 20 days.

5 CHAIR WEISENMILLER: Okay.

6 Obviously, the letter indicated a sort of
7 disagreement between you and the staff.

8 I was just going to ask someone from the staff,
9 probably Mark or Ed or Katy, describe their perspective on
10 why we're comfortable with the analysis that we did
11 relative to your concerns.

12 Please.

13 MS. ELDER: I guess I'll offer to answer the
14 question.

15 I think we're comfortable with it because the
16 analysis started out to try to calculate what our maximum
17 capability was. And, so, the idea that any given thing on
18 a list of potential things that could go wrong would reduce
19 that answer was implicit in trying to define what a maximum
20 capability would be. That's sort of the gist of it.

21 CHAIR WEISENMILLER: And, obviously, SoCalGas was
22 trying to develop the other bookend. And my understanding
23 is people felt the other bookend they were proposing was
24 too pessimistic.

25 MS. ELDER: That's correct.

1 That other bookend also seemed to be something
2 that we were already beyond, that we had the capability to
3 do more than what that other bookend already was.

4 CHAIR WEISENMILLER: And for the benefit of the
5 rest of the commissioners, do you want to describe some of
6 that difference?

7 MS. ELDER: The difference between the top
8 bookend and the bottom bookend?

9 CHAIR WEISENMILLER: Or the bottom bookend and
10 what you would have been comfortable with.

11 MS. ELDER: The bottom bookend --

12 CHAIR WEISENMILLER: That SoCalGas had proposed.

13 MS. ELDER: -- was -- that SoCalGas actually
14 analyzed was a withdrawal of about 800 MMcf per day, and
15 the numbers that the CPUC, looking at maximum withdrawal
16 capabilities for the other three fields, so Playa del Rey,
17 La Goleta, Honor Rancho, the actual maximum capability for
18 those fields adds up to 1640. So, by going with the 1470,
19 which is the number that the Energy Division asked SoCalGas
20 to assume, that number already accounted for some reduced
21 capability at the other fields. And, so, we felt that
22 going all the way down to 800 wasn't realistic.

23 CHAIR WEISENMILLER: Thank you.

24 Anyone else?

25 COMMISSIONER TISOPULOS: So, in one of the

1 scenarios that you were describing, the heat wave in
2 Arizona that potentially can spill over to Nevada, and then
3 all of a sudden, we are competing for the same molecules,
4 right? So, if there's such a competition, who wins? Is
5 there a bidding war there and whoever pays the higher
6 price, the molecules end up coming to that region or --

7 MR. SCHWECKE: You know, that's a good question.
8 And I think when we looked at it most of the time it was
9 during the wintertime and it's, you know, whoever pays the
10 highest price.

11 The one difference is if you have generators that
12 are located east of California, they get first access to
13 the supplies as it's flowing along the pipe. And we have
14 historically seen where those customers will continue to
15 take supplies, even though they haven't bought them,
16 creating imbalances on the interstate pipeline system or
17 drafting the interstate pipeline system to critical levels.
18 Then it affects all the shippers on the system.

19 So, it's an integrated system. Who actually gets
20 those supplies on a given day, it will be interesting to
21 see. I would rather be on the front of the pipe than the
22 back of the pipe.

23 COMMISSIONER TISOPULOS: Got it.

24 COMMISSIONER DOUGHTY: A lot has been said today
25 about the injection at Playa del Rey, La Goleta, and Honor

1 Rancho. And, if I heard you correctly, Rodger, you were
2 talking about you're feeling good that we're going to move
3 that storage injection capability by June 1st. So, forgive
4 me if you covered this and I didn't catch it. Where does
5 that take us through the summer? Is June 1 our begin
6 injection moment, or is that a threshold of injection?

7 MR. SCHWECKE: So, that's a point in time to look
8 at where we stand with regard to the inventory levels.
9 We're sitting at about 29.5 Bcf today, a little bit less.
10 Which is, we've grown inventory substantially since the
11 April 28th letter.

12 Our target, if you add that to Aliso, again, you
13 have to add the 14.8 Aliso, you are a little over 45 Bcf
14 that you have to get to. Our advice letter filing that we
15 submitted with the Commission has a layout all the way
16 through October what our inventory levels should be at each
17 of the fields.

18 Example, I'll use Honor Rancho. We're sitting at
19 about sixteen-and-a-half Bcf now. Our target for June 1st
20 is 17.1. And we got about, you know 7, 8, 9, 10 days of
21 injection. I'm feeling comfortable about Honor Rancho.

22 Goleta is a little tougher. Goleta is more -- is
23 dependent upon one of our mainline compressors in Ventura,
24 which, again, is those older compressors that we can't
25 operate as hard as we'd like to. Getting supplies up to

1 Goleta is tougher, so to reach a target for Goleta will be
2 much tougher because you wouldn't have the full injection
3 capacity that you have at the field itself.

4 COMMISSIONER DOUGHTY: So, looking at that, then,
5 and kind of envisioning the time line of a summer, and, of
6 course, August, September, even October being our critical
7 times, where does that take us for that three-month,
8 four-month summer window?

9 MR. SCHWECKE: So, if you look at -- let's just
10 talk -- it's probably easier to talk about Honor Rancho
11 since that's the largest storage field that still has
12 capability to withdraw a lot of gas and put it close to the
13 basin, which is not directly into the basin.

14 We should hit by the August time frame probably
15 in a range at Honor Rancho about twenty-two-and-a-half Bcf.
16 Total would be about 53 Bcf. That should get us to the
17 withdrawal capability that we're looking for that was
18 outlined by the Commission's letter to us of 2.0, 65 Bcf
19 withdrawal capability, and maybe a little bit more than
20 that. It won't get us to the almost 2.4-plus that they had
21 asked us to get to. We probably won't achieve that level
22 until later in the year as we continue to build the number
23 of wells that are capable at Aliso Canyon.

24 COMMISSIONER DOUGHTY: Thanks.

25 CHAIR WEISENMILLER: Any other questions?

1 Rodger, we certainly wanted to thank you for
2 being here today. And I wanted to thank you for the
3 cooperation that's existed between our team, technical
4 team, and yours. Obviously, we still ended up with
5 differences of opinion, but we, again, thank you for your
6 assistance.

7 MR. SCHWECKE: Sure.

8 MS. RAITT: Thanks.

9 So, next is an Independent Third-Party Review by
10 Scott Backhaus from Los Alamos National Laboratory.

11 Just hold on a moment while we get the slides up
12 on the screen.

13 MR. BACKHAUS: I guess while we're waiting for
14 slides, I'll just go ahead and start.

15 First is I'd just like to thank both the folks
16 that worked on the Independent Review Team (IRT), both
17 folks are listed and not, Rod Walker, Mary Ewers, and my
18 project manager at Los Alamos, Lisa Inkret, really put out
19 a lot of effort in the last few days to get this wrapped up
20 on time for this meeting.

21 I'll just go ahead and continue.

22 So just a quick outline on what we intend to
23 discuss here today is a quick overview of what the
24 Independent Review Team was tasked to do so we know what
25 the boundary conditions are; quick overview of the SoCalGas

1 pipeline system and gas storage; then we'll talk a little
2 bit about hydraulic modeling; and then I'll just dive into
3 what the IRT findings were.

4 I'll go through a list of the detailed findings,
5 and then I'll try and give a distillation of those findings
6 and what they actually mean and then a set of
7 recommendations.

8 Next slide.

9 So, what was the IRT and who was it composed of?
10 Basically, it's nominally the same independent review team
11 that participated back in summer of 2016.

12 Cal ISO contacted Los Alamos National Laboratory,
13 Walker and Associates for support to the IRT, and we also
14 coordinated quite closely with the technical assessment
15 team and we also coordinated with SoCalGas, independently
16 with those two different organizations.

17 The purpose was to review the hydraulic modeling
18 for the 2017 summer assessment. And the review team
19 process was we participated in most, if not all, of the
20 calls of the assessment team. And we also made a site
21 visit down to SoCalGas' gas control operations center to go
22 over the relationship between the 2017 summer system
23 capacity assessment and how that meshes with gas control in
24 real time out in the real world.

25 And, of course, we prepared a report and

1 presentation for this meeting.

2 Next slide, please.

3 Just qualifications. We skip over this, but Rod
4 Walker has long experience in the natural gas industry.
5 That is mostly what he brought to the team.

6 I, myself, I run a team of about 20 to 25
7 scientists that do fundamental R&D into control and
8 optimization of infrastructure systems.

9 And we have another team that performs analysis
10 of infrastructure under extreme conditions.

11 Mary Ewers also participated, and she's our lead
12 oil and gas analyst at Los Alamos National Lab.

13 Next slide.

14 You've all seen this map, but just some key
15 takeaways for how the IRT thinks about this.

16 The SoCalGas pipeline system, you can think of it
17 as sort of two or three components, maybe four.

18 A key component is down in the L.A. Basin.
19 That's a heavily meshed or relatively meshed pipelines
20 system. There is a fair amount of redundancy and
21 flexibility down in the basin, so depending upon what
22 happens in the basin, SoCalGas has some flexibility to
23 reroute gas around outages and other issues.

24 The import pipelines coming in from the east are
25 generally radial, so outages or other effects on those

1 pipelines are much more difficult to mitigate, especially
2 under the conditions of the system capacity study that
3 we'll be talking about today.

4 All these pipelines have constraints. They have
5 engineering constraints on them that have to be respected
6 both for safety and for reliability on both ends of the
7 spectrum.

8 A little bit about the storage on the system.
9 The Playa del Rey field, which has been talked about quite
10 a bit here today, that lives down inside L.A. Basin, is key
11 to operations down in the L.A. Basin.

12 La Goleta up on the coastal system has limited
13 access to pipeline transportation out of that area to serve
14 the L.A. Basin. Typically, used as baseload or can be as
15 baseload.

16 CHAIR WEISENMILLER: Let's advance the slide.

17 Got it. Thanks.

18 MR. BACKHAUS: Sure.

19 CHAIR WEISENMILLER: Go ahead. Keep going.

20 MR. BACKHAUS: So, then, the Honor Rancho Storage
21 Facility, which is under -- which is a subject of much
22 discussion here, it has better access to pipeline
23 transportation capacity, but it's not as good as it needs
24 to be to be able to allow that facility to operate at peak
25 withdrawal rates under the system capacity assessment

1 conditions. It's competing for pipeline transportation
2 capacity from receipts from Wheeler Ridge. So, it may not
3 be able to achieve maximum output during stressed
4 conditions.

5 Let's go to the next slide.

6 We can skip over most of this because I think
7 most of this has been talked about here today. I think the
8 main upshot is that Southern California Gas was directed to
9 increase storage injections into the remaining fields, but
10 perhaps they didn't have access to all of the appropriate
11 tools that they needed to maximize those injections, and
12 those tools fall into the -- access to those tools perhaps
13 fall into many different areas.

14 Next slide.

15 So, quickly, hydraulic modeling, what is it and
16 what is included in it and what is not included in it,
17 which sets the boundary conditions for what the review team
18 was tasked to look at, but also sets boundary conditions on
19 what the system capacity assessment can tell you.

20 What's included in the hydraulic modeling, it's
21 flow and compression of gas in the individual pipes. Just
22 the basic physics of gas and pipes. The control of the
23 flow and interconnections and valves between individual
24 pipe segments. Natural gas pipelines are complicated.
25 They're very complex. There's many interconnections

1 between the pipes, especially down in the L.A. Basin, but
2 also between multiple pipes in the ground for the import
3 pipelines from the north and the east. The control and
4 operation of the city gates and pressure reduction
5 stations, primarily going into the L.A. Basin. Control and
6 operation of gas compression stations, and control and
7 operation of the gas storage fields.

8 It's important to note that the control of all of
9 those items are under SoCalGas' control in the system
10 capacity study and they're under SoCalGas' control in the
11 real-world operation.

12 The next two, what are the boundary conditions
13 for hydraulic modeling. These are typically not included
14 in hydraulic modeling in detail. They're included in
15 reduced form fashion, so gas storage, reservoirs and their
16 surrounding operational system.

17 Gas storage injections, their capacity is
18 typically just represented as a constraint on injection.
19 You're not modeling the gas storage field in detail in a
20 hydraulic simulation.

21 Flowing gas supplies at the receipt points.
22 Those are simple assumptions in the system capacity study.

23 Those two, the ability to inject, the maximum
24 ability to inject, and the flowing gas supplies are assumed
25 in the system capacity study, but are not under SoCalGas'

1 direct control in real-time operations.

2 Next slide.

3 We'll just go through the findings in detail.

4 So, this same transient hydraulic model was
5 reviewed by the same Independent Review Team back in the
6 summer of 2016. There haven't been any major changes to
7 the SoCalGas system that aren't easily included in the
8 model that was used for 2017. So, the IRT is in agreement
9 that the system that was used, the hydraulic model that was
10 used by SoCalGas is sufficiently representative of the
11 behavior of the system for the 2017 summer assessment.

12 Based on investigation of some recent historical
13 data, under the tighter balancing rules, the assessment
14 team estimated that the actual gas receipts could fall
15 short -- the actual gas deliveries could fall short of the
16 scheduled gas by up to 10 percent. That came out of
17 looking at relevant historical data.

18 So, based on discussions with SoCalGas and
19 analysis of data during stress conditions when the low
20 operational flow orders were issued, the IRT is in rough
21 agreement with this approach.

22 It's important to note here is that what we're
23 talking about is that there was -- the system capacity
24 study assumes a certain amount of scheduled gas into the
25 system, and not assumes, maximizes that ability to receive

1 gas. That's not necessarily what will be received in
2 real-time operations. And that's the difference we're
3 talking about here: Is the difference between what is
4 scheduled and assumed in the system capacity study and what
5 actually makes it onto the system.

6 The assessment team went through a process to
7 determine if receipts -- if actual gas deliveries fell
8 short of what was scheduled on any particular day and what
9 was assumed in the system capacity study, how would you
10 take that into account in extrapolating the gas sendout
11 that would be available on a peak day.

12 There was a conclusion to go with a one-to-one
13 reduction in the available sendout.

14 Now, there are potential mitigations for
15 particular shortfalls at particular receipt points. But
16 our priority -- neither SoCalGas, Cal ISO, or LADWP know
17 where those shortfalls are going to occur. And without
18 detailed hydraulic simulation of every one of those
19 particular shortfalls, it would be quite difficult to
20 assess those mitigations.

21 So, the IRT is in agreement to use a one-to-one
22 reduction for actual gas deliveries relative to scheduled
23 gas.

24 We're going to the next slide.

25 I think a key point -- and this is somewhat

1 outside the bound of the hydraulic modeling, but we felt
2 that it was important to review some of these
3 aspects -- the gas storage fields in question, following
4 the storage safety enhancement plan, have not experienced
5 operating conditions consistent with the directed storage
6 inventory levels.

7 Now, the way that the output of those fields, the
8 maximum output of those fields, is typically assessed is
9 through online calibration of those fields and simulation.
10 We haven't had operations at these levels following the
11 safety enhancement plan; however, the changes to the fields
12 are primarily to the tubing and the well bores. Those
13 components are relatively well modeled, relatively easy to
14 model. So, the IRT is in agreement to use a combination of
15 the historical operational data and hydraulic simulation of
16 the well bores themselves to assess for a particular
17 inventory of these now modified storage fields, use a
18 combination of the historical data and simulation to assess
19 their maximum output as a function of inventory.

20 I think one recommendation that's coming out, and
21 maybe this is more of an observation, is that the limited
22 gas and storage -- the limited gas injection, gas storage
23 injection capacity, and the tighter system-wide balancing
24 rules have led to -- what have appeared to have led to is a
25 reduction in storage injections at the non-Aliso gas

1 storage fields. The exact cause of that I think is a
2 matter still of discussion; but, in our opinion, it appears
3 to be conservatism on the aspect of shippers, conservatism
4 relative to high operational flow orders being issued and
5 fines associated with bringing gas above what you're
6 allowed to bring on during a high OFO and the financial
7 risk associated with that. That appears to be what is
8 causing shippers to perhaps schedule gas in different ways
9 and in a conservative fashion.

10 Because of this, the IRT is recommending that a
11 gas storage injection plan be developed and implemented
12 that, at a minimum, includes three aspects: Weekly and
13 monthly gas storage injection goals that will achieve the
14 gas storage inventories consistent with what's been
15 mandated by -- prior to peak electric generation season; a
16 definition and implementation of weekly and monthly
17 monitoring of progress towards those goals; and, finally, a
18 clearly defined party or organization that's responsible
19 for achieving those goals.

20 I think that's probably consistent with some of
21 the things that we've heard here today.

22 Let's move on.

23 A couple of last detailed findings. The effect
24 of unplanned gas pipeline and storage outages really does
25 need to be included in the 2017 summer reliability

1 assessment. And I emphasis "unplanned." Planned outages
2 are coordinated, as you just heard. Previously planned
3 outages are coordinated between SoCalGas and LADWP and Cal
4 ISO on a regular basis. There is plenty of warning when
5 those planned outages are going to occur. But unplanned
6 outages have not been included. I think they perhaps were
7 part of the study previously.

8 Because of lack of time -- and it does take a
9 fair amount of time to do the transient simulation of
10 individual outages -- the assessment team -- and because we
11 don't know a priori where those outages will occur, the
12 independent assessment team would favor using a simple
13 one-to-one replacement like was done for gas storage -- or
14 gas receipt shortfalls. A similar approach, simply use a
15 one-to-one reduction in gas system capacity. That will be
16 the fastest way to get to an answer of how much gas could
17 be delivered to the electric generation system.

18 Finally, kind of a technical point, and we talked
19 about that a little bit earlier, is there's some
20 assumptions that go into the gas profile, the
21 time-dependent gas load profile in the 2017 system capacity
22 assessment. That gas load profile was based on statistical
23 work that SoCalGas did on the system-wide gas loads. That
24 gas load then was scaled up and down to achieve maximum
25 capacity, maximum sendout of the system. That particular

1 curve became the interface between the SoCalGas system
2 capacity assessment and the assessment team's electric
3 reliability study.

4 In that process, the assessment team modified
5 that gas curve, either scaling it up and down, shifting it
6 around. That can cause issues with the transient hydraulic
7 simulation, that might make it infeasible. However, those
8 adjustments are relatively small. They were on the order
9 of 10 percent. So, the IRT believes that this is
10 reasonably representative of how the SoCalGas system would
11 behave under those modified conditions.

12 Next slide.

13 So, all those detailed finding, what does this
14 mean. So, the IRT finds that the hydraulic modeling
15 simulation of the SoCalGas system and the modeling of the
16 SoCalGas control operations are representative of the gas
17 sendout capability of the gas system under the boundary
18 conditions used in the 2017 summer capacity study that was
19 performed by SoCalGas and is discussed by the -- and used
20 by the assessment team.

21 We also find that the gas system boundary
22 conditions that were used, which is an important input into
23 the system capacity study, those are representative of
24 actual boundary conditions, assuming that the target
25 storage levels can be met. And that means that, really,

1 that the withdrawal rates that have been mandated can be
2 met, which then translates to whether or not storage target
3 levels can be met.

4 Next slide.

5 We also find that under current -- under the
6 current operating conditions as of last week, because I
7 know there have been some proposals and maybe some changes
8 very recently, the required gas storage levels are unlikely
9 to be achieved.

10 That then goes back to our recommendation that a
11 plan be put in place, gas storage plan.

12 I think the final recommendation, or the final
13 point, is that we find that the effects of gas system
14 unplanned outages does need to be incorporated into the
15 2017 summer reliability assessment to get a more complete
16 understanding of the risks to the combined Cal ISO and
17 LADWP power systems.

18 Next slide.

19 Recommendations. We already talked about gas
20 storage plans with, at a minimum, these three particular
21 points. So, we won't hammer on that any further.

22 I think another important recommendation,
23 SoCalGas should consider ways to incorporate transient
24 hydraulic modeling into gas control operations to improve
25 their ability to support gas injections.

1 I think it's important to note that without Aliso
2 the gas storage injection capability right now is on the
3 order of 200- to 300 million cubic feet per day. That's a
4 pretty thin margin on the total system sendout. So, to be
5 able to achieve maximum storage injection, requires very
6 good gas control and gas control operators have to operate
7 in a conservative fashion because, as was mentioned
8 earlier, once the system crashes, bad things happen. You
9 don't just hit reset. So, maybe some additional visibility
10 on gas control would be useful.

11 Next slide.

12 I think it's my last one. SoCalGas should -- we
13 recommend that they should develop a contingency plan that
14 involve gas supplies alternative or in addition to drawing
15 gas for Aliso Canyon to mitigate extreme operating
16 conditions.

17 And, then, finally, the assessment study should
18 be updated to incorporate unplanned outages and the effect
19 on the combined power system of Southern California.

20 I think that's all I have.

21 CHAIR WEISENMILLER: Thanks.

22 I wanted to thank you and your team for helping
23 us in this area.

24 When we started last year, we wanted to make a
25 more critical look at the hydraulic modeling. We talked to

1 FERC. Obviously, we didn't have the internal capability.
2 And we really appreciate Los Alamos stepping forward to
3 help us in this area.

4 Obviously, this year has been on a tight time
5 scale. We, frankly, wanted to have the workshop about now,
6 so we could see what the mitigation measures are and how
7 they could be enhanced. And then working backwards, that
8 means that people got squeezed to make it work. And,
9 certainly, your analysis was building off of other things;
10 you got squeezed quite a bit. So, I appreciate your
11 flexibility in responding on that.

12 I guess probably the simplest thing, since your
13 part of this effort came together last Friday, would be to
14 ask both SoCal and the technical team for any comments or
15 reactions.

16 We're going to start with SoCal so that Mark and
17 Katy can figure out who is going to step up and what
18 they're going to say.

19 Rodger, you want to come up? Any comments?

20 MR. SCHWECKE: You know, as far as reaction and
21 comment, you know, I understand. I think some of those
22 same things that were said, you know, we relayed as
23 concerns. I appreciate the comments made about how the
24 system has to operate on a realistic basis, you know, day
25 in and day out and it can't be modeled. You can't follow a

1 model exactly.

2 But I think pretty much agree with some of their
3 assessments. There could be improvement -- you were
4 farther on the coordination side when it comes to forecast
5 demand. And then any time you can use data analytics to
6 help operate your system, the better you are. Whether
7 they'll be significant or not, well, we'll have to see
8 whether we'll have more capability.

9 I also appreciate the comment with regard to the
10 operating margin that we're operating today. When you only
11 have a couple hundred million a day of injection capacity
12 and you're operating a system that is run on a 3 Bcf
13 demand, for example, that's a small margin to operate
14 within in a gas system where things could go wrong fairly
15 quickly.

16 CHAIR WEISENMILLER: Rodger, one other question.

17 So, they said you should develop contingency
18 plans that involve gas supply alternatives or additions to
19 drawing gas from Aliso Canyon. How far are you thinking
20 through those alternatives? Obviously, you saw this
21 Friday, but how long do you think it's going to take to
22 come up with something and start talking to PUC?

23 MR. SCHWECKE: I guess I don't understand what
24 the intent was with regard to the supply alternatives.

25 If customers are buying gas and, you know,

1 meeting their demands, I guess it really gets down to, do
2 you use Aliso Canyon or can you by supplies to avoid it.
3 The problem with buying supplies is you may not know until
4 the hour before, and, therefore, you can't go out and by
5 additional supplies on the marketplace back in Texas, in
6 New Mexico, in Colorado that could effectively get to
7 California to meet the demands within that time frame.

8 CHAIR WEISENMILLER: I just want to ask Los
9 Alamos if you have any response, or should we just hear
10 Mark and then you can respond to both of them?

11 MR. BACKHAUS: Yeah. Let's just do both.

12 CHAIR WEISENMILLER: Okay. Fine.

13 Mark or Katy?

14 MR. ROTHLEDER: So, I appreciate the review by
15 the Independent Review Team, and I think I'm in general
16 agreement with most of the findings.

17 I especially appreciate the acknowledgment of the
18 need to address and have a plan for getting more storage
19 inventory to reduce the risk.

20 The area that I feel like the assessment team now
21 is tasked with having to do as a result of those
22 recommendations is the area of the unplanned outages.

23 We attempted to address that in the 2016
24 assessment. If I recall, it was another 400- to 500 MMcf
25 per day risk.

1 So, assuming the independent review team -- and I
2 think I heard him say that, Scott say that, a one-for-one
3 was an appropriate assumption because you don't know all
4 the different potential unplanned outages that could occur.

5 When I talked about earlier the 350 MMcf
6 withdrawal capability, I'm assuming 90 -- or 85 percent
7 transmission utilization, 90 percent on the gas system, it
8 seems like then there's another 400 to 500 potential
9 shortfall that needs to be made up if you want to plan for
10 unplanned outages on top of those utilization profiles,
11 90 percent and 85 percent, on the electric system.

12 So, I guess we'll go back and take a look on what
13 we can do to address that concern, or that recommendation.
14 But, otherwise, I think I'm in general agreement and
15 appreciate the recommendation and findings.

16 MS. ELDER: I'm trying to think about whether I
17 have anything intelligent to add or not.

18 I think the thing -- and it's not like we've sat
19 around and sort of poked Scott and asked questions since he
20 finished his report on Friday.

21 The thing that struck me the most, I would say,
22 is this question about any additional outages and being
23 able to assume that they have a one-for-one impact. And if
24 you had more time to sit with the model and think about
25 things that could go wrong, would we find things that would

1 have a bigger than one-to-one impact. And that's the -- I
2 guess that's the big unknown.

3 And Scott's nodding as I say that. So, we
4 just -- we don't know exactly what the answer to that would
5 be if we had the opportunity to do that.

6 CHAIR WEISENMILLER: So, you need the additional
7 backup slides?

8 MR. BACKHAUS: Yes.

9 CHAIR WEISENMILLER: Okay.

10 MR. BACKHAUS: And maybe more just to remind me
11 and something to talk at.

12 So, we did spend some time with the SoCalGas
13 operators and I want to thank Devin [phonetic] for his
14 accommodation and openness about how gas control happens.

15 We talked about unplanned outages on different
16 parts of the SoCalGas system and where affects really would
17 become perhaps important and where they were less
18 important.

19 So, that sort of led to the introduction I had on
20 the SoCalGas pipeline system.

21 So, unplanned outages down in the L.A. Basin, the
22 L.A. Loop as it's called, probably don't result in too much
23 gas curtailment to electric power generators. There's
24 relatively a lot of flexibility down in the L.A. Loop,
25 plus, if you do have to locally curtail one or maybe one or

1 two generators, Cal ISO's already at minimum gas burn
2 anyway, there'll be some other generator on some other part
3 of the pipe that will be able to pick up that generation.

4 We go to the next slide.

5 I think the key then is unplanned outages on the
6 high-pressure gas supply lines coming from the east and
7 coming in from the north.

8 Let's talk about the east first. Coming in from
9 the east, those pipes are already at maximum capacity.
10 They are already constrained. Outages on those pipes,
11 there's really not much you could do to mitigate them. I
12 believe that will be a one-for-one reduction in gas
13 sendout.

14 The only place where perhaps the only active,
15 currently active, receipt point where perhaps there could
16 be some mitigation is -- and I think I'll get it
17 right -- the Kern River, Mojave; I think it's Kern River or
18 Kern Mojave -- receipt point, that's the receipt point that
19 competes with Honor Rancho for pipeline capacity. So, if
20 there is an outage on the pipeline coming down from that
21 receipt point towards Honor Rancho, there could be some
22 mitigation by Honor Rancho. Whether it's a complete
23 reduction in the outage or whether it's a partial reduction
24 of the outage, we can't say at this point. And I think
25 that requires additional hydraulic modeling if there's a

1 reason to pursue that.

2 CHAIR WEISENMILLER: Thank you. That helped.

3 Anyone else have any questions or comments?

4 COMMISSIONER TISOPULOS: It's just a question.

5 Your last slide, if we put the very last slide.

6 There it is. No. Those are the backup slides.

7 You left a sentence that says, you know, "In the
8 event there are some disruptions in the incoming pipeline,
9 there are certain mitigation measures that can be taken."
10 What would those be?

11 MR. BACKHAUS: So, I think if it's the Kern
12 River, Mojave point, I've already gone over that one.

13 I think relative to outages on, or even if it's
14 gas delivery shortfalls coming in from the east, I think
15 there are perhaps additional mitigation measures involving
16 Playa del Rey and the city gates into the L.A. Basin where
17 Playa del Rey -- as compared to the summer capacity system
18 study, the city gates coming into L.A. Basin could be held
19 off a little bit longer and Playa del Rey could have been
20 turned on a little bit sooner. That have would have
21 allowed better utilization of the Playa del Rey field, not
22 in terms of the peaks, the hourly peak sendout from Playa
23 del Rey, but in terms of the time extension of how long
24 Playa del Rey is on. That would have to be confirmed
25 through hydraulic simulation to assess how much mitigation

1 there is there.

2 But I think one has to be cautious when you talk
3 about these mitigations. Playa del Rey is a volumetrically
4 limited -- as all storage is, but it's particularly
5 volumetrically limited. It also has a fairly long
6 turnaround time. For every cubic foot that you take out,
7 it takes a fair amount of time to put it back.

8 So, if this were to be used as mitigation for an
9 unplanned outage over many, many days, and you increase
10 your drawdown on Playa del Rey over many, many days, sooner
11 or later, your maximum sendout, your maximum hourly sendout
12 from Playa del Rey is going to be reduced. And that will
13 most likely totally negate the increase sendout that you
14 get from having Playa del Rey on longer. So, it's a very
15 time-limited mitigation that you have in place there.

16 So, perhaps, on a one-, or two-, maybe a
17 three-day basis -- but even that gets to be a little
18 sketchy -- maybe on a one- or two-day basis Playa del Rey
19 could be used as sort of extra peaking, but it requires
20 some simulation to be able to provide the gas operator some
21 guidance on how to control the system on those very
22 difficult days.

23 CHAIR WEISENMILLER: Thanks again.

24 I certainly encourage SoCalGas and the technical
25 staff, if they have additional comments on this report, to

1 file them when the comments are due.

2 I was going to suggest we take a ten-minute break
3 right now.

4 Don't go far. But I think it's probably going to
5 be good for everyone to stand, stretch, walk, and come
6 back.

7 So, basically, let's start at 3:40, and really a
8 hard start at 3:40, so that we go through the next panel
9 and then public comment.

10 (Whereupon, a recess was taken.)

11 CHAIR WEISENMILLER: All right. Let's reconvene.
12 Looking at -- okay, Evie is ready. Good.

13 MS. RAITT: So, we have a panel and Lana Wong
14 from the Energy Commission is the moderator, so we just go
15 ahead and get started.

16 MS. WONG: Lana Wong with the Energy Commission.

17 So, the first panelist I would like to introduce
18 is Tim O'Connor with the Environmental Defense Fund.

19 MR. O'CONNOR: Good afternoon. Tim O'Connor from
20 the Environmental Defense Fund.

21 Let me first start by saying thank you for the
22 copious amount of information that was delivered on Friday
23 afternoon and the opportunity to review it over the course
24 of the weekend. Very appreciative that it didn't happen
25 next weekend, otherwise, you know, barbecue plans might be

1 changed.

2 But I think it's important to note that the level
3 of detail and the commitment by the joint energy agencies
4 to have outside experts reviewing the information and
5 providing it to the public really is a marked a change from
6 where we were, of course, a-year-and-a-half ago and gives
7 an incredible amount of opportunity for entities like ours
8 and our professional consulting firm who we've hired,
9 Skipping Stone LLC, to evaluate this information and to
10 provide technical comments, which we'll also be doing in
11 writing.

12 And I offer four points today.

13 And, number one is that I think that this
14 information does demonstrate that we are in need of an
15 update of information as it relates to what the utilities
16 provide on a regularized basis in the California gas
17 report, because the information which is at the heart of
18 this analysis in some ways conflicts with the data which is
19 within the gas report with respect to the capacity that we
20 expect these lines to deliver and the supply with which we
21 expect to be delivered.

22 And, in fact, when you compare the California Gas
23 Report and Southern California Gas Company's filings, data
24 filings, in -- with the Commission, you see that there is
25 nearly a 336 million standard cubic feet per day

1 underestimate in terms of capacity that goes into this
2 technical analysis and roughly 462 underestimate -- 462
3 million standard cubic feet per day estimate of supply,
4 which is in the gas report. And, so, that equals about 800
5 million standard cubic feet per day of gas delivery that
6 can be achieved that is not evaluated in this technical
7 report.

8 And, so, I would recommend that as we move
9 through this process we evaluate whether the other pieces
10 of data which we rely on to make decisions are, indeed,
11 accurate.

12 And, of course, this goes to some important
13 issues as regard to how we are forecasting whether
14 Aliso Canyon should come back online or not and whether the
15 energy system in Southern California is going to be
16 reliable or not.

17 And, in fact, it's only going to be exacerbated
18 by the fact that in the gas report itself we project that
19 the core gas customers are going to experience about a
20 one-percent decline in gas use per year, leaving extra
21 capacity in the system.

22 When we look at how the advance metering
23 deployment of nearly 5.9 million meters in the Southern
24 California Gas service territory at the end of 2016, I
25 believe, we see that all this kind of fits together. And

1 now we need to think about creating a more full picture of
2 this.

3 And this brings me really to my second point, is
4 that when we look at that advanced metering infrastructure
5 (AMI) and we see the reduced demand on the year-to-year
6 basis, what we don't see in the reliability assessment and
7 in the action plan really is the use of that AMI, all that
8 capital that's gone into providing better assessments and
9 the ability to do better forecasting, we don't see that
10 being really harnessed for the maximum potential for which
11 it can be offered both with respect to providing better gas
12 balancing and forecasting, as well as demand-response
13 programs.

14 Third, I think that it's important that while we
15 talk about the value of the operational flow orders, the
16 new market rules, and their intense impact that they've had
17 on the gas demand reduction, in fact, you can look at
18 comparing those new gas balancing rules to the
19 effectiveness of the other conditions, and we see that the
20 new market rules have resulted in 95 percent of the gas
21 demand reduction that's within the system.

22 And, indeed, that is a useful point to look at
23 how we may be able to look at our market rules and the
24 effectiveness of those. In particular, one of the things
25 that we need to be focused on is not just how the system is

1 performing when we have days with OFOs, but really how
2 market rules can be changed to affect all days. When, in
3 fact, there was a filing by the Southern California
4 Generators Coalition in September of 2016 that recommended
5 the development of a gas imbalance market in Southern
6 California. And that is not discussed in the action plan
7 work or something which is planned to be even considered,
8 it would appear, by the joint energy agencies. And we
9 would like to reiterate the importance of these gas market
10 rules and, in particular, imbalance rules for creating new
11 investment signals for the types of clean energy
12 infrastructure that can deploy the same values that gas can
13 for balancing the system.

14 And, finally, I think one thing we heard just a
15 little bit earlier today was Rodger Schwecke talking about
16 how, you know, he's concerned about summer, but he's really
17 concerned about the winter. And I think that that means
18 that we cannot be delaying a winter reliability assessment
19 until the winter and we should be getting on that now and
20 looking at the effect of these rules on the winter season
21 and providing opportunity for groups like mine to comment
22 on the assessments and the assumptions that go into it.
23 And we look forward to participating in that conversation.

24 Thank you.

25 MS. WONG: Next, we'd like to hear from Michael

1 Bardee from the Federal Energy Regulatory Commission.

2 MR. BARDEE: Thank you for inviting me to speak
3 here today.

4 Let me start with a required disclaimer. My
5 remarks today reflect my own views and not those of FERC or
6 any of its individual commissioners.

7 I'll talk first about a few actions that FERC has
8 taken in this context and then go on to describe our
9 authority over electric reliability, and touch briefly on
10 some matters that have already been discussed some here
11 today.

12 As to actions that FERC has taken, about a year
13 ago, FERC had a presentation at a Commission meeting on the
14 Aliso Canyon situation to understand the circumstances
15 better and be prepared for any matters that FERC might have
16 to act on.

17 Several of the speakers that you heard here today
18 were at that presentation, including Chair Weisenmiller.
19 Thank you for participating in it.

20 Not long after that, in June of last year, the
21 Commission approved a filing by the Cal ISO to change
22 various market rules to prepare for the summer last year,
23 to have some different procedures in place to help them
24 manage through the summer.

25 That included the two-day ahead advisory

1 schedules that you heard about earlier, a mechanism called
2 a gas constraint that they could use to change the outcome
3 of the market runs when necessary to conform to the limits
4 of the gas system.

5 After the summer, in September, we held a
6 technical conference to find out how things went, to hear
7 from the participants and help us get a sense of whether
8 those procedures were useful and might be needed again in
9 the future.

10 And soon after that, Cal ISO filed to extend most
11 of those rules. And, in November of last year, the
12 Commission approved that extension, which is good until
13 November of this year. Not clear yet whether we'll be
14 receiving any future filings like that, but we'll be
15 prepared for it if we do.

16 Let me talk about the FERC authority over
17 maintaining the reliability of the electric grid, in
18 particular, the electric bulk power system, which is
19 essentially the high-voltage system.

20 Under the statute that we enforce, we selected
21 NERC to be what we call the electric reliability
22 organization. And its role is to propose rules to us for
23 our consideration on how utilities should operate and plan
24 the high-voltage system to maintain its reliability.

25 Under that scheme, the users, owners, and

1 operators of the bulk power system must abide by all the
2 approved rules and are liable for enforcement of those
3 rules. That includes Cal ISO, SoCal Edison, LADWP, and San
4 Diego Gas and Electric. It does not include SoCalGas.

5 One of the most important concepts built into
6 various rules under that statutory authority is what you've
7 heard of as the N-1 contingency. And the idea, basically
8 there, is both in the planning time frame and the operating
9 time frame, you should structure the system so that it is
10 ready to withstand the single largest contingency that is
11 on your system, whether that is the loss of a generating
12 unit, a transmission line, or any other single element on
13 your system.

14 So, that rule is embedded in the real-time
15 operating rules that we have. We have a set of rules
16 called TOP, Transmission Operator, which, in this case, is
17 CAISO and LADWP; and IRO, Interconnected Reliability
18 Operations, refers to our reliability coordinator, which,
19 for this part of the country is peak reliability. They are
20 subject to those rules that govern the real-time
21 operations.

22 We also have rules called BAL, for Balancing,
23 and, here, that's Cal ISO and LADWP. And those rules
24 basically require them at any point in time to be balancing
25 the resources they are supplying to the system against the

1 demand that the system has on it.

2 A couple other sets of rules, TPL, Transmission
3 Planning, looking ahead one year, five years, ten years, to
4 ensure that you've met that same kind of constraint of
5 being ready for the single largest contingency.

6 And one last set, EOP, Emergency Operation Rules.
7 These were the rules that kicked in when Cal ISO went into
8 Stage 1 alert not long ago. And they go to Stage 2 and
9 Stage 3. Stage 3 is when you have curtailments of
10 firm-load customers either imminent or actually underway.
11 And they govern the process for how to manage your way
12 through an emergency and get back to normal conditions.

13 So, that set of rules has been in place for about
14 ten years now, and all of the utilities that I've mentioned
15 have to comply with those rules; and, as you see, they do.
16 That's how CAISO went into Stage 1 not long ago.

17 Addressing the circumstances more generally, you
18 know, you've heard a fair amount about looking back at the
19 last year, how the weather was fairly mild in the summer.
20 Winter, similar, not extreme. We also did not have major
21 unplanned outages at the bad times when the system was
22 stressed last summer.

23 Looking ahead, we do have a good amount of
24 snowpack still up in the north, meaning we'll have good
25 hydro resources for a while to continue. We also have more

1 solar than we had last year, more PV. But, as was
2 mentioned on the last panel, we have less storage, gas
3 storage, in the three non-Aliso fields. So, overall,
4 things went well last summer, but the risks remain. We
5 could have prolonged hot weather this summer. We could
6 have a major unplanned contingency at the wrong time, a
7 line importing capacity from the north could go out at the
8 wrong time.

9 FERC is going to continue to monitor the
10 situation. If we do get filings like the ones we acted on
11 last year, we will certainly seek to act on them as quickly
12 as we can.

13 And that concludes my remarks.

14 Thank you.

15 MS. WONG: Next, we would like to hear from Jason
16 Ackerman with Best, Best and Krieger, who is representing
17 Los Angeles County.

18 MR. ACKERMAN: Thank you very much for the
19 opportunity to be here today and share the county's
20 thoughts and reliability issues associated with
21 Aliso Canyon Natural Gas Storage Facility.

22 As you're aware, there are three natural gas
23 storage facilities in Los Angeles County: Aliso Canyon,
24 Honor Rancho, and Playa del Rey. The county recognizes the
25 need for reliable gas supplies to support its resident and

1 its diverse local economy.

2 As you may know, immediately after the well
3 failure at Aliso Canyon, the county served as a first
4 responder of sorts to address concerns of local residents
5 and businesses.

6 So, it's acutely familiar with the health and
7 safety issues associated with safe and reliable service in
8 Southern California.

9 The county's position on reliability is informed
10 by both the closure of Aliso Canyon, but as well as the
11 summer and winter action plans. As you know, toward the
12 end of 2015, DOGGR essentially closed Aliso Canyon. That
13 was followed by the governor's 2016 emergency order
14 continuing the prohibition of new injections. That, too,
15 was followed by SB 380, which extended the moratorium on
16 renewed injections until safety enhancement efforts were
17 undertaken.

18 The county became increasingly concerned with
19 short-term and mid-term reliability issues. And, last
20 year, the county did review the 2016 risk assessment and
21 summer action plan. It was alarmed, I think as most folks
22 were, when it learned that curtailment events could
23 interrupt supply on 14 days during the summer of 2016.

24 The county was pleased that the mitigation
25 developed in the April 2016 summer action plan proved to be

1 successful and avoided all curtailment.

2 Our experts have informed us, and as is supported
3 by the material that reviewed last Friday, tighter gas
4 balancing rules played an instrumental role in this effort.
5 But we should also underscore the increased electrical and
6 gas operational coordination of the regulatory agencies.

7 In August 2016, the county attended a winter
8 action plan workshop in this auditorium. A new mitigation
9 was included. Among other things, deployment of more
10 robust demand response programs were identified as
11 mitigation. Also, existing and new gas balancing
12 requirements were implemented. These mitigation measures
13 proved to be successful in avoiding use of Aliso Canyon,
14 with exception to a January 2017 event that I'll talk about
15 in just a few minutes.

16 So, SoCalGas requested authorization to resume
17 injections in fall 2016. And the county developed its
18 formal position. Having reviewed the summer and winter
19 action plans and joint actions taken by the regulatory
20 agencies to ameliorate electric and gas reliability
21 concerns, the county established its position in a
22 five-signature letter to DOGGR, requesting that it not
23 authorize new injections at Aliso Canyon until completion
24 of the CPUC's investigation into the feasibility of
25 eliminating or minimizing the use of Aliso Canyon,

1 Investigation 1702002, which the county is currently and
2 actively participating in and will continue to do so.

3 But, also, the county requested that there be no
4 new injections at the facility until completion of the
5 root-cause analysis. And this is a commonsense approach
6 that was developed by the county because the county
7 believes that we need to have a full understanding of what
8 caused the leak before we start placing that facility into
9 service again.

10 The county looked to satisfy itself about whether
11 or not we could reliably have service within the L.A. Basin
12 without Aliso Canyon. And to satisfy its concerns about
13 that, it retained EES, an energy reliability consultant, to
14 prepare a report on in-basin reliability in the short term.

15 That report was released on February 6th, 2017.
16 And we are advised that it has been docketed in this
17 proceeding, and we thank you for that.

18 Unfortunately, based on the short notice, we were
19 unable to have someone from EES here to present today, but
20 I will offer a brief recap of the conclusions of EES.

21 For our winter of 2016/2017, based on the time
22 the report was issued, EES concluded that approval of gas
23 injections at Aliso Canyon would have no material impact on
24 gas reliability for the time period of February through
25 June 2017.

1 As it relates to summer 2017, EES concluded that
2 Aliso Canyon withdrawals should not be necessary in light
3 of effective demand-response programs and the availability
4 of increased hydroelectric generation and other mitigation
5 measures put in place by the joint regulatory agencies.

6 And, then, with respect to winter 2017/2018, EES
7 concluded that there is sufficient time to aggressively
8 implement demand-side management and other mitigation
9 measures that will eliminate the need to utilize
10 withdrawals from Aliso Canyon during winter 2017/2018.

11 All of this contemplated having Aliso Canyon
12 supplies, which currently stands at about 14.8 Bcf, being
13 used as a backup of last resort without new injections.

14 I referenced the investigation at the CPUC
15 concerning feasibility of eliminating or minimizing the use
16 of Aliso Canyon. The county has retained another
17 consultant to assist in that proceeding, Energy and
18 Environmental Economics (E3).

19 One of the first tasks we had for E3 was to
20 review the EES report. And they generally agreed with the
21 conclusions of EES. E3 will continue to provide us
22 consulting services, especially as it relates to the
23 investigation.

24 I previously mentioned the January 24, 25, 2017,
25 withdrawals from Aliso Canyon. This event seems to be an

1 aberration that should be thoroughly investigated and
2 analyzed as part of a case study on whether or not the
3 system is being operated efficiently. This is really sort
4 of a lessons-learned piece.

5 Aside from the timing of those withdrawals being
6 peculiar, the circumstances of the events are as well.
7 There were only .03 Bcf and .02 Bcf withdrawn from
8 Aliso Canyon on January 24 and 25 respectively.

9 SDG&E Envoy indicates that the cold-snap weather
10 pattern that caused the withdrawals was anticipated and
11 customers were notified of the weather pattern the week
12 before the withdrawals were made.

13 Routine maintenance was scheduled to commence
14 during those dates. And it's our understanding that that
15 maintenance was not delayed or deferred. In addition to
16 that, it's our understanding that SoCalGas did not contract
17 for additional deliveries despite there being unconstrained
18 pipeline capacity.

19 And, so, we think that in some context those
20 issues should be thoroughly investigated to determine
21 whether or not the system was being operated or managed
22 correctly or incorrectly, and how to improve on those
23 operations in the future.

24 You know, perhaps there's somebody here today
25 that can speak to why those withdrawals were made. I think

1 that that would be helpful and useful. But I think that a
2 thorough investigation is really what is required.

3 And, finally, I'd like to touch base on the
4 legislative issues. The county supports legislation that
5 ensures continued safe and reliable service. SB 57
6 requires a moratorium on injections at Aliso Canyon until
7 completion of the root-cause analysis. We believe that
8 that is a reasonable and prudent commonsense approach to
9 resuming injections. And we believe that the legislation
10 has appropriate safeguards to maintain reliable service.

11 So, with that, again, I thank you for the
12 opportunity to present today. Thank you very much.

13 MS. WONG: Next, we'd like to hear from Bryan
14 Starr with the Irvine Chamber of Commerce.

15 MR. STARR: Thank you.

16 Good afternoon. My name is Bryan Starr, and
17 thank you for the opportunity to address you today on
18 behalf of the business community. I'll be brief because I
19 am actually pinch hitting for my colleague from the L.A.
20 Chamber, Mr. Gary Toebben, who couldn't be here today.

21 But I'm going to tell you something that you all
22 know and that is the critical nature of energy reliability
23 on the economy and on the business community. I represent
24 about 800 businesses in the Orange County area, a very
25 diverse group of industry clusters ranging from biomedical

1 to aerospace, tourism, hospitality, hospitals. All of them
2 have one thing in common, and that is there absolute
3 reliability -- or absolute need for energy reliability.

4 No amount of outage is acceptable for the
5 business community. Not an hour. Not a day. Because it
6 equates to lost wages and equates to loss of productivity
7 and loss of economic activities.

8 In listening to, you know, the munis that were
9 represented here today, I walk away today with a little
10 less confidence on the reliability. I didn't hear any
11 assurances from them that they thought that they could make
12 it through another summer without some sort of outage. And
13 that's also based on, you know, what we heard in the
14 analysis that you're assuming, this analysis assumes, an
15 absolutely perfect scenario with a flawless delivery system
16 really over a territory that is nearly half of the state.
17 And that just doesn't sound reasonable to the business
18 community, that there would be a flawless execution sort of
19 scenarios that would ensure that we didn't have some sort
20 of outage.

21 So, I just wanted to remind you all that, you
22 know, the role that Aliso Canyon plays in ensuring
23 reliability, you know, during high levels of energy demand
24 is absolutely critical in our view. And I know you take
25 your responsibility very seriously to ensure that

1 reliability is upon us and that we don't have outages. And
2 we just hope that you continue that. And please make your
3 policy decisions based on science and facts rather than
4 allegations or emotions. It's just too important to the
5 economy.

6 Thank you.

7 MS. WONG: Next, we'd like to hear from Dorothy
8 Rothrock with the California Manufacturers and Technology
9 Association.

10 So, she is not here in person, but we will have
11 her available via WebEx.

12 MS. ROTHROCK: Hello. Can everybody hear me?

13 CHAIR WEISENMILLER: Yes, we can.

14 MS. ROTHROCK: Excellent.

15 Thank you very much for letting me participate
16 like this. I know what you all look like. I think you've
17 seen me. So, this is almost as good as being there.

18 What I'd like to do is just for a few minutes
19 give you a little bit of context for what we're looking at
20 from the manufacturing side of things on issues that are
21 much larger than just energy issues, but just the status of
22 California manufacturing. I usually have a chance each
23 year to do this for the Energy Commission as part of your
24 IEPR. And, so, I'll just take a few minutes to do that
25 right now, if you don't mind.

1 The slides that I presented to you, if you go to
2 the first one, shows an updated jobs chart for California
3 versus the rest of the U.S. since January 2010. That's
4 where we pegged the end of the last recession.

5 So, you'll see that manufacturing is coming back
6 in California and the U.S., but California is not quite
7 keeping up with what the average of the U.S. is doing.
8 And, of course, the average of the rest of the U.S.
9 includes some states that are doing much, much better than
10 California, as well as some that perhaps are not doing as
11 well. But, as a large manufacturing state, we think that
12 this is falling short of our capacity and really what we
13 ought to be looking for in California as part of our total
14 economy.

15 Next slide, please.

16 This is an updated slide that you may have seen
17 before. This includes the year 2016 on the far right of
18 the chart. This shows since 1977 each year's percentage of
19 manufacturing new sites and expansions that came to
20 California.

21 So, for example, in 1985, we received 17 percent
22 of the manufacturing investments of the U.S. And that
23 was -- we labeled that the aerospace ramp-up that occurred
24 around those years.

25 We saw a big boost again in the late 1990s with

1 computers and the growth of Silicon Valley.

2 But you'll see that since the year 2001 we've
3 really struggled to keep up with a kind of fair share of
4 manufacturing investments in California. You see that
5 we're kind of lagging. We really haven't broken through
6 three percent in any single year, and the average really is
7 two percent since 2001.

8 So, we're worried about this because, of course,
9 investments in expansions is often included with
10 modernization and other kinds of technology embracing that
11 makes us more productive and more efficient. And we're
12 alarmed that more investments aren't coming our way.

13 Next slide.

14 This is an energy slide that we've started
15 developing in the last couple of years because we were
16 concerned that while everybody's energy costs are going up,
17 you'll see that the industry, particularly, is being
18 disproportionately, I think, impacted by the higher energy
19 costs in California compared to the U.S. Now, this is a
20 measure of the premium, cost premium, in California
21 compared to the rest of the U.S. for each of the rate
22 classes. And this comes from the Federal Information
23 System, and it's a gross aggregate statewide measure. You
24 see that it's a very steep upward climb for industry.

25 And that's a good segue to what I want to say

1 generally about the topics that are before you today, and
2 that is how crucial it is that we be sending a strong
3 message to the manufacturers that we're going to address
4 the challenges with the Aliso Canyon problems in a way
5 that's going to maximize the message to manufacturers that
6 we are going to commit reliability and cost control as we
7 try to solve these problems.

8 There are decisions that companies are making, as
9 reflected in the jobs and investment numbers you saw, that
10 happen both in real time, kind of year-to-year, day-to-day,
11 and that can impact production and jobs in the very short
12 term, such as when there's a curtailment or something like.
13 The next day, there's an impact, somebody is sent home, a
14 production line is lost, whatever. We all know what the
15 real curtailment challenges are that happen in real time.

16 But then there's a sort of a midpoint also
17 decision-making that's, What kind of technologies or
18 decisions am I going to make in the kind of the midterm,
19 like the next one to three to five years, to manage
20 whatever risk I perceive. And I think that we have
21 companies right now looking very hard at the whole energy
22 system, including Aliso Canyon, and saying, What am I going
23 to do in the next three to five years to manage my
24 production, my investments, and how much am I really
25 willing to do, how much capital do I have in order to make

1 changes that I need.

2 And, then, finally, for the long term, going back
3 to the slide showed on investments, Where am I going to
4 expand and where many I going to grow or, potentially,
5 Where am I going to shift if I decide that California's
6 just too risky. And that is the long-term decision that we
7 don't want anybody to make outside of California if we can
8 help it.

9 So, let me end with just the message that we are
10 watching, and I think the manufacturers are also watching,
11 about the decisions that are going to be made. And the
12 more that you can do to identify the risks in a very
13 transparent way and also make decisions that -- I don't
14 want to say error on the side of reliability, but that
15 takes all the issues into account so that manufacturers are
16 as aware as they can be of what the real risks are so that
17 they'll take sensible steps to deal with it as opposed to
18 steps that perhaps could be costly, unnecessary, and in the
19 long run not in the best interest of California.

20 So, you just strike that exact balance right
21 there, and then everything will be fine.

22 Thank you.

23 MS. WONG: Next, we'd like to hear from Michael
24 Webster with Southern California Public Power Authority.

25 MR. WEBSTER: Good afternoon. Mike Webster. I

1 represent 11 municipal utilities in Southern California and
2 one irrigation district. And all of these utilities know
3 that impacts of curtailed gas supply could have
4 ramifications for their reliable electric supply to their
5 customers. But I'm really here today to talk about those
6 medium and smaller utilities within the Los Angeles,
7 Greater Los Angeles area, Pasadena, Vernon, Glendale,
8 Burbank -- Pasadena, and talk a little bit about what
9 they're doing to prepare themselves for this summer.

10 Now, not all gas curtailments are the same,
11 especially for our smaller utilities. So, one of our
12 utilities is transmission constrained. They must have
13 local gas to meet their local loads. So, even if there's
14 utilities available that can supply energy that can have
15 some flexibility, there's no possible way because of this
16 transmission constraint to help that local utility. So,
17 there needs to be some recognition, working with the
18 balancing authorities, that these transmission constraints
19 would mean that not all curtailments are the same. We need
20 to think about that as we move forward.

21 The utilities are really deploying a lot of
22 measures to increase energy efficiency and to shift usage
23 away from peak hours. And, so, some of those I'd like to
24 talk about is that they're really deploying tremendous
25 amount of energy efficiency through LED lighting programs,

1 they're doing weatherization, air conditioning (AC)
2 tune-ups, pool pump replacements; a lot of the energy
3 efficiency measures that you hear from a lot of the
4 utilities, but the smaller ones are really focused in this
5 regard to get some of those things done.

6 But they're also very, very progressive, is that
7 the smaller utilities have really expanded the use of the
8 Ice Bear technology. They have about 4 megawatts on system
9 now, and that shifts load away from the peak. It
10 stabilizes ramps quite a bit. And Scapa just awarded a
11 contract for up to 100 units of the new smaller,
12 residential Ice programs so that our member utilities can
13 deploy those locally and, again, try to take some of that
14 peak load off the system and use that as a way of storage.

15 We also have one utility that's ready to go live
16 with 2 megawatts of battery storage. It may not sound like
17 a lot, but when their load is only a peak of 300 to 400
18 megawatts, it is a big part of their system. And that's
19 going to be available for this summer. And we think that's
20 really progressive on these -- by these smaller utilities
21 to do that.

22 They're also working on demand response. Many of
23 our utilities have an energy and a water utility. And, so,
24 they're coordinating to reduce pump load from the water
25 systems during those times of peak usage so that they can,

1 again, provide a demand response for this summer.

2 And they're also putting in their capital to test
3 new systems. For example, Pasadena last year tested
4 liquefied natural gas. They thought it was going to be a
5 great investment to shift from system natural gas to
6 liquefied. And, so, they spent their capital, they got
7 that up and running. But what they found out is that the
8 time it takes the gas company to switch from LNG, or from
9 natural gas to LNG, was a day-ahead response. Well,
10 curtailments come up way too fast where that could be
11 effective. And, so, what they found is by doing that, they
12 tested it and it's not a real functioning system for them
13 today even though they tried it. So, they're trying to put
14 their money in to protect their customers and testing
15 different technologies.

16 All of our municipal utilities are using public
17 appeal. So, while the Cal ISO has their flex alert, which
18 is very effective, our utilities are very close to our
19 customers and so it's very effective for us to send e-mails
20 and through social media and other mechanisms to get
21 directly to customers. And we are doing that on an ongoing
22 basis, and we find that it is effective.

23 So, in conclusion, electric system reliability is
24 a core component of public health, safety, and welfare. It
25 is a must have, not a nice to have; and everything from

1 healthcare to traffic control, critical communications, to
2 business rely on reliable electric supply. You know, so
3 luck is not a strategy. Planning for contingencies and
4 recognizing that system and components fail, loads as a
5 result of weather is uncertain and can change very, very
6 quickly, wild fires have impacts. Utilities plan for these
7 things to keep the system as reliable as possible. They
8 also plan for some level of gas constraint. That's why we
9 respond to OFOs. But that only has limits. And, so, I
10 think that it's fair to say that the smaller- and
11 medium-sized municipal utilities, quite frankly, they're
12 concerned about this summer. And with great faith and
13 trust, we are hoping that the systems prevail.

14 MS. WONG: Next, we'd like to hear from Kevin
15 Wood with Southern California Edison.

16 MS. WOOD: Do we have slides?

17 Thanks.

18 So, I am happy to be here today to share with you
19 what Southern California Edison has done to help mitigate
20 the limited gas operations for last summer, as well as what
21 we're doing this summer.

22 So, if we could go to the next --

23 So, I'll talk about, again, 2016 and 2017.

24 So, although we've seen in previous slides that
25 there's been sort of a relatively small incremental amount

1 of demand response, I just wanted to let you know that, at
2 least for Southern California Edison, we have a fairly
3 robust portfolio of demand response that really be can
4 triggered at any time. This is a potential simultaneous
5 trigger over 1100 megawatts that we've had. This does
6 include the 30 megawatts of incremental DR that we acquired
7 due to Aliso Canyon issues.

8 And since we have been talking about the Stage 1,
9 I wanted to point out that the first four line items are
10 likely a bulk, or at least some of the 800 megawatts that's
11 been talked about in response to the Stage 1 on May 3rd.

12 So, next slide, please.

13 So, obviously, an electric utility, and
14 especially -- and including Southern California Edison,
15 we're always ready and -- for reliability. That's part of
16 our job. So, we have organizations across the company that
17 are -- do this as part of their normal operations.

18 So, when we, you know, learned of the Aliso
19 situation, we quickly stood up sort of a coordinating team
20 that was sponsored by executives and had some dedicated
21 leadership and project coordination to just make sure that
22 these tracks of work, we're talking to each other so that
23 we weren't having any gaps or overlaps in the kinds of
24 things that each different area was doing.

25 So, just a quick slide on how we organized the

1 project. And this project team is in place again this
2 year.

3 Next slide, please.

4 So, this is just a snapshot, a summary of what we
5 accomplished in 2016. So, the first main bullet there on
6 the left, a lot has been said already about the
7 coordination amongst the gas purchasers and the agencies,
8 the additional balancing requirements. So, obviously,
9 Southern California Edison participated in that with our
10 market operations to a great extent.

11 We also had one new intertie real-time call
12 option product that we implemented last year.

13 Next bullet around the demand-side, management
14 activities or new resources. So, again, we added over
15 30 megawatts of traditional demand response resources, and
16 including the item that's been, again, discussed here a
17 little bit, our smart thermostat program that we
18 collaborated with the gas company. Edison offered a \$75
19 rebate for that program, and the gas company offered \$50.
20 And we were able to sign up over 14,000 customers. And we
21 only just began about July of last year. So, we were able
22 to expedite that program through the CPUC and launch that
23 and acquire 14,000 customers last year. So, that was
24 helpful and we were happy to see that progress.

25 We set ourselves a goal of 25 megawatts. You can

1 see the upper, right-hand chart for incremental demand
2 response. And by the end of the year, we did exceed that
3 slightly.

4 The green represents our base interruptible
5 program. That's, our large industrial customers rarely get
6 triggered, but they are the ones that got called on May
7 3rd, so we were happy that they responded.

8 We also were able to make some modifications to
9 current energy efficiency offerings and our
10 income-qualified activities and were able to gain a little
11 bit of new load there for those programs.

12 We were able to accelerate some of our local
13 capacity requirement resources. These were the ones that
14 were contracted and just received the go-ahead I think this
15 year. But we were able to expedite them one year ahead of
16 when they were originally going to be going online.

17 We, as has been talked about here, acquired
18 62 megawatts of electric energy storage. And we conducted
19 a very expedited demand response solicitation and were able
20 to achieve 11 megawatts under contract for that last year.

21 Next slide, please.

22 So, not to outdo Ed Randolph's pictures of our
23 storage facilities, but this just shows where these exist.
24 So, we have the Edison-owned new storage at our peaker
25 plants. And shows up there the Grapeland Peaker and

1 the -- oh, what's the other one?

2 I can't read it. Somebody help me.

3 UNIDENTIFIED SPEAKER: Mira Loma Tesla Battery
4 Energy Storage.

5 MS. WOOD: Center Peaker. Sorry.

6 So, we have two peaker plants, the Center Peaker
7 and the Grapeland Peaker that we have -- had 10 megawatts
8 each of battery storage that, basically, just helps the
9 turbines be able to quick-start and cuts down on the fuel
10 that they use.

11 We have the 20 megawatts of the Tesla Battery
12 Storage at Mira Loma, or near Mira Loma substation. And
13 then we have 22 megawatts total on contract from third
14 parties at Pomona and Grand Johanna.

15 So, next slide.

16 Next two slides are just some photographs of
17 the -- this, in particular, is our Grapeland Peaker
18 project. You can see the battery storage facilities in the
19 foreground, the peaker unit in the background. And these
20 were pursuant to Resolution E-4791.

21 Next slide.

22 And this is a photo of our Tesla battery units
23 near Mira Loma, and, again, pursuant to Resolution E-4791.

24 Next slide, please.

25 Okay. For 2017 -- actually, in 2016, we

1 developed a two-year plan, at least for our demand response
2 and some of the energy efficiency activities, so we are
3 basically just implementing the planned activities in 2017.

4 We expect or hope to get between 14 and
5 37 megawatts of additional incremental demand response
6 primarily through our third-party smart thermostat program
7 and the summer discount plan, which we've already actually
8 almost completed marketing around the summer discount plan
9 program.

10 Energy supply, again, will continue to have the
11 significant coordination with the state agencies. And
12 whatever new or continued balancing rules would be in place
13 for 2017. We do have some solicitations ongoing, not
14 necessarily related to Aliso, but we may get additional
15 storage from the 2016 Energy Storage RFO and the Integrated
16 Distributed NG Resource pilot. We may see some additional
17 storage related to those procurements.

18 Ongoing communications. As we did last year,
19 adjusting any messaging that we might need for the coming
20 summer. Again, we have launched our marketing campaigns.
21 It's important to get those campaigns launched in the
22 spring so that we can be ready for summer.

23 Emergency response. What we do, we'll be running
24 an exercise on our emergency response program fairly
25 shortly here and updating our electric emergency action

1 plan.

2 And I think I talked about demand-side
3 management. We will continue to do energy efficiency. Off
4 to the right there, the table is actually what's in the
5 pipeline and what we expect to bring into play for 2017 in
6 our energy efficiency program.

7 So, I'll just give a couple of examples. For
8 energy efficiency, we've tested in actually the PRP area,
9 LED tubes last year. And we just got approval on our work
10 paper to deploy LED tubes for 2017 across the territory, so
11 that will help. I don't have an estimate of the megawatts
12 available for that program. And we're continuing to
13 heavily market the energy savings assistance program.

14 And I think next slide -- I think that's all I
15 have.

16 MS. WONG: Our last speaker today is Issam Najm
17 of the Porter Ranch Neighborhood Council.

18 MR. NAJM: Thank you very much for the
19 opportunity to be here.

20 My name is Issam Najm, and I am the Board
21 President of the Porter Ranch Neighborhood Council. I'm
22 here speaking on behalf of the neighborhood council, but I
23 also need to stress that I'm not speaking on behalf of the
24 City of Los Angeles. I think the city has a lot of people
25 who can speak on its behalf.

1 You know, I spent Saturday preparing these slides
2 not knowing there was a dump into the docket on Friday. I
3 would have rather have read the reports and been able to
4 comment on those. I will have some comments, but if you
5 don't mind, I would like to go through some slides that I
6 have prepared.

7 Next slide. I testified here last year in
8 August, and I recognize that the question at the time was
9 how -- what do we need to implement in place to go through
10 the next summer. But I urged the panel at the time to also
11 ask the future question of, ultimately, how should the gas
12 and electric system be configured in order to operate
13 safely and reliably without Aliso Canyon. And that is the
14 community's perspective, that we need that question
15 answered. Now, realize all the process that is ongoing for
16 the long-term question to be answered. But I would like to
17 make some comments on that, if you don't mind.

18 Next slide.

19 It's been about a year now since then, and while
20 there are processes in place, I have not seen that question
21 yet written anywhere and posed as a real question. Not in
22 terms of what the future should be, but, rather, if we are
23 to envision a future without it, how should this system
24 look like. It could be a paper exercise that can be done
25 by anybody. And I proposed it to the gas company. I

1 proposed it to the city. Just a paper exercise, vision of
2 how it should look like without Aliso Canyon, to able to
3 avoid all these conversations, and yet no one has asked
4 that question. And I would like to ask it.

5 From our perspective, the disaster was a warning
6 shot across the bow. In fact, we submit to you that you
7 can only attain energy reliability after you eliminate the
8 need for Aliso Canyon.

9 And, with the little time that I have, I want to
10 walk through five facts that lead to this now. Now, there
11 was a lot of numbers thrown out today, and I'm going to
12 throw out some numbers as well. But they're very simple
13 numbers, they're one, two, three, four, and five. So, I
14 would like to go through them, if you don't mind.

15 Number one, in that October 2015, and that's, by
16 the way, about 580 days ago, the well -- one well in the
17 field out of 115 ruptured, resulting in the largest known
18 methane leak gas release in the U.S. The failure in one
19 well resulted in the emergency declaration, development of
20 new state regulations, expenditure of millions of dollars
21 of state cost, and tied up the staff times of countless
22 state regulatory agencies. That's one.

23 Let me go to two. When the leak happened, the
24 gas company informed us that they have hired the two top
25 national firms, AECOM and Fluor, to come up with a solution

1 to stop the leak. They were not able to do anything about
2 it. The leak continued. They explored Option A, Option B,
3 Option C. They could not do anything, and these are the
4 top engineering firms in the country scratching their head
5 about one well rupture.

6 Next slide.

7 Number three, the gas company tried three times
8 to inject heavy liquid into the well to prevent the gas
9 from coming out. And all times, the liquid will come out
10 with the gas through the casing, up the dirt and below the
11 dirt, and the chemicals up in the air. Chemicals that, by
12 the way, the community as of yet does not know what they
13 were. But it created a crater around the well that caused
14 a major concern about whether that well is going to break
15 off as the crater surrounded that well from the injection
16 of that liquid.

17 Next slide.

18 Four. It took them four months, for the gas
19 company and the consultants to stop one well. Four months
20 is a very long time. And I'm sure nobody would want that
21 to be happening next to them. But it happened next to us.
22 Four months until they drilled a well next to the other
23 well to intercept it at the bottom, inject cement at the
24 bottom. Four months to do it for one well.

25 In these four months, thousands of people were

1 relocated, left their homes, two entire schools had to be
2 evacuated for the entire academic years, and local
3 businesses were economically devastated. Everybody speaks
4 of businesses as if they are only gas users. Well, you
5 know what? There are businesses that live in the
6 community, too, and they were extremely negatively impacted
7 by this.

8 And, finally, number five. Number five is the
9 least discussed number. And I want to bring it up because
10 I find it amazing. The entire fiasco that we are dealing
11 with here was caused by the release of only 5 Bcf into the
12 air. The field was dropped from 86 down to 15 through
13 those 4 months. The assumption is that all that gas was
14 released, at least the majority of it. In fact, only 5 Bcf
15 was released into the air. 5 Bcf is what caused everything
16 that we are talking about, from all the environmental
17 damage that we are assessing. 5 Bcf out of the total that
18 was stored in that gas. And that was because of one well
19 rupture. There's still 15 Bcf in that field. That is
20 three times the amount that caused this entire disaster.

21 Next slide.

22 The state warns us that a major seismic event in
23 the region is not a matter of if, but a matter of when.
24 This entire disaster was caused by the rupture of one well
25 releasing only 5 Bcf of gas that took four months to stop.

1 What if an event happens that ruptures two wells? Four
2 wells? Twenty wells?

3 All the planning that's being done would be
4 useless in that event because everybody will just stand and
5 watch them release the gas because there's nothing that can
6 be done about that number when we know how much it took to
7 fix one well.

8 In our mind, how do we come to terms with that
9 when we're talking about reliability?

10 Next slide.

11 So, we ask you again as a community that has gone
12 through this to recognize that the urban underground gas
13 storage facilities are a ticking time bomb. Begin the
14 process of changing the system to operate safely and
15 reliably without them. Only then will we truly have energy
16 reliability, and only then will we be able to go back to
17 our lives and live them peacefully.

18 And I think that's the last of these slides. And
19 if you'd allow me, I'd like to make some comments about
20 what I heard today.

21 CHAIR WEISENMILLER: Briefly.

22 MR. NAJM: Yes.

23 CHAIR WEISENMILLER: We have many speakers lined
24 up and so a limited time.

25 MR. NAJM: Okay. We find it disingenuous on

1 behalf of the gas company to express concerns over storage
2 volume when they passed up on two months of opportunity to
3 inject gas and replenish that storage. It is only when
4 they received the CPUC's letter that all of a sudden now
5 we're able to get 250 and 260 million Bcfd into the other
6 storage. I would have loved for you to ask them why they
7 did not implement that when they were running low on
8 storage and yet they had the excess capacity. But that
9 question was not asked.

10 And for the electric gas, I would like to ask the
11 question, and I understand from the gentleman who spoke on
12 behalf of the small electric generators, I assume that that
13 LNG concept was about acquiring LNG in case of a shortage
14 as opposed to having LNG onsite. I'm not sure. But I will
15 ask the question. When we talk about --

16 CHAIR WEISENMILLER: Why don't you ask him that
17 question afterwards?

18 MR. NAJM: Can I pose it to you?

19 CHAIR WEISENMILLER: No. Ask him afterwards.

20 Let's keep going. Go ahead. Please, go ahead.

21 MR. NAJM: I appreciate that. Thank you. And I
22 am done.

23 CHAIR WEISENMILLER: Thank you.

24 First, I want to thank everyone for their
25 participation today on the panel, particularly appreciate

1 FERC coming out from D.C. to be here; certainly, a key
2 partner in going forward on this.

3 And I think one of the things that would be
4 useful is, Ed, could you come up and just address the EES
5 report on a very high level?

6 MR. RANDOLPH: Yes. Once again, Edward Randolph,
7 Director of the Energy Division at the California Public
8 Utilities Commission.

9 The -- and, I'm sorry, I've forgotten your name,
10 sir, the representative from the county of L.A.

11 MR. ACKERMAN: Jason Ackerman.

12 MR. RANDOLPH: Yes. Had referenced a study that
13 was conducted on their behalf by a company called EES. And
14 that study has been filed in several places. It's been
15 filed in response to what -- a draft of what we refer to as
16 the 715 Report. It's also been filed in the proceeding
17 here. And I think it's one other place as well, but those
18 are the two critical places.

19 Most critically, the 715 Report, which we didn't
20 talk about earlier today, requires the CPUC to make a
21 determination of how much gas is needed in Aliso Canyon in
22 order to maintain reliability in the system. That most
23 recent version of the report was released before this
24 summer assessment was done, was based on the prior winter
25 assessment and the prior summer assessments at that time.

1 It's important to discuss that and the EES report real
2 quickly, but that came to a determination that 29.2 billion
3 cubic field in the field were needed for reliability
4 purposes. And that number comes from looking at the total
5 need in summer and winter of this system, what can be met
6 by total pipeline capacity, what can be met by the other
7 storage fields, and what's the gap on a one-and-ten day on
8 that peak day. And the gap, with everything else, was
9 900 -- just over 900 million cubic feet we need to be
10 withdrawing from Aliso Canyon.

11 Looking at the number of wells that are available
12 for withdrawal at Aliso Canyon, the volume of gas you need
13 to get to that pressure was that 29.2 billion cubic feet.

14 What's important is that number is likely lower
15 now. Because we're taking into account mitigation
16 measures, because we're taking into account the new
17 transmission, that number will lower down. And, as later
18 drafts of that report come out, it will look at what was
19 done in this study.

20 But back to the EES report out there. Looking
21 largely at that 715 Report, it made a couple of findings.
22 You know, first, which was referenced by L.A. County, was
23 that the field is not needed between March and June of this
24 year for reliability purposes. We agree with that. You
25 know, those are low demand months. You can meet one-in-ten

1 in those months without the need for Aliso.

2 The second finding in that report was that -- the
3 second issue or issue of concern we had with that report
4 is, when looking at the ability of the field to meet
5 demand, it looked at the 15 billion cubic feet that were in
6 the field, but didn't take into account the fact that at 15
7 billion cubic feet the pressure wasn't high enough in the
8 field to meet that .9 billion cubic feet, the 900 million
9 cubic feet out there. And, so, they assumed at 15 billion
10 cubic feet that you would get the same pressure as you
11 would at a higher level, which is not accurate. You would
12 need to go higher for that.

13 Next, the report assumed that with the high hydro
14 year, hydroelectric could help resolve the issue. We
15 discussed that this morning. Both LADWP and Cal ISO
16 discussed why even in the high hydro year that doesn't
17 provide much additional relief within the L.A. Basin.

18 They made a side report that some of the CPUC
19 reports can be confusing and inconsistent in the way they
20 compared things. And we actually agreed with that. And
21 that's why in future reports we've made a great effort to,
22 when talking about electricity savings, to try to put that
23 in terms of therm savings and billion cubic feet per
24 savings, so we're using consistent numbers throughout and
25 make it more transparent.

1 The report also found that the withdrawals in
2 January were not necessary. CPUC is still taking a look at
3 the reasons for the withdrawals in January. There was some
4 data that was required to be provided to us. The reason
5 why we haven't released any sort of summary on that is that
6 becomes more relevant when we get into looking at the need
7 for better balancing core and, potentially, in the long-run
8 OIR. It's not particularly relevant and as we go into
9 summer and other planning exercises. So, you know, for
10 better or for worse, we had to triage that as we were, you
11 know, looking at a chain of events. But we were continuing
12 to look at the cause of those, the withdrawals on those
13 two days.

14 And then the -- that study looked at, and what
15 other studies have done the same thing, have looked at
16 balancing the system over the course of the day. And the
17 reality is the problem in the summertime is not balancing
18 it over the course of the day, it's balancing it over the
19 course of a few hours. And where you can see on even the
20 most peak summer days you can stay balanced over the course
21 of the day with numbers without Aliso, where all of the
22 analysis shows it's needed is on a day when there's a
23 sudden peak in demand due to the electric generation. And,
24 so, you really need to focus on the numbers on the hourly
25 withdrawals.

1 So, two things we're trying to do to address that
2 is, one, the assessment that was just released does talk in
3 both hourly withdrawal and in daily withdrawal. The other
4 is that some of that hourly data has been historically
5 deemed confidential. We've been trying to work with
6 parties who reach out directly to us to get them better
7 access to the hourly data. And, in the long term,
8 proceeding looking at the long-term need for it, I think
9 there will be an effort to make that publicly available to
10 any party to the proceeding who is not a market
11 participant.

12 And, then, lastly, the report found that the
13 mitigation measures work. We agree, and we appreciate the
14 compliment on that in the report. And the 715 analysis
15 that they were looking specifically at and this summer
16 assessment do take into account the impacts of the
17 mitigation measures. But even with those mitigation
18 measures, as we've discussed, there is some risk of
19 reliability shortfalls this summer without Aliso.

20 CHAIR WEISENMILLER: Thanks, Ed.

21 Any other comments?

22 Again, I'd like to thank the panel for being
23 here. Certainly, looking forward to your written comments
24 later.

25 Let's go over to now public comment. We're going

1 to use both the microphones. So, we're going to call two
2 names at once. We've got a lot of cards, so we're going to
3 go to two minutes. And, basically, again encourage people,
4 you know, to the extent you agree with someone who just
5 said something, you can leave it at that as opposed to
6 repeating, but, obviously, we'll hear.

7 Okay. So, let's start with Jane Fowler Ann
8 Deirdre Bolona.

9 And please excuse me if I botch people's names.

10 MS. FOWLER: Oh, I'm first.

11 Hi, I'm Jane Fowler. I'm a resident of
12 Granada Hills. And I do want to thank you for going
13 through all this. It's important to us, and I appreciate
14 it.

15 So, I was relocated for seven months. And, in
16 that time period, I wanted desperately to feel well. So, I
17 went to a -- what was it -- a detox center to get rid of
18 everything, you know, all the chemicals or whatever in my
19 body. And, believe me, it was miserable. It was really
20 different. But I did it. And for seven months, I worked
21 on myself, you know, trying to get healthy mentally,
22 physically.

23 And, literally, when I arrived back and went to
24 bed and woke up, the symptoms came rushing back. It looked
25 like I was pregnant. My stomach was bloated. The

1 headaches came back. Just everything came back.

2 While I was away, I had stopped my depression
3 medication. I had stopped antiseizure medication. And,
4 now, once again, I'm pretty much nauseous every day. I
5 have stomach issues, throat, headaches. You know, this
6 hair is not my hair, half of it isn't because my hair fell
7 out. I have body aches. I become dizzy, lethargic. I'm
8 so thirsty, it's -- can't be stopped.

9 And this is every day that you feel something.
10 Something hurts every day, and you don't know what it is.
11 I have a fear of waking up because I don't know what it is
12 for that day. I'm depressed. I'm very depressed. It's
13 been a year and a half of physical and mental torment. I
14 have kind of the classic symptoms of PTSD.

15 I've just called the realtor. I have to move
16 because the doctor said there is no cure other than to
17 move.

18 Thank you.

19 CHAIR WEISENMILLER: And Lane Semper, why don't
20 you come up.

21 MS. BOLONA: I had a three-minute speech, because
22 that's what we were told in the minutes, so I'm --

23 CHAIR WEISENMILLER: Well, I'm sorry it's two.

24 MS. BOLONA: I know it is now. So, I'm going to
25 not look at you like I wanted to so you could see what I'm

1 going with. I'm going to read quickly because it is so
2 important. Okay?

3 CHAIR WEISENMILLER: You can also file written
4 comments.

5 MS. BOLONA: Yeah, I think I'll put it in
6 written, too.

7 CHAIR WEISENMILLER: Yeah.

8 MS. BOLONA: Let me just start with, I'm a
9 17-year -- my name is Deirdre Bolona. I'm 17-year resident
10 of Porter Ranch.

11 The Aliso Canyon -- the
12 Aliso Canyon -- Aliso Canyon is a health issue masquerading
13 as an energy issue. Aliso Canyon will never be safe.

14 Methane emissions occur in all sectors of the
15 natural gas industry. They occur through intentional
16 venting, which I lived with the 17 years that I was there,
17 routine maintenance, and it leaks from
18 everything -- fissures in the ground.

19 So, people are still sick and suffering in Porter
20 Ranch and the vicinity. My family and neighbors have had
21 to live with the mercaptan poisoning for all these years.
22 The toxic stench has seeped into our home day and night.

23 On my block alone, we have five houses right
24 across the street from me with severe medical issues. I
25 mean, right across the street, a rare eye disease with lead

1 in their blood. Next door, a teen suffering from cancer.
2 Next door, two siblings with autoimmune disease. Next
3 door, a death from brain cancer. Across the street, a
4 death from kidney cancer. And, sadly, my own father is
5 dying from kidney cancer that I believe was contracted from
6 the trichloroethylene unknown kidney cancer in the toxic
7 odorant mercaptan. That's one of the many chemicals that
8 we know about, because they won't tell us because they're
9 protected by trade secret laws.

10 Our community has two elementary schools and a
11 middle school downwind from this facility with children
12 that play outdoors, breathing this stuff. Okay? We
13 had -- Castlebay Lane has had a huge amount of teachers die
14 from cancer. There's even a documentary being made now
15 called, "The Cancer at Castlebay Lane."

16 We heard LADWP today talk about these unplanned
17 events, unplanned events. Yes, there are unplanned events,
18 like the earthquake that might happen on the hill because
19 we have the Santa Susana Fault and the San Andreas Fault
20 right there ready to go. That's --

21 CHAIR WEISENMILLER: Okay.

22 MS. BOLONA: -- an unplanned disaster.

23 CHAIR WEISENMILLER: Okay. So please file your
24 written comments.

25 MS. BOLONA: Okay. I will.

1 CHAIR WEISENMILLER: We're going to --

2 MS. BOLONA: All right. Thank you.

3 CHAIR WEISENMILLER: Please. Thank you. Thanks
4 for being here.

5 And Helen Attai please come up.

6 Go ahead.

7 MS. LANE: Hi. My name is Lane Semper. I'm a
8 Los Angeles resident. Thank you for allowing public
9 comment.

10 I'm very grateful for your advocacy and efforts
11 in expediting transitioning from gas and oil to clean,
12 safe, 100-percent renewable solar and wind energy.

13 I had written notes before I came here, but after
14 listening to SoCalGas and the fossil fuel companies
15 advocate their energy, I wanted to throw something else in.
16 We should all be familiar with the name William Kamkwamba.
17 He was born into poverty, and from a book from the library,
18 created wind energy for his family with scrape-yard
19 materials, gum tree, and his bicycle tire. This was in
20 2002; fifteen years ago. He was 14 years old. He went on
21 to power his community. So, you know, this can be done.

22 I attended the United Nations Conference of the
23 parties. The public events, there were hundreds of
24 examples, people around the world that have transitioned
25 successfully, creating better jobs, safer jobs, safer

1 communities.

2 Los Angeles is among the smoggiest regions in the
3 United States. This pollution is reason enough to keep
4 SoCalGas Aliso Canyon permanently shut down.

5 I commuted here from the valley across from
6 Aliso, site of our nation's largest methane blowout. Along
7 the way, I did not see solar or wind farms. I saw gas and
8 oil facilities, power lines, and ample fossil fuel trucks.

9 Government subsidies continue to favor harmful
10 gas and oil. I hear this excuse as being sensitive to
11 business when all that means is someone's unable to find a
12 way to make money without hurting people physically,
13 economically, and otherwise. But countries around the
14 world have achieved this critical necessity.

15 Shifting subsidies from fossil to renewable
16 energy --

17 CHAIR WEISENMILLER: Okay. Thank you.

18 MS. LANE: -- is the solution.

19 CHAIR WEISENMILLER: Okay.

20 MS. LANE: Thank you.

21 Lorraine. And, actually, Alexander Nagy.

22 Please.

23 MS. ATTAI: My name is Helen Attai. I'm here
24 because my family and I have been sick and suffering from
25 SoCalGas poisoning for years.

1 Just to let you know, as we were here all today
2 for this workshop, there was a fire inside the Aliso
3 facility at about 10:20 this morning, with so many fire
4 trucks and helicopters to extinguish the fire.

5 As usual, SoCalGas is claiming that was very
6 small brush fire inside the facility. The thing is, even
7 if it was a brush fire with all -- which I doubt, it could
8 get very dangerous and potentially blow up north valley
9 with all the gas sitting there. Not sure how a brush fire
10 started by itself inside a gas facility. So many mysteries
11 up there.

12 There have been several scientific studies done
13 by different parties which proves that we do not need
14 Aliso. Something very important added to all those
15 scientific reports to me is that it has been proven in
16 real-life experience that Aliso Canyon gas storage is not
17 needed, and that's a fact.

18 We, the City of Los Angeles, have been without
19 Aliso for 577 days now. That means 577 days without using
20 Aliso Canyon storage. And guess what? No blackouts.
21 577 days of no need for Aliso. I'm eager to know why you
22 would think next 577 days or days after that is going to be
23 any different to make Aliso necessary for us.

24 We all do respect -- with all due respect, I do
25 not know where you get your information from when you're

1 saying that we had mild summer and mild winter, when
2 according to the National Oceanic and Atmospheric
3 Administration reports 2016 was California's hottest summer
4 since we started keeping records.

5 Those 577 days include two very wet and very
6 cold -- I mean, consider the record-breaking cold winter
7 and record-breaking hot summers --

8 CHAIR WEISENMILLER: Okay. Thank you. Thank
9 you.

10 Let's go on to Alexandra.

11 And next would be Andrea, also from Food and
12 Water Watch.

13 MS. LUNDQUIST: Hi. My name is Lorraine
14 Lundquist. I'm a resident of the north valley. And I want
15 to thank you so much for all of the work that all of you
16 have done on this issue and for going through all of these
17 reports with us and especially for all of the mitigation
18 measures that you have come up with and made sure have been
19 implemented. All these mitigation measures have made
20 it -- or partly made it possible to allow us to get through
21 the past year and a half without any injections at all into
22 Aliso Canyon and without even anyone suggesting that maybe
23 we might need to inject into Aliso Canyon.

24 And, obviously, gas balancing has been a huge
25 part of this, as the speaker said. What a surprise that

1 operating the gas system better actually worked. So,
2 imagine if we ran it even better and tightened up those
3 rules, not only for the non-core customers but also for the
4 core customers, to make sure that they have to actually
5 burn the amount that they order and not just burn the
6 amount that they forecast. Excuse me. That their
7 forecasts have to match their order, but that their actual
8 burn rates have to match their order.

9 And, then, you've also added this extra measure
10 of increasing the storage in the other gas fields. And I
11 am so confused about why SoCalGas has made so little
12 progress on this measure. You would think it would be a
13 no-brainer that if you think you need storage that you need
14 to build up your storage capacity. But, apparently, it
15 wasn't a no-brainer, so you sent them a letter on
16 March 30th. And yet here we are still on May 22nd still in
17 the same boat with very little storage in those other gas
18 facilities.

19 Like Commissioner Randolph, this inaction makes
20 me question whether SoCalGas' commitment to implementing
21 these measures is really genuine. But you know what makes
22 me really question it is the withdrawal that they did in
23 January without following all of the mitigation measures
24 that you guys came up with at previous workshops. So, I
25 really encourage you to include some kind of enforcement

1 mechanisms to make sure that these --

2 CHAIR WEISENMILLER: Okay.

3 MS. LUNDQUIST: -- these mitigation measures are
4 really followed.

5 Thank you.

6 CHAIR WEISENMILLER: Thank you.

7 Okay. Let's go on to Alexandra, and, again,
8 after her will be Andrea.

9 MS. NAGY: Good afternoon. Alexandra Nagy,
10 Senior Organizer with Food and Water Watch.

11 I wanted to also congratulate this excellent
12 staff and panel for a total about-face from what we saw
13 last summer with the threat of 14 days of blackouts, to all
14 of the hard work, and now a cautiously optimistic report.

15 I would like to reiterate some of the comments
16 made by Tim O'Connor at EDF, talking about a lot of the
17 inconsistencies between the California Gas Report. Even
18 last winter risk assessment looked at two modelings: The
19 mass balancing equation found that we could meet
20 5.1 billion cubic feet of demand; and then the hydraulic
21 modeling simulation preferred by SoCalGas so could meet 4.5
22 to 4.7 demand. And now the latest report has really shaved
23 that down to 3.6. And then the California Gas Report has a
24 much larger estimate.

25 So, I'm really confused as to why all of a sudden

1 that number is almost a billion cubic feet less than what
2 we saw in the winter as being able to meet that demand.

3 I'd like to also talk about the withdrawals in
4 January. The settlement agreement that happened on
5 December 1st and was extended through most of the remainder
6 of this year, I think really sold us short. It went from
7 requiring OFO tariff procedures in case of surpluses or
8 shortages instead of that 5-percent daily balancing.
9 During the withdrawal period on January 1st, SoCalGas let
10 their system get up to 20 percent out of balance on
11 December -- I'm sorry. Wrong page. ...their system got
12 23 percent out of balance on the 24th, their first day of
13 withdrawals, then 27 percent out of balance on the 25th,
14 their second day of withdrawals.

15 And, then, as noted in the L.A. Times article and
16 through our own investigation, we found that they actually
17 ordered less gas on the pipeline system.

18 So, I would love to talk with you about that.
19 The investigation needs to happen. You need to be public
20 with that. And we need to go back to 5-percent daily
21 balancing.

22 CHAIR WEISENMILLER: Thank you.

23 Let's go on to Andrea.

24 MS. LEON-GROSSMAN: Hi. My name is Andrea

25 Leon-Grossman --

1 CHAIR WEISENMILLER: And Daryl Gale will be next.
2 Please go ahead.

3 MS. LEON-GROSSMAN: -- with Food and Water Watch.
4 First, I want to read the definition of
5 reliability. That's the quality of being trustworthy or
6 performing consistently well.

7 And it's clear that Aliso Canyon is not reliable.
8 The system for natural gas is not reliable. What is
9 reliable is sun, wind, and battery storage.

10 Right now, I have solar in my roof, and I had
11 that for five years. His not new technology; it's existing
12 technology. And I'm a customer of LADWP, along with
13 another 20,000 households. However, I cannot have battery
14 storage in my house right now because LADWP doesn't allow
15 that. And it will be wonderful if that could be changed
16 right now, because we could add battery storage
17 immediately. And that I will be happy to have that. That
18 would add reliability immediately. And nothing is more
19 reliable than having that, especially in case of an
20 earthquake.

21 The Chamber of Commerce is concerned about
22 reliability. This is a surefire way to increase
23 reliability. The Chamber of Commerce admitted to say that
24 SoCalGas is also a member of them, and I think that should
25 have been disclosed. Also, they don't advocate for

1 efficiency jobs. And there's a lot to be had there.
2 Four percent of buildings right now in the city are using
3 50 percent of the energy. There's a lot of jobs to be had
4 there, and there's a lot of energy that's being wasted
5 right now. We need to tackle that. That's a surefire way
6 to add reliability, to be wasting less energy, and to add
7 jobs.

8 The manufacturers' association didn't advocate
9 for that. That's something we need to tackle right now.
10 We need to stop the waste; we need to use our electricity
11 efficiently; and we need to transition to clean energy
12 right now. This is not new technology; it is technology
13 that is available right now off the shelf.

14 Thank you.

15 CHAIR WEISENMILLER: Thank you.

16 Okay. Daryl Gale and V. John White.

17 Please come on up, John.

18 MS. GALE: Okay. Thank you. We really need to
19 consider the whole picture in-depth here because we are
20 here to talk about reliability.

21 It is critical for everyone to understand that
22 more greenhouse gas emissions are contributing to our
23 severely overburdened atmosphere. That well blowout
24 contributed an enormous amount of methane to our air.

25 I don't live anywhere near Porter Ranch. I live

1 in downtown Los Angeles, and I live in a solar apartment.
2 We have 115 solar panels on our roof.

3 People suffer all over from the same long and
4 permanent summer that we have created through our American
5 lifestyle. Numerous people over here said that we had a
6 mild summer. I don't think we had a mild summer. Check
7 any scientific website.

8 Also, last month, it was documented we are now at
9 410 parts per million of carbon in our atmosphere. All
10 this carbon holds in more heat and more pollutants. If you
11 want to know about the health problems, about breathing in
12 methane, first listen to the people who live there. And
13 there's a report on Physicians for Social Responsibility,
14 that's psr.org. It's a free 36-page report about all the
15 problems of breathing in methane.

16 And we have never, ever, ever here in Southern
17 California been in compliance with Federal Air Quality
18 Standards. This is not something to be proud of.

19 So, reliability, we're talking about. The only
20 thing reliable about natural gas storage plants and a
21 storage facility is the reliability that it is going to
22 leak eventually. And this was a test case to let us know
23 what we need to work towards.

24 Thank you.

25 CHAIR WEISENMILLER: Thank you.

1 V. John White and then Armando Flores, please.

2 MR. WHITE: Thank you, Mr. Chairman, members.

3 I, first of all, want to thank the Commission
4 and -- both commissions and all the hard work that you've
5 been doing, and particularly the evidence of the results of
6 the cooperation that you have engendered across the gas and
7 electric system with LADWP, Cal ISO, and Edison. This is
8 the work that we're going to need to do more of going
9 forward.

10 We now understand that the reliance on natural
11 gas for reliability has turned out to be not fully
12 understood. And, as we unravel the alternatives, I think
13 there's some lessons for us going forward, in particular,
14 the importance of cooperation and sharing of reserves and
15 sharing of data and just working together. This is an
16 ongoing issue we're going to need to pursue.

17 Also, we think that if we peel back a little bit
18 some of the assumptions that have been made about how much
19 power we need in particular locations under the local
20 capacity requirement versus other ways that we have of
21 providing the same attributes. I think one of the things
22 that is really important is to recognize that when we we're
23 talking about reliability we're talking about attributes
24 that are needed in particular locations, whether it's
25 voltage or whether it's inertia or so forth. That those

1 attributes can be provided, and you've already seen
2 evidence of this through the rapid improvements in
3 technologies where we could combine batteries with slow
4 demand response and get the equivalent of burning the gas.

5 So, I think this is an important lesson for us
6 going forward. And I just want to commend to you keep at
7 this. I know there's a lot of pressure. There's a lot of
8 emotion. But there's also a lot of terrific hard work that
9 you've been doing and that we can still do.

10 I do want to emphasize that I don't think the gas
11 company's record on conservation has been as robust as it
12 needs to be, and I'm glad that got discussed.

13 Thank you.

14 CHAIR WEISENMILLER: Thank you.

15 Okay. Armando, and then Christine McLeod on
16 behalf of Lucy Labruzzo, please.

17 Go ahead.

18 MR. FLORES: Good afternoon. My name is Armando
19 Flores and I'm with the Valley Industry and Commerce
20 Association, VICA. We represent over 400 businesses and
21 non-profits across California.

22 From both a business and an air quality
23 perspective, keeping key parts of our energy
24 infrastructure, such as Aliso Canyon, is critical. A
25 reliable energy supply is the foundation of our economy.

1 Removing one critical element of our energy system makes
2 Los Angeles vulnerable if another element fails.

3 The impact of an unreliable energy supply is
4 significant to businesses. A shortage of natural gas will
5 impact the largest users first, large industrial users,
6 refineries, and electricity generators.

7 The effects of this unreliability will be
8 significant to employers.

9 As mentioned today, this summer is expected to
10 have a higher risk of outages. We need to remind ourselves
11 of the cost of outages for a medium or a large commercial
12 customer, a momentary loss of power costs just under
13 13,000. An eight-hour outage costs an average of 84,000.
14 For small commercial customers, an eight-hour outage cost
15 an average of \$4,690. Less eye popping, but for a small
16 business, a significant cost.

17 Outages cause manufacturers twice as much as
18 non-manufacturers, which is especially important in
19 Los Angeles, the biggest manufacturing center in the
20 country. The manufacturing sector employs over half a
21 million people in Los Angeles. These are good-paying jobs,
22 and we risk these jobs by not making every effort to ensure
23 energy reliability.

24 We need to work to safely bring Aliso Canyon back
25 online.

1 Thank you.

2 CHAIR WEISENMILLER: Thank you.

3 Christine, and then Patricia Glueck next.

4 Go ahead.

5 MS. MCLEOD: Thank you so much for the
6 opportunity to speak with you today.

7 This statement is given on behalf of Lucy
8 Labruzzo, who could not be here today. She's a Senior Vice
9 President at our company, Cordoba Corporation.

10 By way of credentials, Lucy is a mechanical
11 engineer and certified energy manager with 26 years of
12 experience working solely with energy infrastructure,
13 including regulatory power generation, electric and gas
14 transmission, and energy efficiency.

15 Energy reliability throughout Southern California
16 remains a significant concern. Our energy infrastructure
17 system requires a holistic, comprehensive approach to
18 ensure for reliability.

19 With the State Water Resources Control Board's
20 once-through-cooling policy and San Onofre no longer in
21 operation, Southern California already relies heavily on
22 power from outside the region.

23 As a result, one of the greatest risks is
24 transmission line interruptions caused by wildfires,
25 transmission line capacity limitations and substation

1 equipment failures. A significant threat to transmission
2 lines exists with pervasive California wildfires,
3 particularly this summer, as confirmed by the National
4 Interagency Fire Center, due to the rain and increased
5 vegetation growth.

6 As a region, we cannot solely rely on
7 hydroelectric power or renewable energy resources, as they
8 come from outside the region for the most part.

9 There's enough technical information to cause
10 apprehension about reliability. Multiple experts have gone
11 on record in agreement that Aliso Canyon is necessary to
12 meet the region's energy needs.

13 The bottom line is that, without Aliso Canyon in
14 full operation, curtailments are more than possible with
15 potentially devastating impacts to our communities and
16 businesses throughout the regions.

17 Based on Lucy's 26 years of experience working in
18 the energy sector, with transmission lines at risk and few
19 other reliable local power sources, full operation of
20 Aliso Canyon is critical to energy reliability in Southern
21 California.

22 Thank you for your time.

23 CHAIR WEISENMILLER: Thank you.

24 Okay. So, Patricia next. Come on up.

25 And, while she's going to the microphone, Brandon

1 Matson, if you could go to the other microphone, that would
2 be great.

3 MS. GLUECK: Okay. My name is Patricia Glueck.

4 As one of the 200,000 residents living near
5 Aliso Canyon, I have wanted to talk about the active
6 earthquake faults and the high fire danger, as well as the
7 engineering studies which show that Aliso Canyon is not
8 needed for energy reliability, but instead I need to talk
9 about some organizations, including many who are here
10 today, who receive money from the gas company every
11 year -- and this is per the G077M report -- like VICA that
12 spoke recently, \$25,000 a year.

13 These groups in return will parrot a script given
14 to them by SoCalGas. And that script screams, There will
15 be blackouts and people and businesses will die.

16 But here's the thing, some people have died and
17 others have become seriously ill but because of the toxic
18 chemicals that have spewed out from SS 25 during the 2015
19 blowout.

20 Fifteen days ago, someone lost her battle with
21 bladder cancer. And that's considered usually caused by
22 environmental factors, such as exposure to toxic chemicals.

23 A 13-year old with diagnosed with aplastic
24 anemia. This is another disease that is often caused by
25 exposure to toxic chemicals.

1 Another child, just 7 years old, developed AML,
2 acute myeloid leukemia. This particular strain is rarely
3 seen in minors. And one major cause is exposure to toxic
4 chemicals.

5 These are a few examples of how this gas storage
6 facility has been harming us.

7 And the gas company won't tell us what they've
8 used on SS 25. They filed a health study for the damage
9 it's caused us. And, despite the commitments made
10 regarding allowing a root-cause analysis into why the
11 blowout occurred, it's fighting that, too.

12 So, please be aware of the propaganda the gas
13 company has been spreading. That gas company site --

14 CHAIR WEISENMILLER: Okay.

15 MS. GLUECK: -- needs to be shut down because it
16 will never be safe.

17 CHAIR WEISENMILLER: Thank you.

18 Let's go on to Brandon Matson.

19 And if Cheri Derohanian could come up, that would
20 be great.

21 MR. MATSON: Great. Thank you. Good afternoon.
22 My name is Brandon Matson. I'm the Advocacy Director for
23 the Los Angeles County Business Federation, known as
24 BizFed --

25 (Interruption.)

1 MR. MATSON: -- which is a grassroots --

2 CHAIR WEISENMILLER: Please let him speak. Let
3 him speak.

4 MR. MATSON: -- which is a grassroots alliance of
5 more than 160 business associations, representing over
6 325,000 employers with 3 million workers in L.A. County.

7 Safety and energy reliability are both very
8 important to us. In this slide, Aliso Canyon has met
9 safety requirements and is critical to energy reliability
10 in Southern California and to our region's economy.

11 With the continued restrictions on operations at
12 Aliso Canyon, we are concerned about our region's energy
13 reliability, especially for the coming summer which has
14 been mentioned extensively today as being forecasted to
15 have a significant chance of higher-than-average
16 temperatures.

17 As we know, when heat waves hit, use of
18 electricity surges as people turn on their air conditions
19 and fans, which causes an increase in natural gas demand,
20 as roughly 60 percent of electricity in the region is
21 generated using natural gas.

22 When this happens, natural gas is critical
23 because gas-powered peaker plants can be ramped up quickly
24 to meet electric demand spikes. And, without local
25 supplies of natural gas available, there is risk that there

1 might not be enough natural gas available to meet these
2 hourly changes in electric demand, which would have
3 negative impacts on our county's residents, businesses, and
4 workers.

5 We need Aliso Canyon at its full capacity to
6 ensure we have the energy supply needed to power our region
7 this summer.

8 Thank you.

9 CHAIR WEISENMILLER: Thanks.

10 Let's go on to Cheri, and then Brad Jensen.

11 MS. DEROHANIAN: Hello. My name is Cheri
12 Derohanian.

13 I'm a resident of Porter Ranch for the last
14 15 years. I have twin daughters, who are 7th graders at
15 Porter Ranch Community School. And, at the time of the gas
16 leak, they were forced to run a mile a day at the school.
17 No one even knew what was going on. The school didn't have
18 any kind of response because they'd never had a gas leak
19 catastrophe of that nature.

20 Thirty thousand residents, fifteen thousand of
21 them had to move away. Two schools closed. Henry Stern
22 from Malibu, one of my friends because I'm from Santa
23 Monica originally, he was gifted enough to write
24 legislation such as SB 380 under Senator Fran Pavley's
25 direction. And he since has done Senate bill 57 to find

1 root-cause analysis.

2 I have just one thing to say: If a plane crashed
3 and you were lucky enough to survive, would you actually go
4 up in that plane again if nobody analyzed what the cause of
5 the crash was? Let's be real here.

6 I appreciate all that you've done, the PUC, and I
7 appreciate that you've strengthened the rules and made it
8 so that the other storage facilities have to have more gas
9 injected because Aliso has been closed.

10 But make no mistake, it's not your job to police
11 SoCalGas; it's your job to make better regulations, better
12 rules, oversight for the safety, welfare of everybody who
13 lives in Southern California and the United States.

14 Thank you.

15 CHAIR WEISENMILLER: Thank you.

16 Marcel, would you come up, too.

17 Next. Go ahead, please.

18 MR. JENSEN: Good evening. I'm Brad Jensen. I'm
19 with the San Gabriel Valley Economic Partnership. We are a
20 regional economic development corporation covering eastern
21 Los Angeles County, essentially from Pasadena out to
22 Pomona. You are currently in the San Gabriel Valley;
23 welcome.

24 Thank you very much for the hearing today. It
25 was very thorough and very interesting, providing a great

1 depth of information regarding a very complicated issue.

2 Reliability is the primary concern for the
3 business community in the region that I represent.

4 Businesses depend on a reliable energy supply for their
5 operations and for their production. Energy loss, even for
6 a short time, has a major effect on the long-term success
7 of these businesses and their numerous operations here in
8 the region.

9 Companies that have to ramp down production in
10 the midst of an electricity loss reasonably worry about the
11 affect it will have on their long-term prospects in the
12 state, on their bottom lines. And this, in turn, affects
13 thousands of employees and their families who work at these
14 companies.

15 The economic partnership fully supports the
16 efforts of the state regulatory agencies to ensure safety
17 at Aliso Canyon and determine the cause of the gas leak.
18 Safety rightly should be a top priority for the state. But
19 the priority of safety must be balanced with a reasonable
20 concern over the very thin margin we have for electrical
21 generation without Aliso Canyon, which affects potentially
22 millions of residents throughout the Southland.

23 It is not an exaggeration to state that the
24 margin of our natural gas supply without Aliso Canyon is
25 precarious.

1 Much has been said today about the limited
2 storage capacity without Aliso. The state should carefully
3 consider the serious challenges the generation system faces
4 without adequate supplies of natural gas readily at hand.
5 This is a concern for businesses in my region, but also for
6 residents throughout Southern California.

7 Thank you.

8 CHAIR WEISENMILLER: Thank you.

9 Marcel and Amy Yue-Lap-Wan, please.

10 MR. HAWIGER: Thank you very much
11 Chairman Weisenmiller and Commissioners.

12 My name is Marcel Hawiger. I'm a staff attorney
13 with the Utility Reform Network.

14 TURN obviously participates to represent
15 ratepayers at the Public Utilities Commission, and we'll be
16 involved in looking at all the nitty-gritty details and
17 analyses. But I want to just take this time to make two
18 more general observations.

19 There was discussion about balancing. And you
20 saw the slide that showed that of the various remediation
21 efforts changes in balancing rules contributed to more than
22 90 percent of the potential benefits in reducing the need
23 for gas storage and gas use last summer. And there was
24 discussion that the core needs to do more. And,
25 absolutely, we should make use of the data from the

1 advanced meters. The core already balances day in and day
2 out every day. It's just they balance to a forecast, and
3 they will do better when we balance to the actual meter
4 reads.

5 But keep in mind that what you are calling daily
6 balancing, for the rest of the system, which is all of the
7 industrial customers and power plants, it's not daily
8 balancing. SoCalGas proposed daily balancing two years
9 ago, but instead there was a settlement that provided for
10 tightening balancing during critical days, OFO days, but
11 not on any of the other days. We don't know whether
12 balancing other days actually could help by getting the
13 system more -- starting at a better spot during an OFO day.
14 Also, those settlements will expire. So, we need to make
15 sure that those settlements are extended and that also
16 perhaps more can be done, as you asked, with the balancing
17 rules.

18 Second, there is genuine concern, why hasn't
19 SoCalGas put gas in storage. We deregulated gas storage
20 for most of the customers 20 years and more ago. SoCalGas
21 only buys for residential customers, and they pay to inject
22 gas. The reason we're not using more storage is because
23 all of those other customers, including the power plants,
24 whose reliability we're concerned with, don't use it.

25 CHAIR WEISENMILLER: Thank you.

1 Amy and Anthony D'Aquila from Pasadena.

2 MS. YUE-LAP-WAN: Blackout. Blackmail. Who
3 receives mail anymore? Going paperless, but at what cost?
4 Stay inside, stay inside, comes the phone call through the
5 line. Is the air inside the home any different from the
6 air around the sky? Blackouts. Gas prices. Carpooling
7 hype. Who do we pay to keep the lights on and why? Who
8 asks us to conserve and still lies all the while? Diamond
9 Bar. Sacramento. Porter Ranch, and L.A. Where can we go
10 to find the regulators, the leaders, the cheaters, and the
11 liars? Are you reliable? Can the Aliso Canyon facility go
12 on? Shut it down. Shut it down. Shut it all down. Kids
13 with rare diseases. Half a black of community CANCERS.
14 Elder folks that have no strength to leave their homes.
15 How would it feel to be poisoned in your bed and to bleed
16 through school and work, in the hospital lobby? Leaks.
17 Paid off groups. Thirty thousand lawsuits. Energy
18 shortages feigned. Neighborhoods compromised. Can you
19 take back the toxins flowing through their blood? There is
20 no reliability in corporate greed. Reliability.
21 Reliability. Never will there be reliability. Never can
22 being bought and sold be reliable. Never will burning fuel
23 be safe or reliable. Never has SoCalGas been reliable.
24 Now, even a home cannot be reliable to protect us from
25 danger, to shield us from pollution, to harbor safe

1 dreaming. Safe energy. Renewable energy. Clean energy.
2 Energy to rely on. With all of the money circulating and
3 the science crunching through, be accountable to be
4 reliable, which means to be well and good, to be trusted,
5 not to kill your neighbor, to remember where you come from,
6 and take care of what gives life to you. So, shut it down.
7 Shut it all down. Shut it all down.

8 Thank you.

9 CHAIR WEISENMILLER: Thank you.

10 Next speaker is Anthony, City of Pasadena.

11 And, Anna Jung, please come up.

12 MR. D'AQUILA: Good evening. My name is Anthony
13 D'Aquila. I'm the Interim Assistant General Manager of
14 Power Supply at the city of Pasadena.

15 I'm here to state Pasadena's support for safe
16 operations at Aliso Canyon Storage Facility. Without
17 question, health, safety, and residents -- or health and
18 safety of the residents near Aliso Canyon is paramount.
19 However, we appeal to you for options that address both the
20 operational safety of Aliso Canyon and electric
21 reliability.

22 Cities like Pasadena have transmission and
23 operational constraints that prevent the import of enough
24 electricity to meet 100 percent of their peak demand.
25 Pasadena has five local natural gas-fired power plants,

1 which are necessary to meet the city's peak electricity
2 needs.

3 During 2015, Pasadena relied on our local
4 gas-fired generation to mitigate import constraints on
5 67 days.

6 In 2016, this reliance increased to 74 days.

7 On these days, our local gas plants were needed
8 15 to 17 hours per day. This equates to more than
9 two months in both years where a portion of our Pasadena
10 residents would be experiencing rolling blackouts for
11 almost three-quarters of the day without the support of
12 local natural gas-fired generation.

13 Pasadena agrees that there is value in conducting
14 a root-cause analysis of the conditions under which the
15 leak occurred. However, we urge for consideration of
16 identifying options to mitigate the potential rolling
17 blackouts if the moratorium remains in place. The need for
18 electric reliability and safe operation at Aliso Canyon
19 Storage Facility and the health and safety of neighboring
20 residence are not mutually exclusive.

21 On behalf of the residents of Pasadena, we thank
22 you for your consideration.

23 CHAIR WEISENMILLER: Thank you.

24 Please, go ahead.

25 MS. JUNG: HI. My name is Anna Jung, and I'm

1 here representing Anthony Duarte.

2 CHAIR WEISENMILLER: And I was going to say, and
3 Patty from the Orange County Business Council please come
4 up.

5 MS. JUNG: Okay. My name is Anna Jung, and I'm
6 here representing Anthony Duarte, who can't be here today.

7 First of all, thank you so much for all the work
8 that you've done and you got a lot more work to come.

9 As CEO of the Regional Chamber of Commerce of San
10 Gabriel Valley, I represent the interests of many local
11 businesses in my area and serve to strengthen and support
12 them in their local economy.

13 That being said, reliable energy is one of our
14 most valued resources, as it plays a massive role in each
15 of our businesses day-to-day activity.

16 With summer just around the corner, I'm here
17 today to express my concern about reliable energy in the
18 region, specifically, relating to Aliso Canyon.

19 The Aliso Canyon Storage Facility is a key
20 component of guaranteeing reliable energy, especially in
21 the upcoming months where we are sure to face extreme
22 temperatures and higher energy demands. Aliso Canyon is
23 essential to our businesses and their success. Without it,
24 a significant threat of long-term service interruptions
25 looms over our heads, and reliable energy could be a thing

1 of the past.

2 For the sake of our business owners, their
3 employees, and their customers, I feel it is critical to
4 resume injections at the Aliso Canyon Storage Facility.

5 Thank you.

6 CHAIR WEISENMILLER: Thank you.

7 Patty.

8 MS. CONOVER: Good afternoon. Thank you for
9 hearing my comments today. My name is Patty Conover, and I
10 am Director of Communications for Orange County Business
11 Council.

12 As we approach the second summer now without the
13 use of Aliso Canyon Natural Gas Storage Facility, it is
14 critical that Southern California Gas Company is allowed to
15 resume operations at Aliso Canyon.

16 The utility has indeed completed a comprehensive
17 suite of tests and upgrades at the facility under the
18 direction of DOGGR and independent technicians to ensure
19 the facility is ready and safe to end the [unintelligible]
20 closure.

21 A viable and sustainable flow of natural gas is
22 critical to the economic well-being of Southern California
23 and the state as a whole. The longer Aliso Canyon is
24 inoperable, the more Southern California's energy is
25 threatened.

1 Currently, more than 95 percent of Southern
2 Californians use natural gas for their homes, and about
3 60 percent of the electricity used in California comes from
4 power plants just like Aliso Canyon that run on natural
5 gas.

6 When Aliso Canyon is operational, Southern
7 California Gas can buy gas at lower costs and store it
8 benefiting consumers. If the facility remains out of
9 operation, we may experience continued insecurity of not
10 knowing whether enough natural gas will be available to
11 fuel Southern California homes and businesses when needed.

12 OCBC commends the hard work and diligence of
13 SoCalGas in ensuring that the facility is secure and ready
14 to meet the demands of the region's vibrant and dynamic
15 communities.

16 And thank you very much and have a good
17 afternoon.

18 CHAIR WEISENMILLER: Thank you.

19 I think we've got -- everyone in the room who had
20 a blue card has been called. So, let's go to the WebEx.

21 MS. RAITT: Okay. So, we have one person on
22 WebEx, Craig Galency [phonetic].

23 CHAIR WEISENMILLER: Please, go ahead.

24 MR. GALENCY: Hi. Good afternoon. Hopefully,
25 you can all hear me.

1 CHAIR WEISENMILLER: Yes, we can.

2 MR. GALENCY: Very good.

3 Thank you for your time. Thank you for an
4 excellent workshop. I am a 26-year resident of the north
5 San Fernando Valley and I live in very close proximity to
6 the blowout.

7 I'd like to make a point because I work with a
8 lot of corporations and deal with leadership and
9 management, and I think what I'm seeing here is -- I think
10 my position is a little bit different than what others have
11 pointed out. Is that in the beginning of today' workshop I
12 heard quite a bit of information about mitigation and
13 creative solutions and how to work around the issues we
14 have with Aliso Canyon. But then quickly what happens
15 is -- you guys can still hear me, correct?

16 CHAIR WEISENMILLER: Yes, we can. Go ahead.
17 Keep going.

18 MR. GALENCY: Very good. Thank you.

19 What I heard very quickly after that is when
20 SoCalGas came up and spoke. Rodger, you know, your
21 30 years there, maybe you don't have creative ideas and new
22 solutions, but you were completely in discussion of
23 constraints, what we can't do, not what we can do to help
24 be creative problem solvers in the situation.

25 So, Chairman Randolph at the CPUC, I think it's

1 absolutely time that your organization and the others
2 representing today challenge and look at SoCal's culture
3 and their activities and really ask yourselves, Are they
4 operating as a good partner or are they solely here to
5 demonstrate and advocate for the opening of Aliso Canyon.

6 Edward, don't let them off the hook. They owe us
7 an answer for January. Okay.

8 I didn't like your response of why you don't have
9 an answer to that.

10 Last thing I want to mention is the advocates for
11 businesses, et cetera, you guys only talk about how we have
12 to open up Aliso Canyon, but you don't talk about putting
13 more pressure on the mitigation or battery or any other
14 option that is at the disposal of LADWP. Okay, guys? It's
15 obvious you're reading a script from SoCalGas. Stop doing
16 that. Okay? This is not in the best interest of region or
17 the community.

18 Lastly, Dorothy, if you really believe that
19 energy reliability is a reason why companies don't come to
20 Southern California or California in general, you're
21 wasting your constituents' time. There are far bigger
22 issues than reliability of energy.

23 Thank you for your time everyone.

24 CHAIR WEISENMILLER: Thank you.

25 I believe we've covered -- gotten all the public

1 comment.

2 It's time for Commissioners.

3 You want to start?

4 MS. KERR: Yeah. I just wanted to thank all of
5 the work that went into this workshop. It was very
6 informative. I think it's -- the analysis shows that it
7 looks like we can make it through this summer, but only if
8 things go well.

9 And, so, I commend all the agencies, and I hope
10 that we can deal with all of those contingencies and
11 avoid -- hopefully, the weather will cooperate, and that
12 issues like forest fires and things will not impact
13 reliability.

14 So, we will keep working at the PUC on all of the
15 different Aliso Canyon fronts, including our long-term
16 viability proceeding.

17 And thank you for all your participation.

18 CHAIR WEISENMILLER: Yeah. I'll go next.

19 First, I certainly want to thank everyone for
20 their activity today and for their participation. It's not
21 easy to obviously pull the agencies together and have this
22 sort of common presentation and fairly complicated analysis
23 that we had to walk through.

24 I think, certainly, the good news on the
25 mitigation measures is that, so far, they have been

1 working. I think part of the message to people is that,
2 going forward, some of these key issues are in your hands.
3 You know, again, everyone out there is saying, Shut it
4 down. Please, go home, put LED bulbs in your house. You
5 know, look at putting solar on your roof, solar thermal
6 potable tanks, you know.

7 It's really time to start moving in that
8 direction. A lot of it is very cost effective. It reduces
9 greenhouse gases. It reduces pollution. I mean, at the
10 same time look at electric cars. I mean, you know, in this
11 area, certainly -- yeah, I'm just saying, hey, electric
12 cars -- again, most of you drove out through -- drove
13 internal combustion engines out here, and that doesn't help
14 really.

15 We have to really electrify the transportation
16 system to really make progress in this area. Dealing with
17 smog, we have to do that for not only automobiles but, you
18 know, 30 percent of your economy is goods movement. So, we
19 need trucks. We need buses. We need, you know, to really
20 go through and start making those changes.

21 And, again, if you are thinking about it, do it
22 today. I mean, again, let's not wait.

23 And, then, certainly, when we do have a flex
24 alert, please, please, do whatever you can at that point to
25 reduce your loads so we can adjust to the situation.

1 Because we will have surprises, but, again, it's -- you
2 don't -- the future is really in your hands in this area
3 and we need action now.

4 COMMISSIONER DOUGLAS: I just wanted to say
5 briefly that I also appreciated the very informative
6 presentations. Happy to see and hear from all the public
7 comment. And, so, I just, you know, wanted to thank the
8 agency staff for pulling this together.

9 COMMISSIONER HOCHSCHILD: First, my thanks to
10 everyone who helped organize this hearing today.

11 And I just particularly wanted to address the
12 people who live adjacent to Porter Ranch because it's not
13 easy to come to a hearing and talk about health impacts and
14 to go through that.

15 And, you know, what I heard today actually
16 mirrors many of the same symptoms I saw when visiting a
17 fracking site recently. There are consequences to our
18 current energy system that are not acceptable. They're not
19 acceptable to me personally, they're not acceptable to our
20 state. And I just really wanted to urge you to keep
21 speaking out and being relentless.

22 And, yesterday, I attended a very moving memorial
23 service for the former Chair of the California Energy
24 Commission, Jackie Pfannenstiel, who was one of those quiet
25 leaders who was extremely effective. And she planted a lot

1 of the seeds of success that we're now seeing flourish on
2 renewable energy and energy efficiency. But her success, I
3 think, came mostly from just being relentless. And that's
4 what we have to be as we build this clean energy future.

5 And I just really want to thank, particularly,
6 the residents who came and spoke from the heart today.
7 Thank you.

8 COMMISSIONER TISOPULOS: And, Mr. Chairman, thank
9 you very much to start with, you know, for holding the
10 workshop here in our back yard. As you can tell, it's an
11 issue near and dear to all of our hearts regardless of
12 whether we are representing the community, the businesses,
13 or the agencies.

14 I, personally, found the information exchange
15 extremely useful. And, again, I want to thank you very
16 much for holding it here.

17 MR. DOUGHTY: Chair Weisenmiller and staff,
18 Kevin, Heather, Lana, all -- everybody, you did a great
19 job, as always.

20 I learned a lot today, and I thank the members of
21 the public, members of the industry, members of business,
22 who came to share their views. This is an emotional and
23 difficult topic, but we held a constructive conversation
24 today and will now move forward into another summer with
25 plans and ideas for fortifying our energy resiliency in

1 Southern California.

2 So, thank you.

3 COMMISSIONER RANDOLPH: I would just like to echo
4 those comments and thank you. This has been a wonderful
5 venue. I appreciate the dialogue. Clearly, a lot of
6 emotion on both sides. We all have a vested stake in
7 having a reliable system for our communities that we serve.

8 And I appreciate that we are working together
9 better. We have seen some phenomenal results from those
10 efforts, and we need to commit to continuing that. And
11 also encourage the R&D communities to come up with
12 additional advanced technologies that we can use to truly
13 integrate and get to that 100 percent clean energy that we
14 need in the future.

15 CHAIR WEISENMILLER: Thank you.

16 This meeting is adjourned.

17 (Whereupon, the workshop adjourned at 5:36 p.m.)
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 12th day of May, 2017.



MARTHA L. NELSON, CERT**367

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 12th day of June 2017.

A handwritten signature in black ink, appearing to read 'Kelly Farrell', with a stylized flourish at the end.

Kelly Farrell
Certified Shorthand Reporter
CSR No. 8081