

## DOCKETED

<b>Docket Number:</b>	17-BSTD-01
<b>Project Title:</b>	2019 Building Energy Efficiency Standards PreRulemaking
<b>TN #:</b>	220124
<b>Document Title:</b>	Transcript of the 06/22/2017 Staff Workshop on Nonresidential Lighting Measures for the 2019 Standards
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	7/12/2017 1:55:10 PM
<b>Docketed Date:</b>	7/12/2017

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the matter of, )  
 ) Docket No. 17-BSTD-01  
 )  
2019 Building Energy Efficiency )  
Standards )

**STAFF WORKSHOP ON  
NONRESIDENTIAL LIGHTING MEASURES  
FOR THE 2019 STANDARDS**

CALIFORNIA ENERGY COMMISSION  
FIRST FLOOR, IMBECHT HEARING ROOM  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

THURSDAY, JUNE 22, 2017

9:03 A.M.

Reported By:  
Gigi Lastra

## APPEARANCES

CEC Staff Present

Payam Bozorgchami, Project Manager, 2019 Building Standards

Thao Chau, Building Standards Office, Efficiency Division

Simon Lee, Building Standards Office, Efficiency Division

Martha Brook, Senior Engineer

Peter Strait, Supervisor, Building Standards Development

Mazi Shirakh, ZNE Technical Lead & Advisor to the 2019 Building Standard Staff

Presenters Present

Jim Benya, PE, FIES, FIALD, Benya Burnett Consultancy

Public Present

Bernie Bower, Integrated Lighting Concepts, Utilities Consultant

Jon McHugh, McHugh Energy Consultants, Inc.

Charles Knuffke, WattStopper

Gary Flamm, Gary R. Flamm Consultant

Greg Ander, Architect

Nancy Clanton, Clanton & Associates

Tanya Hernandez, Acuity Brands Lighting

Kelly Cunningham, PG&E

Christopher Uraine, Consultant

John Martin, Public Policy Consultant to the International Association of Lighting Designers, Co-Chair of the California Energy Alliance

Cheryl English, Acuity Brands Lighting

**CALIFORNIA REPORTING, LLC**

229 Napa St., Rodeo, California 94572 (510) 313-0610

## APPEARANCES (CONT.)

Neall Digert, Solatube International

Peter Schwartz, Principal Investigator, Lawrence  
Livermore National Lab

Michael Scalzo, National Lighting Contractors  
Association of America

Michael Giovanni (phonetic), Lutron Electrics, CIA

Rick Haring (phonetic)

Erin Linney, CASE Team

Michael McGaraghan, Energy Solutions, California Utility  
Team

Cori Jackson, California Lighting Technology Center

Stefaniya Becking, Energy Solutions, CASE Team

Doug Avery, Co-Chair of Cal CEA, Co-Chair of Cal CTP

Craig Ochoa, Morrow-Meadows Corporation, CEA

Annie Kuczkowski, Clanton & Associates

Mudit Saxena, Vistar Energy Consulting, CASE Team

Michael Mutmansky, TRC Energy Services

## INDEX

	Page
Welcome - Payam Bozorgchami	5
Introduction to the 2019 Standards Update - Payam Bozorgchami	5
Indoor Lighting Sources - Jim Benya	11
Public Comments and Questions	38
Indoor Lighting Controls - Jim Benya	62
Public Comments and Questions	88
Non Residential Lighting Alterations - Thao Chau	114
Public Comments and Questions	121
Outdoor Lighting Sources - Simon Lee	143
Public Comments and Questions	146
Outdoor Lighting Controls - Simon Lee	151
Public Comments and Questions	158
Advanced Daylighting Design - Simon Lee	180
Public Comments and Questions	184
Adjournment	210
Reporter's Certificate	211
Transcriber's Certificate	212

## P R O C E E D I N G S

1  
2 JUNE 22, 2017

9:03 A.M.

3 MR. BOZORGCHAMI: So, once again, my name is  
4 Payam Bozorgchami. I'm the Project Manager for the 2019  
5 Standards.

6 (Pause)

7 MR. BOZORGCHAMI: So, some housekeeping items.  
8 The restrooms, out the double doors to your right, a  
9 snack bar on the second floor. And in the case of an  
10 emergency, let's meet up at the park across, kiddy-  
11 corner from us, the Roosevelt Park, and we'll figure out  
12 what to do there.

13 So, the presentation today is on nonresidential  
14 lighting. And Mr. Jim Benya's going to go first,  
15 provide the indoor lighting source, indoor lighting  
16 control measures. Thao Chau is going to do the lighting  
17 alternations. And Simon is going to do the outdoor  
18 lighting measures.

19 These next few slides, I'm going to go through  
20 them real quick. All these presentations will be posted  
21 on our website by tomorrow. We've got a lot going on  
22 today and I just want to make sure we have enough time.  
23 It's going to get 111, 110 degrees. It's a small room,  
24 I apologize. So, I want to get you guys out as fast as  
25 you can but, at the same time we can have enough time to

1 take questions and comments.

2 After every presentation we'll pause for a Q&A  
3 session on that topic and others, and we'll move on to  
4 the next if there's nothing in the room or from the  
5 WebEx that's being televised.

6 We are being recorded. And when you come up to  
7 the podium, these microphones are not the best, and I  
8 apologize, so you really need to speak clearly, loudly  
9 into the mic, so it can be recorded by our court  
10 recorder.

11 So, Energy Commission started in 1974, founded  
12 by Jerry Bell in 1975. We were here for energy  
13 efficiency measures. We have a lot of acts and measures  
14 that we have to meet by certain periods. 2020 for  
15 energy efficiency for ZNE is what we'd call it, for  
16 residential by 2020, nonresidential by 2030. We need to  
17 look into the climate change and the whole global  
18 warming situation that's happening.

19 Other measures here at the Energy Commission  
20 that we need to look in and focus on, these are some of  
21 those areas that we look into. Our goals, our mandates  
22 are energy efficiency and demand response. Our primary  
23 goals here at the Energy Commission is that we look at  
24 renewable generation and the most cleanest way of doing  
25 so.

1           The Energy Commission staff, with the help of  
2 the utilities and the utility team, help develop the  
3 standards every three years. I'd have to give a special  
4 thanks to the utility equipment groups that have worked  
5 with us, that those would be PG&E, Southern Cal Edison,  
6 South Cal Gas, San Diego Gas & Electric, Sacramento  
7 Municipal Utility District, Los Angeles Department of  
8 Water & Power, Southern California Public Power  
9 Authority.

10           I'd also like to thank Kelly Cunningham and  
11 Heidi Halenstein (phonetic), who's been facilitating a  
12 lot of these communications with the Energy Commission  
13 staff and the CASE Team and the CASE Authors. Without  
14 them, we'd still be working at the beginning.

15           As you know, California is divided into 16  
16 climatic zones. It's a little bit different than what  
17 you see in ASHRAE. If you're familiar with that,  
18 California's divided only into maybe two or three  
19 climate zones within the ASHRAE climatic map. The  
20 majority of California is in Climate Zone 3. For  
21 California it doesn't make sense where you have Santa  
22 Monica and Death Valley in the same climate zone.

23           What we do, what we present has to go through a  
24 vigorous life cost analysis based on the TDV. TDV is  
25 the value of energy for every hour of the year.



1           So, this is one of Mazi Shirakh's favorite  
2 graph. He's been showing that off to everybody. He's  
3 proud of it because he had a lot to do with this. The  
4 downtrend for California, it looks good and we need to  
5 keep it going.

6           The 2019 Standard process, right now we're in  
7 the pre-rulemaking and after these next few months we  
8 will be communicating, and we need your input. We need  
9 that today, as you hear the measures and the proposals,  
10 to come back with a final CASE Report. The final CASE  
11 Reports will be due back to the Energy Commission within  
12 the next five weeks. And from there, we're going to go  
13 into the 45-day language process. And, hopefully, we'll  
14 get the 45-day language out by the end of this year.  
15 The end of November or December era is what we're  
16 looking into and then we'll go into the 15-day language  
17 after that. It seems like a lot of time but, in  
18 reality, it's not.

19           So far these are the scheduled workshops that  
20 we've had here at the Energy Commission. Residential  
21 envelope, I don't think anybody in this room cares,  
22 other than me, because that's my favorite area.

23           Indoor air quality, mechanical systems were done  
24 earlier this week. And today being the 22<sup>nd</sup>, we've got  
25 the nonresidential lighting measures.

1           We're required to look at hospitals and as of --  
2 under the 2019 Standards we will be scoping hospitals  
3 and hospital lighting, mechanical envelope measures that  
4 we're going to be incorporating into Part 6 of Title 24.  
5 That will be happening on July 13<sup>th</sup>.

6           July 18<sup>th</sup> is the rest of the residential  
7 mechanical systems. Then July 28<sup>th</sup> is the whole  
8 transition to solar storage with energy design rating,  
9 where Mazi's going to present. It's a full day workshop  
10 here at the Energy Commission. What the EDR is for Part  
11 6 and what the EDR will be for Part 11. Those are the  
12 CALGreen measures that we will most likely be presenting  
13 here on August 30<sup>th</sup>. If not August 30<sup>th</sup>, it will be about  
14 September 12<sup>th</sup>. We'll send out notices on that, shortly.

15           All of the utilities sponsored stakeholder  
16 workshops, the CASE Reports will be presented, will be  
17 posted on the Title 20 for utility sponsored  
18 stakeholders' website.

19           And, yet, our building efficiency program  
20 website, which has all the historical code languages and  
21 what's happening for 2019, all the workshop notices and  
22 so forth will be posted there.

23           And comments to today's workshop, please submit  
24 it to the third link there. And we would like to have  
25 all comments into us by July 7<sup>th</sup>, if possible. It's

1 about two weeks. This gives us enough time to work with  
2 the authors and communicate back with you folks, and  
3 take care of the issues as needed.

4           Some contact information. You've got Mazi's,  
5 and I think everybody here knows him by now, information  
6 there, my information. Larry Froess, he's our Senior  
7 Mechanical Engineer responsible for the software  
8 development for the residential and nonresidential.  
9 He's our lead engineer on that.

10           Peter Strait is our Supervisor for our Building  
11 Standards Development. If you guys have issue with  
12 Simon, Thao, please contact him.

13           And if you have issues with Peter, or me, or  
14 Mazi, contact our Office Manager, Christopher Meyer.  
15 And Todd Ferris is our Supervisor for our Software Tool  
16 Development staff.

17           Any questions? All right. It's very important  
18 for your folks to really participate today because we  
19 need your comments and, I mean, just working on the  
20 three we don't have enough time for this code cycle to  
21 really procrastinate on measures, and comments. So,  
22 like I said, the 45-day language is right around the  
23 corner. It's going to be here fast.

24           So with that, I'm going to have Jim Benya do his  
25 presentation.

1           MR. BENYA: Well, good morning everyone.  
2 Welcome back to our every-three-year experience in  
3 improving our standards. I've been involved with this  
4 process for several decades, now. And I'd like to offer  
5 you an observation to build on what you said earlier,  
6 Payam, about where have we been and where are we going.

7           If we look back at Title 24, the very first  
8 version of the lighting standards, back in 1978, and we  
9 look how far we've come, we've gone from typical office  
10 building lighting in the 1970s that was designed at  
11 between 4 and 6 watts a square foot was considered to be  
12 normal.

13           I can remember getting chewed out by a client  
14 because we weren't putting in at least 4 watts a square  
15 foot worth of lighting.

16           In this standards that we're going to be looking  
17 at here, in a few minutes, we're now down to about one-  
18 tenth of that to be expected from the typical  
19 office/commercial building that only a very short time  
20 ago was ten times as much.

21           That's how far we've come. And Title 24, in my  
22 opinion, has been historically the leader, always  
23 leading the pack to make the standards more rigorous,  
24 more demanding, and industry has responded by making the  
25 products that have allowed that to occur.

1           This has always been a collaborative process and  
2 I want to thank everybody for being here and  
3 participating in the program. We've got a lot to cover  
4 so, with no further ado, I'm going to start talking  
5 about this.

6           First of all, we want to acknowledge, and I'll  
7 probably do this about three times this morning, the  
8 participation of two particular stakeholder groups in  
9 particular, the Statewide Utility Codes and Standards  
10 Team and the California Energy Alliance. These two  
11 organizations have worked very hard in the last several  
12 months to prepare CASE Reports and information leading  
13 up to some of the proposed standards you're going to see  
14 here today.

15           The idea of the standards, this generation, to  
16 mantras we always talk about are modernizing and  
17 simplifying. Modernizing by taking into account the  
18 impact of LEDs. LEDs change everything we think about  
19 when we write standards. I can think about standards  
20 provisions that were written in some 20 years ago,  
21 thanks to the shortcomings of compact fluorescents that  
22 we don't have to worry about anymore.

23           So, it's those, Smart lighting, new power  
24 systems, demand response and grid stability are all  
25 modern issues that change the way we look at the

1 standards.

2           But at the same time there's an outcry for us to  
3 make them simpler somehow, anyhow, and we're very  
4 conscious of that. My work, as a consultant to staff,  
5 is to be, oh, maybe right it a little hard and say is  
6 that as simple as we can make it. I promise you that's  
7 one of the things that I like to do.

8           We are going to be seeking stakeholder input on  
9 a number of things. This is sort of my list and I'm  
10 going to go through it quickly because we've got a lot  
11 to cover. But these are some of the things you will  
12 hear us talk about this morning, me and my colleagues  
13 from staff. But I want to just bring up a few things  
14 that speak to these.

15           First of all, the legacy lighting and socket  
16 issues. Isn't it about time to embrace all lighting as  
17 LED and not worry about it?

18           Unique and changing IES-recommended practices.  
19 Nancy, you wouldn't know anything about that, would you?

20           Extremely low lighting maintenance is a new  
21 issue. We're now looking at lighting, light bulbs you  
22 don't change. What does that do to the way we think  
23 about things?

24           New configurations in luminaire types and new  
25 power systems, powered over Ethernet or POE, and

1 distributed DC power are right over the horizon of  
2 changes we're going to be making in how we want our  
3 buildings. How are we going to accommodate that with  
4 the standards?

5           How to accommodate white color tuning? A very  
6 popular issue, now, amongst manufacturers and designers  
7 worldwide. How are we going to accommodate that in the  
8 standards? Every time we do something that clever,  
9 sometimes it takes all new language and I think we're  
10 going to have to do that.

11           Similarly with color changing, now that color  
12 changing is part of architectural lighting we have to  
13 have a way to deal with it.

14           Of course, this whole new light and health area,  
15 where it's like Circadian and Human Centric are coming  
16 up commonly in architectural dialogue. And we're going  
17 to have to have a way to deal with that.

18           And, of course, the Well Building Standard. For  
19 those of you who aren't familiar with it, take a look at  
20 it. This is probably one of the most comprehensive and,  
21 frankly, difficult lighting standards to meet and it  
22 often conflicts with the energy codes, both Title 24  
23 and, of course, 90.1 and IECC.

24           In all of the above, talking about in both the  
25 context of indoor lighting and outdoor lighting. And

1 many of you, if not all of you, have heard by now the  
2 American Medical Association said, last year, all  
3 outdoor lighting should be 3000 K or preferably less.  
4 How are we going to address that? Or, are we going to  
5 address that in Title 24?

6           When I say Title 24, I'm really talking about  
7 Part 6. You know, there's a Part 11, called CALGreen,  
8 in which these things might be addressed.

9           How to accommodate facilities for an aging  
10 population? We are definitely getting older and  
11 especially a few of us, and it's time we started  
12 thinking about -- you know, the IES was very clear in  
13 the 2011 Handbook, it says for people over the age of  
14 65, the recommended light levels are double what they  
15 are for the core group of 25 to 65.

16           Now, we have healthcare facilities coming up.  
17 We've never dealt with those before. They are complex.  
18 And it's going to be interesting to see how we integrate  
19 those into the standards.

20           There's also a new color system that the IES has  
21 introduced. California has led the way by embracing  
22 high color rendering LED lighting as part of the  
23 standards. And more in the residential side, but it  
24 also raises the question which should the standards be  
25 based on for the nonresidential side? We'll have a



1 little discussion about that, perhaps later today.

2 I want to cite one particular thing in the Well  
3 Building Standard. It requires a color rendering index  
4 of 90, but it also requires an R-9 of 50 minimum. These  
5 are not numbers that are necessarily easily met. Once  
6 you get to a CRI of 95, in a classical sense, then it's  
7 pretty easily met. And thank you for the research you  
8 guys did. That really helped explain a lot.

9 How to accommodate network lighting controls?  
10 When we talk about lighting controls indoors, which I'll  
11 be talking about in a few minutes, and replace the  
12 outdoors as well, where do network lighting controls  
13 fall into those?

14 Now, that the DLC has introduced a standard for  
15 network lighting controls is this something that we need  
16 to accommodate in the standards today or is this  
17 something that is a 2022 item?

18 I want to add that this week we're working on  
19 the 2019 standards, knowing that 2022 is being  
20 designated a major upgrade standard. Every decade or so  
21 that occurs and in the 2022, if I'm not -- I hope I'm  
22 not speaking out of turn here, Mazi or Payam, but that's  
23 the one we're looking at and saying that's where big  
24 changes are going to come.

25 Demand response and net stability and, of

1 course, the idea of big data are all hanging out there  
2 for us to be aware of.

3           The ready availability of very low-cost LED  
4 lamps with conventional sockets, and wattage ratings of  
5 luminaires with medium-based Edison screw sockets. And  
6 for that matter, legacy sockets of all kinds, as I  
7 mentioned earlier, are topics because Section 130.0 is  
8 how do we say how many watts a luminaire is in doing the  
9 calculations? That's a very important area.

10           How to accommodate no standard wattage or lumen  
11 product sizes anymore? For years I helped create tables  
12 for the standard that said if you have two F-32, T-8  
13 layouts, it is 60 watts, or 56 watts, or whatever it  
14 became.

15           We don't have standards anymore. The only de-  
16 luminaire in the same product line, depending upon the  
17 color temperature can have different wattages or  
18 different lumen packages.

19           And, of course, the rapid changes in efficacy  
20 cause a constant change in product watts. Everything  
21 we're basing our calculations on today are our best  
22 guess at the efficacies we're going to be using in 2019,  
23 or 2020 to be exact. But that's a best guess. We've  
24 all learned from LEDs that's a moving target.

25           So, on any of these comments, again, I'm asking

1 personally, as a consultant, but also on behalf of the  
2 Commission, if you had any input on these and other  
3 items, as they come up today, please submit that  
4 information, as Payam said, by July 14<sup>th</sup>. Here is my  
5 personal e-mail. If you want to correspond with me,  
6 feel free. Otherwise, feel free to send them to staff  
7 and I guarantee you they'll be circulated.

8 I'm going to move beyond questions. So, we're  
9 going to start with the nonresidential indoor light  
10 sources, which really means the lighting power densities  
11 and all the other things having to do with indoor, other  
12 than controls.

13 Most of the proposals for this section have been  
14 submitted by the CASE Team, the Statewide Utility Codes  
15 and Standards Team. And staff has reviewed these. I've  
16 reviewed these. We have a few comments at the end, but  
17 I want to just cite the CASE Team as having done really  
18 excellent work this year.

19 To all of you who are here, and I see a number  
20 of you, my compliments. This is probably the best set  
21 of documents I've seen, reading these things since  
22 before there was a utility statewide group. Very, very  
23 good work.

24 Starting to talk about indoor lighting power  
25 densities. The single biggest thing we do every time

1 around is we look at the indoor power densities and say  
2 now the technology has improved, what numbers should we  
3 be using today? Remember I said earlier at the start of  
4 all of this, back when, we were putting in numbers like  
5 3 watts a square foot, 4 watts a square foot for  
6 classrooms and office buildings. We're now talking  
7 about numbers that are in the area of 10 to 20 percent  
8 of that because of those advances.

9 Well, because of the LEDs, everybody in the room  
10 probably knows by now that LEDs have taken us from a  
11 high performance T-8 base down to an LED base. And that  
12 is a jump and the jump keeps getting bigger, I think,  
13 every day. That's one of the cool things about what  
14 we're doing today. It also keeps me awake at night  
15 thinking about what changed today that I didn't know  
16 about.

17 So, we're going to update the lighting power  
18 density values for indoor lighting. We're going to  
19 reflect the increased efficacy and increased optical  
20 control associated with LEDs and modify the allowed  
21 lighting power for all three calculation methods.

22 Remember, for the prescriptive method in the  
23 standard, which is the primary thing we work on here, in  
24 these hearings, there's a complete building method, the  
25 area category method and the tailored method. There are

1 three different calculation procedures. They're  
2 supposed to give you the same results if the input data  
3 matches. In other words, if you pick the right sample,  
4 they will give you the same results.

5 But they're also intended to give you different  
6 results if the input data is variable. There is bigger  
7 demands and bigger requirements than are assumed with  
8 the basic model.

9 They have to account for increases in LED  
10 efficacy mandated by Title 20, in 2016, and USDOE LED  
11 efficacy regulations that are being developed  
12 concurrently to the work that we're doing here.

13 It builds upon efforts to update the LPD  
14 requirements in ASHRAE/IES/USGBC 189.1.

15 There are two standards out there that we always  
16 think about as we go through this process. One of them  
17 is ASHRAE/IES Standard 90.1. Standard 90.1 is the  
18 national reference standard for energy codes. We are  
19 required by law to be equal to or more -- how shall I  
20 put it? More stringent than those standards. And we  
21 have historically not only done that, but we've tended  
22 to lead the pack by at least a couple of years.

23 Things have changed. IES, USGBC and ASHRAE have  
24 gotten together to create standard 189. 189, and Jon  
25 McHugh is in the room, Jon serves on the committee. I

1 served on the committee about 10 years ago. Standard  
2 189 is the sustainability code. But it also introduces  
3 the notion that as part of sustainability lighting power  
4 densities can actually be a little bit lower than 90.1.  
5 And so, that is all part of the discussion that we're  
6 involved with.

7           But we are, first and foremost, obligated to  
8 coordinate and work with ASHRAE/IES Standard 90.1. And  
9 one of the things that does happen, and we will mention  
10 this several times today, is we're proposing a change  
11 somewhere so that 90.1 and Title 24 can be, essentially,  
12 the same. This is to the advantage of everybody in the  
13 country, every manufacturer as well as every  
14 practitioner.

15           The scope of the change proposal is pretty  
16 modest for indoor lighting power densities and, in fact,  
17 for this entire light source portion of the  
18 presentation.

19           We have two significant -- each one of these is  
20 pretty significant, but there are only two. One of them  
21 is to modify the lighting power density values and the  
22 other one is to streamline the lighting power  
23 calculations.

24           And what we're seeing here is modifications to  
25 the prescriptive measures of Section 140.6(c), which

1 will affect the compliance software. It does not affect  
2 the compliance forms.

3           And the proposed changes to streamlining  
4 lighting power tend to be more in other sections that  
5 relate to this. In particular, Section 130.0(c), which  
6 is how much -- again, how much power is a particular  
7 luminaire? What do we count?

8           I think everybody in the room probably knows we  
9 use power as a surrogate for energy. How many watts is  
10 a way energy codes are done.

11           I think everybody also knows that energy is  
12 kilowatt hours, not watts. But the process involves an  
13 inference that there's a baseline for standard controls,  
14 which established the operating time.

15           One of the big issues, as part of our standards  
16 of course, is how the controls affect the lighting power  
17 at any given time. But that will come up in the next  
18 section when we talk about indoor lighting controls.

19           The advantages of the proposed changes, first  
20 your electricity savings statewide will be 82.4 gigawatt  
21 hours per year. I'd say somewhere between 80 and 90 is  
22 probably a better guess. You know, to say it's 82.4375  
23 is a little bit too accurate.

24           A first year peak electrical demand reduction of  
25 12.1 megawatts. The first year water savings and first

1 year natural gas savings of course don't apply.

2           But these are the required calculations. As  
3 part of presenting a CASE Report you've got to say --  
4 remember, this is at the core of everything we propose.  
5 Number one, it's got to save energy. Number two, it's  
6 got to be cost effective using products that are readily  
7 available from a number of manufacturers. It can't be  
8 one company and it can't be something that isn't readily  
9 available. It's got to prove itself to be cost  
10 effecting using those.

11           Number three, it's got to have impact statewide.  
12 That's why this calculation is done. You know, we could  
13 say for example that if we change all the nightlights in  
14 the State and require them all to be 1 watt LEDs, you  
15 could say, well, that's nice but it doesn't really have  
16 much of a statewide impact. You know, if you add them  
17 all up, it isn't much. So, that's why we go for the big  
18 fish, not the little fish, when we're fishing for  
19 improvements.

20           Legacy issues. Track lighting power and power  
21 limiters are legacy issues. For those of us that have  
22 been involved in the process, the idea of power limiters  
23 was introduced about 17, 18, 19 years ago as a means to  
24 accommodate the constant improvements in efficacy of  
25 track lighting equipment.



1           And, of course, what's happened now is we've  
2 seen LED luminaires come in, in screw-based products  
3 that can go right into those existing track luminaires.

4           And I don't know if any of you have messed  
5 around with any of these products, but I certainly have.  
6 And you can take a 60- to 80-watt halogen lamp down, put  
7 in a 15-watt LED and get better, or at least equal, and  
8 usually better performance. That's pretty amazing. But  
9 the great thing about it is that's an inexpensive  
10 product, now. The payback period is like a year.

11           So, we're at the point where many of our  
12 assumptions are no longer really -- you know, nobody's  
13 going to do anything that stupid and if they do, it's  
14 their problem. They'll pay for it in many different  
15 ways.

16           Similarly, requiring recessed luminaires to be  
17 rated at 50 watts. That's a legacy issue.

18           So, what's being proposed here in, Section  
19 110.9, mandatory requirements, Section (c), track  
20 lighting integral current limiter, the proposed  
21 requirement is to remove the certification. This is now  
22 not really anything we need to worry about or burden  
23 inspectors with.

24           Track lighting supplementary, over-current  
25 protection panel. There were two primary solutions for

1 the track lighting power issue, as a function of the  
2 work that we did some 20 years ago. One of them was an  
3 inline device. One of them is a secondary, over-current  
4 protection panel. They're going bye-bye. This is we're  
5 now at the point where it doesn't make any sense, and it  
6 just becomes an additional piece of paper.

7           Lighting power densities, a summary of changes.  
8 First of all, the Section 130.0, lighting systems and  
9 equipment, and electrical power distribution systems,  
10 general. The proposed requirements will simplify the  
11 language and remove the language prohibiting LED screw-  
12 base luminaires to be classified as high efficacy light  
13 sources. It proposes new, lower watts per square foot,  
14 with or without the use of current limiters.

15           Peter?

16           MR. STRAIT: I'm going to jump in really quick.  
17 Because this is kind of a key phrase, the high efficacy  
18 sources, this is not about having them certified under  
19 JA-8. This is simply that instead of saying that if  
20 you've got a legacy socket you are assigned a luminaire  
21 rating, it allows us to look at the LED that's actually  
22 going into that socket and rate the power use base on  
23 what's actually in the socket.

24           MR. BENYA: Yeah, that's a great point. It's  
25 something that I've been wishing for, on behalf of

1 inspectors, for about a decade or so. There's an easy  
2 way to do this and there it is.

3           Okay, Section 140.6, prescriptive requirements  
4 for indoor lighting. 140.6-B, the proposed requirements  
5 will revise the LPD values for the complete building  
6 method. These new lower values will reduce electricity  
7 use and replace incumbent lighting sources with LED as  
8 the baseline.

9           Remember, everything's in reference to a  
10 baseline. And, historically, the baseline, one of the  
11 first things we do in the process is what is the  
12 baseline? It wasn't that long ago the baseline was  
13 fluorescent, whether it was T-8, T-5, high performance  
14 T-8. The baseline is now LED.

15           140.6 will do the same thing for the area  
16 category method.

17           140.6-D will revise the values for the tailored  
18 method.

19           140.6-G, the proposed requirement will revise  
20 the LPD values. That's a table that is used to  
21 establish LPD values. The new, lower values will reduce  
22 electricity use, et cetera, et cetera.

23           The Section NA7.7.3, track lighting integral  
24 current limiter, these will be deleted. The primary  
25 data will be collected as to whether claimed wattages

1 are installed. So, we've moved what is the claimed  
2 wattage off to what happens in construction as opposed  
3 to what happens on the plant.

4 To Peter's point, this is a big deal. It's  
5 going to reduce and it's going to simplify work. It's  
6 going to be very realistic and it's going to put maybe  
7 just a little bit pressure on the inspector. But it's  
8 something the inspector can look up and see and not have  
9 to do a lot of research to figure out.

10 Likewise, NA8, from the joint appendices, this  
11 is luminaire power, the proposed -- or, excuse me, the  
12 nonresidential appendix, and they propose the luminaire  
13 power to account for default LED luminaire wattages.

14 This is going to be a little tricky because, as  
15 I said, default wattages are not necessarily something  
16 that are out there.

17 Okay, practical impact. What I've tried to do  
18 here is say how does this practically impact us?

19 The first thing is in the design phase. The new  
20 lower LPDs may result in designers having less wattage  
21 to trade off with HVAC and envelope measures. This is  
22 important because what has historically occurred, when  
23 you design buildings, is everything is a tradeoff.  
24 Particularly, once you work your way into the  
25 performance method. And, of course, the performance

1 method is going to be based on these methods. All  
2 right, they need to be -- they need to come out with the  
3 same results there, too.

4           And, historically, we've worked so that  
5 lighting, HVAC and envelope traded off, one for the  
6 other, to get a building that meets the design  
7 requirements. We've had a couple of hiccups along the  
8 way. There was a time when I know that designers of  
9 buildings, and I won't blame any category in particular,  
10 would say, well, the lighting is .1 watts per square  
11 foot for the whole building and, therefore, we can have  
12 a much less efficient envelope or HVAC.

13           Well, that process was eliminated with standards  
14 changes, you know, quite some time ago. But it stills  
15 to a certain extent in the performance method. And we  
16 want to make sure everybody understands as you reduce  
17 the effect of the allowed lighting power there isn't a  
18 lot of headroom left to make big changes in those areas,  
19 such as envelope and HVAC, where they would make a  
20 difference.

21           During the permit application phase, no changes  
22 are significantly expected, nor the construction.

23           But the proposed code change will result in  
24 simplified compliance and enforcement process. Things  
25 such as current limiters, which were always a little bit

1 of a hassle, will no longer be part of the process.

2           The methodology. The method, you know, this is  
3 a part of it, everybody says, well, where did you get  
4 those crazy lighting power density values, anyway? The  
5 method was co-developed by ASHRAE/IES Committee in the  
6 1990s, within input from the CEC. I can tell you that  
7 for sure because I was the input from the CEC and helped  
8 develop that process.

9           This was one of the -- I sat on the 90.1  
10 Committee, with support from the CEC, for five years.  
11 And during that period we developed the process that's  
12 still being used today. I'm very proud to see it still  
13 being used.

14           And what it is, it's a lumen method-based model  
15 where we try and put realistic lighting design  
16 parameters in for each of the general illumination, task  
17 illumination, decorative illumination, wall-washing, and  
18 other things, so that you have a reasonable power  
19 allowance to do a competent lighting design.

20           We don't use the most efficient equipment in the  
21 world and we don't use the least efficient equipment in  
22 the world. Just what is the average and how does it  
23 work? So, the process is pretty well defined and it's  
24 pretty well followed.

25           It's been updated to reflect trends in products

1 and IES recommendations. Two things here, an update  
2 with respect to products. I think everybody knows the  
3 products have changed a lot. And the products that are  
4 being used today, a little bit different than the ones  
5 we did 15, 20 years ago. Not just because they're LEDs,  
6 because of their appearance and some of the trends in  
7 design.

8           One of the things I've always tried to present  
9 to this process is as a member of the International  
10 Association of Lighting Designers, to reflect good  
11 lighting design practice. And we have Bernie, on the  
12 CASE Team, has been serving that, and we have all these  
13 other lighting designers in the process, as well. And  
14 the impact is to make sure that a competent lighting  
15 design, as well as an energy-efficient lighting design  
16 can be accomplished.

17           Again, this is the process. This has been in  
18 use now for five or six code cycles. So, this is not a  
19 new idea for us. I just wanted you to know that's how  
20 we do it.

21           Actually, I shouldn't say "we". I didn't do it,  
22 the CASE Team did the work and they did it very well.  
23 Illuminance targets are based on guidance from ASHRAE  
24 90.1, ASHRAE/IES 90.1, ASHRAE/IES/USUBC 189.1, and the  
25 IES handbook, modified to align with the building and

1 space/are types.

2           Hours of operation are based upon operating  
3 schedules in the 2016 Nonresidential ACM Reference  
4 Manual. This is important when we -- remember, I said  
5 we take watts, but we make assumptions about energy  
6 based on watts. Those are taken from the 2016 ACM  
7 Reference Manual.

8           Useful life is based on the 15-year period of  
9 analysis. And the 2016 Standards LPDs were assumed to  
10 be met using a mix of linear and compact fluorescent,  
11 metal halide IR halogen lamps.

12           This is a big change. We are going from all  
13 those sources, which were part of the 2016 Standard --  
14 remember, the 2016 Standards started getting developed  
15 in 2013, all right. And LEDs were not necessarily cost  
16 effective in 2013. They are now. And I don't think  
17 anybody would disagree with that.

18           Models for hospitality, museums, liturgical,  
19 some retail, dining, and some specialized office spaces  
20 include options for LEDs employing dim-to-warm and color  
21 tuning technologies.

22           This is important because we see these trends  
23 coming. When you use these technologies, especially  
24 white color tuning and dim-to-warm, they're not  
25 necessarily 100 percent as efficacious at one setting,



1 as they are at another. And so, that has been built  
2 into the models and taken into account.

3 Models for retail, hospitality, museums,  
4 theatrical and liturgical include options for high color  
5 rendering index, reduced efficacy, LED luminaires. This  
6 is top.

7 MS. BROOK: So, sorry, but what do you mean by  
8 models?

9 MR. BENYA: The models are the calculational  
10 models part of the ASHRAE/IES 90.1 process that I was  
11 describing earlier. It's a calculation where you put in  
12 a particular intended illuminance value and based on an  
13 agreed upon set of efficacies for particular lighting  
14 systems that include LED luminaires. So, LED luminaires  
15 are now, because we've gone from -- well, geez, I don't  
16 know why I have to get into this. We've gone from  
17 relative to absolute photometry, so I can speak in terms  
18 of a luminaire having so many lumens per watt. We  
19 couldn't do that before. So, that's been a major  
20 translation.

21 But there's a large spreadsheet, which if you're  
22 interested I'd be happy to show that to you or, more  
23 importantly the CASE members who worked on that will be  
24 able to show that to you. Jon's also pretty much an  
25 expert in it so --

1 MS. BROOK: So, is that involved in the  
2 prescriptive end of the performance?

3 MR. BENYA: It is used to create the allowed  
4 lighting power density for them. But remember, so it  
5 works for both prescriptive and performance. And then  
6 it gets broken down and reorganized so it can be for the  
7 whole building method, the area category method, or the  
8 tailored method. Okay.

9 MR. STRAIT: I'd like to remind the audience, if  
10 you want to ask any questions or make any comments,  
11 please come up to a microphone. Only because, otherwise  
12 people that are listening online aren't going to be able  
13 to hear you.

14 MR. BENYA: Okay, finally, HVAC interaction  
15 effects are small compared to the primary effect of  
16 saving lighting energy and cost.

17 So, to a certain extent HVAC impacts, again  
18 because we're now down where a typical building is under  
19 a half-a-watt a square foot, HVAC impacts are pretty  
20 minor. And the emphasis has been placed by the CASE  
21 Teams on the energy savings with minimal, but some  
22 consideration for HVAC.

23 And I think if there's a bigger question about  
24 that, please ask it when we get to the Q&A here, in a  
25 minute.

1 I've taken only samples of these. All of the  
2 values will be in the CASE Reports that are going to be  
3 uploaded to the website, as Payam indicated earlier.

4 One of the things I hope you all take the  
5 opportunity to do is go through all of these values and  
6 see if they make sense.

7 They've already made a first pass. Frankly, we  
8 made one significant observation, so far, that for the  
9 most part these numbers are pretty good. The Team did  
10 an excellent job.

11 We are proposing that the 2019 values would be  
12 rounded to the nearest 5/100ths of a watts-per-square  
13 foot. 1.14 would become 1.15. .6 is already there.  
14 .72 would be come .75. 1.01 would become 1.0. That  
15 sort of thing. You know, we're inferring a level of  
16 accuracy which just isn't there. So, that was one  
17 thing.

18 But overall, as you can see, some of the  
19 occupancies have changed really significantly and some  
20 haven't changed at all.

21 What impressed me about the CASE Report, upon  
22 which this is based, was the fact that probably some of  
23 the best computer modeling, and I know that the CASE  
24 Team also used AGI 32 models, did not just use the  
25 simplified lumen method developed for 90.1. They're

1 using much more sophisticated calculations, very  
2 thorough work, and for which I commend them.

3           If you look at, for example, classroom lecture  
4 or training room, the drop from 1.2 to .75 is pretty  
5 significant. That's huge. And, you know, we're going  
6 to be looking at big changes like that very carefully as  
7 we discuss from here on.

8           But, certainly, it's up to you, if you'd like to  
9 take advantage of the opportunity to review these  
10 numbers and comment on any of them, specifically.

11           For example, if we look at dining area, this one  
12 is dropping from 1 to .4. It sounds like an awful lot,  
13 it's like 60 percent. But you have to look at it in the  
14 complete context, particularly in the area category  
15 method, because there's been adjustments to the  
16 allowances for task lighting, display lighting,  
17 decorative lighting, et cetera, that may be offsetting.

18           I'm not going to get into all those details  
19 right now. That's for your homework. But I wanted you  
20 to know that a couple of these, we'll see. But overall,  
21 I understand the -- well, see, corridor and transition,  
22 no changes for example.

23           Jon McHugh. We actually do have a Q&A session here  
24 but --

25           MR. MCHUGH: This is Jon. Jon McHugh, McHugh

1 Energy. Jim, you're doing a great job presenting the  
2 proposal. I'd like to point out I think some of these  
3 are from an older version of a CASE study. The most  
4 current CASE study is posted on [title24stakeholders.com](http://title24stakeholders.com),  
5 so everyone can take a look at those.

6           And then, we had an earlier conversation with  
7 you and the Commission staff. We have rounded  
8 everything to the closest 5/100ths, so that we're not  
9 having four decimal points or something like that.  
10 Thank you very much.

11           MR. BENYA: Yeah, thank you, Jon. Yeah, Jon's  
12 making a really good point. The process has been very  
13 iterative. I got the last draft CASE Report that I  
14 reviewed last night, or yesterday afternoon. It was  
15 late yesterday afternoon. And I've vetted some of that  
16 in -- it's more about controls that will show up here in  
17 a second. So, yeah, it is a -- we're in the middle of  
18 it right now. And Jon's right, this was taken from a  
19 version about three weeks ago, I think.

20           Okay, staff and consultant initial comments.  
21 These are my thoughts and we discussed them with staff,  
22 and members of the team that are here.

23           And first observations, extremely thorough and  
24 thoughtful. Still questioning individual values, but  
25 overall well done.

1 Will reduce cost and complexity of design,  
2 documentation, inspection and acceptance testing. We  
3 tend to agree.

4 Eliminates almost 40 years' of worry about  
5 cheating and abuse of incandescent lamp technology. I  
6 want to recognize Gary Flamm and all the work he's done,  
7 all the years of trying to think of all the ways that  
8 that could happen, and making sure that we found a way  
9 to minimize that. And, you know, Gary was the  
10 gatekeeper on this and did a great job for many, many  
11 years.

12 Okay, I'm rounding all values.

13 Questions for stakeholders. There may be some  
14 specific space LPDs or other allowances that haven't  
15 been addressed, yet.

16 Is lighting design ability protected as well as  
17 in past Standards? This is going to be something we're  
18 going to go through, probably a few more times, in the  
19 next coming months. I always worry about us creating a  
20 Standard that will only allow 2-by-4 troffers in office  
21 spaces. And 2-by-4 troffers in retail spaces. And 2-  
22 by-4 troffers in just about everything else.

23 There's no denying the 2-by-4 LED troffers is  
24 one heck of an efficacious lighting system. But is it  
25 appealing, attractive? Is it good lighting design? I'm

1 not going to necessarily go there, myself. So, we're  
2 going to be begging those questions that other  
3 alternatives, will they also be able to be designed,  
4 especially efficient versions of them?

5 And what about the special issues, such as  
6 seniors, warm dimming, color tuning, et cetera? These  
7 are hanging out there. We do not have a solution for  
8 these. I think we -- I'm worried about them. And I  
9 think that we're going to be talking about that more as  
10 this is the area that I think deserves a little bit of  
11 attention.

12 Please submit comments. You can, of course,  
13 copy me on them, but please use the process that Payam  
14 indicated earlier.

15 So, we have some time for questions and comments  
16 from you. Bernie?

17 MR. BOWER: Yeah, Jim, Bernie Bower, Integrated  
18 Lighting Concepts, working for the utilities group on  
19 this particular project.

20 One of the things I wanted to point out, and as  
21 you look at that CASE Report and why you sometimes see  
22 some very drastic dropped numbers, and Jim already  
23 alluded to it in some of the areas, is that we have a  
24 lot more of the use-it-and-lose-it adders.

25 When I had the opportunity to work on this and I

1 worked a little bit in 2013, and did that with retail,  
2 and now I had an opportunity to deal with other ones. I  
3 found that some, let's call them unseasoned designers,  
4 will take a number and if you give them 1.5 watts per  
5 square foot for an auditorium, they will use it and  
6 somehow they'll come up with light, and they'll use 1.5  
7 watts.

8           With a monolithic, like Jim said, not everybody  
9 wants to do it by a 2-by-4 troffer system.

10           If, on the other hand, we look at what a base  
11 level is with a little bit of adder, which is what we've  
12 done, and then have these use-it-or-lose-it, a  
13 decorative or an ornamental lighting addition, or let's  
14 say an absent feature addition even in area method, now  
15 we can build it back up. And if somebody really wants  
16 to do that space and designs it properly, with the right  
17 equipment, they can do it.

18           And yet, at the same time we're just not making  
19 it real easy to throw a bunch of troffers in to get 1.5  
20 watts or 2 watts per square foot.

21           So, that's the big change. As you look at that  
22 page, you'll see there's a lot more of those types of  
23 addressments in the area method.

24           And, of course, tailored method has had that for  
25 years. So, we've taken a little bit of that and put it



1 into area.

2 MR. BENYA: Thank you, Bernie. That's an  
3 extremely important point. Those of you, who are  
4 looking at kind of the lighting design perspective, be  
5 very careful about this. Because as I said earlier, and  
6 Bernie reiterated, some of the drops look pretty  
7 precipitous. But if you look at the use-it-or-lose-it  
8 values, you may find something else.

9 Can I have that question back? Let's see, how  
10 do I do that?

11 (Pause)

12 MR. BENYA: There was a question that popped up.  
13 Okay, great. So, I don't have to deal with it, you're  
14 going to deal with it. Okay.

15 Charles?

16 MR. KNUFFKE: Hey. Hello, everybody, Charles  
17 Knuffke with WattStopper.

18 Jim, thank you for the presentation and the  
19 explanation of what's going on.

20 One of the reasons I particularly appreciate  
21 these sorts of things is to try to be able to bring  
22 color, and characteristics, and background information  
23 when we do training sessions to the engineers, to let  
24 them know what the new code is.

25 So, in regards to current limiters, those were

1 installed to basically prevent lighting from being added  
2 later on. So, when you mentioned dropping current  
3 limiters from the standard, or basically dropping them  
4 is -- am I misreading? Are you now allowing light to be  
5 added later on? Or, what's being done to prevent that  
6 for a track lighting?

7 MR. STRAIT: I'll answer that. The main thing  
8 we're dropping is the certification requirement. So,  
9 we're saying you don't have to send a sample to the  
10 Energy Commission, have us examine it and then sign off  
11 of it before you can install a current limiter.

12 Also, rephrasing and restructuring some of the  
13 133.0 language to look at what we refer to, generically,  
14 as the current lighting -- well, whatever part of the  
15 system is the maximum cap on how power can flow through  
16 it.

17 So, that can still be -- an integral current  
18 limiter, that can still be in a protection panel. Or,  
19 it can be, for example, if you have a driver that is  
20 really restricting how much power gets out to the  
21 lighting, it can be that, instead.

22 But the main thing we're dropping is the  
23 certification requirement. That was burdensome and we  
24 found that now, with these LEDs and these other systems  
25 it has less value, than it did, in really preventing

1 people from snapping on additional 6-year high watt  
2 incandescent bulbs.

3 MR. KNUFFKE: So, the certification limit goes  
4 away, but then I would imagine the wattage requirements  
5 would also go down if the intent is to have LEDs. So,  
6 what was a 2-amp current limiter might actually have to  
7 be much lower than that, now?

8 MR. STRAIT: If that was what we wanted to have  
9 for that system, yes.

10 MR. KNUFFKE: Okay, thank you very much. Sorry  
11 for the misunderstanding.

12 MR. STRAIT: Oh, our apologies for not being as  
13 express with that.

14 MR. BENYA: Thank you, Peter. Thank you,  
15 Charles.

16 Gary? If you have questions, please don't  
17 hesitate to stand up and get in line. And we'll get  
18 through these as quickly as possible.

19 Gary?

20 MR. FLAMM: Good morning. It's interesting to  
21 be on this side of the table.

22 (Laughter)

23 MR. FLAMM: My name's Gary Flamm, of Gary R.  
24 Flamm Consultant.

25 A couple things regarding current limiters'

1 track lighting. In Table 130.1.8, it basically requires  
2 most technologies to be dimmable. But track lighting  
3 has one step between, which seems to inadvertently favor  
4 track lighting, if you want to circumvent dimmability.

5 I just suggest, as you look at all the language  
6 for changing track lighting that you pull that language  
7 into your consideration and see what that means.  
8 Whether that's good or bad, I don't know. But I do  
9 believe that there's an incentive to use track lighting  
10 because of that. So, that's what I want to say about  
11 track lighting.

12 MR. BENYA: Thank you, Gary. Does anybody from  
13 the CASE Team want to speak up to that or just want to  
14 make a note and we'll talk about it later? They're  
15 coming up, okay.

16 MR. FLAMM: The second thing is on lighting  
17 power densities. One thing I wanted to say is I believe  
18 ASHRAE uses LPA, lighting power allowances, and Title 24  
19 uses lighting power densities. Because I hear both used  
20 interchangeably, and I'm wondering if the language  
21 should be consistent between 90.1 and Title 24?

22 MR. STRAIT: While we're looking at these  
23 dividers for us. Lighting power density is the actual  
24 density of the power's that's being installed. Lighting  
25 power allowance is basically your allowed lighting power

1 density for that space.

2 MR. FLAMM: Right.

3 MR. STRAIT: So, we're currently saying is the  
4 allowance is the limit that we're prescribing. The  
5 density is whatever is actually present.

6 MR. FLAMM: Right.

7 MR. STRAIT: And I have not yet gone back to  
8 through 90.1 to see if that's fully consistent with how  
9 they use those terms. But our understanding is that we  
10 make them more consistent.

11 MR. FLAMM: Okay. The last thing I wanted to  
12 say is regarding evaluating the LPDs, there's a set of  
13 definitions for the functional areas for each type of  
14 functional area. What happens sometimes is there's an  
15 umbrella definition which inadvertently there's a  
16 functional area that falls under that definition for  
17 which the numbers are problematic. And the more eyes  
18 that can scrutinize are there any functional areas that  
19 need to be broken out, or does the denominator need to  
20 be raised?

21 So, what I'm recommending is all lighting  
22 designers scrutinize the new LPDs, not just for what's  
23 apparent, but for any sub-functional area that would  
24 fall, inadvertently fall into that. So, I'm just  
25 recommending lots of eyes look at those definitions.

1           MR. BENYA: Thank you, Gary. I don't think we  
2 need a response right now, but so noted.

3           MR. FLAMM: Okay.

4           MR. BENYA: Okay?

5           MR. FLAMM: Thank you.

6           MR. BENYA: Thanks. Any other questions? Greg?

7           MR. ANDER: Thanks, Jim. Greg Ander, I'm an  
8 architect here, in California.

9           I want to give you some context here. I notice  
10 in your acknowledgement slide you acknowledge the CASE  
11 Team and the California Efficiency Alliance.

12           The Efficiency Alliance is a group of pretty  
13 broad-based industry folks, design professionals,  
14 academia, NGOs, national labs, literally several dozen  
15 organizations that have gotten together to work on  
16 issues of importance, on energy issues in the State of  
17 California as we drive towards zero net energy and,  
18 ultimately a clean energy economy.

19           So, it's drawing from this expertise of, you  
20 know, practitioners in industry that we submitted a  
21 couple of CASE studies. You've been in a couple of  
22 meetings, and some staff as well, we appreciate it. We  
23 briefed Martha and Commissioner McAllister, a couple of  
24 weeks ago, on some of the projects.

25           But the organization is now assembled and

1 working on initiatives with the Energy Commission, the  
2 CPUC, the Cal-ISO, ARB, you know, when it's appropriate  
3 to help inform the process and use the expertise in  
4 terms of engineering analysis, cost effectiveness,  
5 market issues that we're seeing, things like that.

6           There's a number of control organizations  
7 affiliated with this group, interested in advancing some  
8 of these advanced automation opportunities going  
9 forward. We recognize that the '19 Standards pretty  
10 quick, happening fast, so we're looking at tweaks here.

11           As we go on, I understanding there will be  
12 forthcoming venues to talk about these.

13           But a lot of interest in advanced automation for  
14 grid stability, working with the Cal-ISO, Dr.  
15 McAllister, and Commissioner Weisenmiller about this,  
16 too.

17           But to the extent we can start to leverage these  
18 and the development process to integrate these, as we  
19 see much more renewables into the system, and using them  
20 for balancing and so forth. New energy imbalance  
21 markets are coming up, as well as price signals and  
22 evaluation.

23           Want to work with you on this. Understanding  
24 that's forthcoming, but wanted to plant the seed, now.  
25 Okay?

1 MR. BENYA: Thank you.

2 MR. ANDER: Thanks.

3 MR. BENYA: Mazi?

4 MR. SHIRAKH: I think what Greg just said is  
5 very important in our long-term mission for  
6 organizations who are pursuing those and I think we need  
7 to.

8 MR. BENYA: Yeah, and from my own point of view,  
9 I thank Greg. He's been a participant in this program  
10 for as long as I can remember. And the issues we face  
11 in the State are very dynamic, they're changing very  
12 quickly. And as a result, yeah, unfortunately this  
13 process is one that has years in which we fix, and  
14 improve, and tweak, and then there's years when we do  
15 overhauls. And the 2022 is the overhaul year.

16 So, it's going to give us a little bit of  
17 additional time. But remember, the work done in 2022  
18 starts in 2019. So, once this is done, the work just  
19 starts all over again.

20 One of the things, I want to react, though, to  
21 your recognizing the fact that what the CEA has done is  
22 it's reintroduced the collaborative process that, for so  
23 many years was how the standards were developed. Before  
24 the Utility Consortium was created, and provided so much  
25 of the heavy lifting, a lot of this work was done ad hoc



1 by a number of different, disparate groups getting  
2 together.

3           What I'm thrilled to see is the CEA bringing in  
4 a reasonably well-organized and well-funded group that  
5 can represent a quite a few that includes, possibly,  
6 some different points of view than are being presented  
7 by the CASE Teams.

8           The CASE Teams are doing an excellent job.  
9 CEA's been doing an excellent job, although they're very  
10 young. So, it's great to have both points of view being  
11 represented. I'm not sure I'm seeing a lot of  
12 difference between the two of you.

13           But I am seeing a little difference in the  
14 experience and background being brought to the two. So,  
15 this is good, this is really good. Thank you, all.

16           Nancy?

17           MR. BOZORGCHAMI: Oh, can I interject here, real  
18 quick, before Nancy. This is Payam, again. One  
19 correction to what Jim said, work for 2022 is going to  
20 be starting shortly. So, it won't be until 2019. We'll  
21 probably end it and we'll start end of 2017, early 2018  
22 and we'll start brainstorming and moving forward to get  
23 going on 2022.

24           2022 is going to be a big move. One of the  
25 areas that the Energy Commission is committed is to

1 separating multi-family, separately from both  
2 residential and nonresidential.

3 And what Mazi said, with great harmonization and  
4 what Mr. Ander said, it's very important that we start  
5 that work sooner, than later.

6 MR. BENYA: Thanks, Payam, I stand corrected.

7 INAUDIBLE SPEAKER: Just to follow up, we  
8 haven't scheduled it, yet, but just keep your eyes out  
9 for some time in the fourth quarter of 2017, we're going  
10 to look at doing some sort of scoping workshop, yeah,  
11 very high level for 2022, so that we can start putting  
12 on the table the things that we're looking at. But  
13 also, really, we want to get an idea of what people,  
14 outside stakeholders, what they would like us to start  
15 looking at, so we have plenty of time to do that before  
16 the standards start.

17 MR. STRAIT: Also, there's one other point of  
18 logistics. We are going to be having separate  
19 presentations that are on, specifically, lighting  
20 controls, so there's going to be some presentations  
21 looking at those topics.

22 Also, we have a later workshop that is examining  
23 demand response as a channel throughout regulations.  
24 So, there is another upcoming workshop that will get  
25 into more detail on demand response, specifically.

1           MR. SHIRAKH: So, for Jim and we know 2022 is  
2 going to be a bit year for nonresidential. How does the  
3 lighting play into that? I mean, are you envisioning  
4 big changes to lighting for 2022 or --

5           MR. BENYA: Gee, Nancy, you want to take that  
6 one. Well, let me take it, first.

7           What I see is the continuing evolution of solid  
8 state lighting driving down lighting power densities.  
9 But at the same time I see a big growth in white light  
10 color tuning, circadian lighting. One of the things I'm  
11 going to flag about so-called circadian lighting, or  
12 human-centric lighting, whatever you want to call it, is  
13 that one of the things we all need to realize is that  
14 most indoor lighting levels we work at, we're in the  
15 zone of what's called biological darkness. In other  
16 words, there's not enough light to inspire your  
17 circadian system.

18           The light levels that have been found to be  
19 necessary to do that, and vertically measured at the  
20 eye, seem to be in excess of a thousand bucks. Now, we  
21 don't light indoor spaces to a thousand bucks. And I  
22 don't think we, as an entire industry, starting with the  
23 CIE, and the IES, and everybody on the way down have yet  
24 got their arms around what does this mean in terms of  
25 how we design buildings, how we design lighting systems

1 and, for that matter, daylighting?

2           So, all of these are topics that are going to  
3 evolve over the next several years. So, I think it has  
4 probably less to do with major changes in lighting  
5 technology, but the major changes are going to come in  
6 design practice, with that one as sort of the tip of the  
7 iceberg of changes in how we understand light and human  
8 wellness. That's going to be a very interesting area  
9 and see what we find out.

10           Nancy, do you --

11           MS. CLANTON: I couldn't agree more with Jim.  
12 It's going to be the influence of daylighting and, you  
13 know, instead of putting lipstick on a pig --

14           MR. BOZORGCHAMI: Nancy, can you state your  
15 name?

16           MS. CLANTON: Oh, I'm sorry, Nancy Clanton,  
17 Clanton & Associates. We're also the CASE authors for  
18 outdoor lighting.

19           So, my question for you, Jim, and you don't have  
20 to answer it here, but you did mention light tuning as  
21 something for -- you know, for the next code cycle. But  
22 for us, right now, trying to figure out what the wattage  
23 is, is that with a control system and adjusting the  
24 white tuning or is it -- I mean, this may be a question  
25 for Alex, from NEMA. Where are you? Yeah, there you

1 are.

2 MR. BENYA: Yeah, let's --

3 MS. CLANTON: In other words, every time we talk  
4 to manufacturers, there's huge confusion over this  
5 topic.

6 MR. BOZORGCHAMI: Could you get to the mic so  
7 people on the phone can hear you?

8 MS. CLANTON: Yeah, huge question for this.

9 MR. BENYA: Nancy --

10 MS. CLANTON: So, anyway, I just wanted to bring  
11 that up.

12 MR. BENYA: Yeah, thank you. You know, we're  
13 going to tap into this a little bit in the next segment.  
14 But very quickly, that's why when I did my opening  
15 presentation it said "input requested from  
16 stakeholders." Give us something. We're all  
17 stakeholders here, okay, give us your thoughts. I have  
18 my own thoughts. But as part of the team I'm working  
19 with, here at the Commission, we've opened the topic.

20 But industry and industry standards are going to  
21 drive this. If I can chide industry a little bit,  
22 industry has not been standardizing things enough to  
23 make them able to be codified. Okay? So, industry,  
24 Tanya, I'm looking at industry here, and all of you, you  
25 know, some standards that you all agree on pretty darn

1 quickly, I might add, are going to be necessary for us  
2 to be able to use for the language in the standards that  
3 are going to be developed.

4 Tanya?

5 MS. HERNANDEZ: Hi, good morning. I'm Tanya  
6 Hernandez from Acuity Brands. Thank you so much, Jim,  
7 for the presentation. And, actually, I was sitting  
8 there saying do I really have a question?

9 But I guess the first thing is during your  
10 presentation on the general issue, that you just  
11 mentioned you had a laundry list of things that you're  
12 looking for stakeholder input. And I looked at those,  
13 and I think you guys have asked a lot of questions about  
14 those topics before.

15 But as of right now, we don't have like a draft  
16 CASE Report that we can reference to see what exactly,  
17 what kind of information you really need. I mean,  
18 there's all kinds of information on color change. What,  
19 specifically, you're looking for as far as code  
20 language, or basically could help your models, we're  
21 unable to really provide that information without  
22 having, you know, something to work from.

23 So, I just wanted to make sure that -- maybe I'm  
24 missing it, but we were looking on the website and we  
25 haven't find the light sources CASE Report, as of this

1 morning.

2           And then I also wanted to confirm that, you  
3 know, we really support the LED baseline for indoor  
4 lighting, so it's actually good to see that being put  
5 forward.

6           One of the things that you mentioned was that it  
7 was being affected by the requirements for Title 20, in  
8 the DOE requirements. And I'm assuming that's for  
9 lamps. I mean, we're talking pretty much lamps, the JA-  
10 8 piece. Well, not JA-8, excuse me. The actual --

11           MR. BENYA: 887, yeah.

12           MS. HERNANDEZ: Yes. And so, when I looked at  
13 that I was little confused because this is a  
14 nonresidential lighting piece and those products are  
15 really for, you know, retrofit lamps. At least that's  
16 my understanding.

17           And so, I was trying to see where you're going  
18 in terms of nonresidential lighting and if there are  
19 standards that you're referencing for that, not just a  
20 retrofit standard.

21           MR. BENYA: Peter?

22           MR. STRAIT: Sure. First of all, on the topic  
23 of the CASE Reports I know they're currently available  
24 at the title24stakeholders website, is where these are.  
25 If that one's not present, let me know and we can figure

1 out a way to -- we can try to post it on our website, as  
2 well as a link over there.

3 In terms of what we're doing with the State and  
4 Federal Standards, the State and Federal Standards are  
5 lamp standards, but they are not specific to either  
6 residential or nonresidential. They basically regulate  
7 all products that are entered in the stream of commerce,  
8 so, we have to make sure that our regulations comport  
9 with those.

10 For example, JA-8 was drafted before Title 20,  
11 before Title 20 Compliance folks had put in, you know,  
12 their lamp standards. And, obviously, that wasn't  
13 exposed to a public process at all. So, polished that  
14 in with ours. So, we're trying to bring ours into  
15 alignment with that so that we are not asking people to  
16 meet very slightly different standards, when they really  
17 ask you to do the same thing, and make the same  
18 demonstrations.

19 And to the extent we can then base additional  
20 standards on those to where there's consistency between  
21 lamp products are going to be State or Federal regulated  
22 as an appliance, and the products that fall outside of  
23 that, we're trying to hold them to at least -- at least  
24 an even playing field, so they're not terribly  
25 different.



1           So, it's those kinds of concerns we're primarily  
2 looking at.

3           MS. HERNANDEZ: And then my last question was  
4 the comment due date. I think you mentioned an earlier  
5 date and then --

6           MR. BOZORGCHAMI: It's July 7<sup>th</sup>.

7           MS. HERNANDEZ: It is the 7<sup>th</sup>.

8           MR. BOZORGCHAMI: It is the 7<sup>th</sup>.

9           MS. HERNANDEZ: So, your date --

10          MR. BENYA: So, my dates are wrong.

11          MR. STRAIT: Okay, so one second.

12          (Pause)

13          MR. STRAIT: July 14<sup>th</sup>. Yeah, he's right.

14 Because of the holiday week we set it forward one week.

15 Apologize.

16          MS. HERNANDEZ: Okay, great. Thank you. Thank  
17 you for at least thinking of us on the 4<sup>th</sup> of July.

18          MR. BENYA: The 14<sup>th</sup>. The 14<sup>th</sup> for comments,  
19 yeah.

20          MR. STRAIT: So, just as a general rule, we tend  
21 to give two weeks after the workshop for folks to submit  
22 written public comments on that workshop. We're not  
23 adverse to taking comments later, but that's kind of we  
24 want that because tomorrow our staff are going to be  
25 working on these topics, diligently. And the sooner we

1 get those comments, the more they can add the momentum  
2 we've already got going in-house.

3 In this case, because of the July 4<sup>th</sup> holiday  
4 we're giving an extra week. So, it's three weeks to get  
5 those comments in.

6 MS. HERNANDEZ: Okay. So, we look forward to  
7 having those documents posted so we can get working on  
8 it. Thank you.

9 MR. BENYA: Thanks, Tanya.

10 Come on up, Kelly.

11 MS. CUNNINGHAM: Hello. Kelly Cunningham,  
12 Pacific Gas & Electric. Regarding the Indoor Light  
13 Sources Report, it is currently on  
14 title24stakeholders.com. You have to navigate to the  
15 indoor light sources page. If you scroll down, briefly,  
16 there's a measure description. The next section says,  
17 "Codes and Standards Enhancement CASE Report," and  
18 there's a draft CASE Report download link.

19 So, a few days ago, the 2019 CASE Reports had  
20 their own section, but this was confusing because then  
21 we had a lot of topic descriptions, and then a separate  
22 list. So, they've gone back to where they should be,  
23 which is under each category.

24 so, when you look at the second paragraph, or  
25 second section, that's where you can find them and it's

1 there, now.

2           And please don't wait until July 14<sup>th</sup> to submit  
3 your comments. And the CASE Team also invites direct  
4 connection with the CASE Authors, when appropriate. We  
5 will also be monitoring the comments and hope that we  
6 can reach out to you for future discussions.

7           If you post things early, our discussion will be  
8 more productive. Thank you.

9           MR. BENYA: Thank you, Kelly. Any other  
10 comments?

11           MR. URAINE: This is Christopher. I just wanted  
12 to sort of thank you for that comment because it's  
13 something we encourage. It's like we reach out to staff  
14 with, you know, basic questions to help focus your  
15 comments that's very helpful. So that instead of having  
16 a very complex public comment, if you can address  
17 comments, you know, or address questions to staff, we'll  
18 help you with that so that you can actually focus your  
19 comments on things that are more complex.

20           MR. BENYA: John Martin?

21           MR. MARTIN: I'm John Martin. I am here partly  
22 in my capacity as Public Policy Consultant to the  
23 International Association of Lighting Designers, and  
24 partly as Co-Chair of the California Energy Alliance.

25           So, the first question I'll raise with respect

1 to the complexity issue, the IALD, the International  
2 Association of Lighting Designers, has some concerns  
3 about the modeling methodologies used to calculate LPDs,  
4 both in Title 24, and more recently in ASHRAE/IES 90.1.  
5 And when we know more and have more to say, we will send  
6 a complex comment.

7           In my capacity as Co-Chair of the CEA, I just  
8 want to follow up on some of the comments that Greg  
9 Ander made, and speak a little bit off topic to 2022.  
10 Mazi raised the question of, well, what would lighting  
11 look like in 2022?

12           Part of the scoping exercise the CEA intends to  
13 go through is to say, well, what should it look like?  
14 What would really, instead of being an incremental  
15 change to what we've done for the past 40 years, what  
16 would a whole new direction look like?

17           We have whole new technologies. We have whole  
18 new ways of measuring energy. What would make the most  
19 sense to allow lighting to really both serve needs of  
20 human comfort and productivity and, at the same time  
21 help do even more than the 90 percent that lighting has  
22 already done to achieve a zero net energy future?

23           So, we look forward to participating in that, as  
24 well. Thank you.

25           MR. BENYA: Thank you. And just as a comment

1 from me, personally, I see you picked up on a few things  
2 that I also picked up on. Things that are going to have  
3 to change. And I'm glad to see Professional Lighting  
4 Design, as well as the entire Association participating  
5 in that process. It's going to be really, really a big  
6 deal.

7 So, not seeing anybody else lining up, RJ, do we  
8 have anything online?

9 MR. WICHERT: Nothing online.

10 MR. BENYA: Okay. So, not seeing anybody else  
11 lining up, we're nine minutes ahead of schedule.

12 Cheryl, you want to say something?

13 MS. ENGLISH: Good morning, Cheryl English,  
14 Acuity Brands.

15 Just a quick question. So, I appreciate the  
16 extra time on the response because that will be very  
17 important. When are the models going to be available?  
18 Because it does take quite a bit of time to go through  
19 the models to evaluate them. I did not see the models.  
20 I see CASE Reports that were apparently just posted  
21 early this morning, or last night, but I haven't seen  
22 any of the data regarding the models.

23 MR. BENYA: Jon McHugh, he'd probably be as  
24 knowledgeable about that, as anybody.

25 MR. MCHUGH: Hi, Jon McHugh, McHugh Energy. You

1 need to talk with CASE Authors and we'd be happy to  
2 share the details of the method models. Would that be  
3 of interest?

4 MS. ENGLISH: The ones in the CASE Report?

5 MR. MCHUGH: Yeah, absolute. Now, the report --  
6 myself and Bernie.

7 MR. BOZORGCHAMI: Jon, use the mics.

8 MR. STRAIT: You can walk around the other side  
9 of the podium, if you need to.

10 MR. MCHUGH: Yeah. So, contact us, we'd be  
11 happy to share the documentation. The CASE Report,  
12 itself, has very extensive appendices. So, after you've  
13 read the appendices, you may find that you have all the  
14 information you need. But if you want to go down to,  
15 you know, the actual equations, we can provide that as  
16 well. Thanks.

17 MR. BENYA: Thank you, Jon.

18 Anybody else? So, we're finishing about 7 or 8  
19 minutes early. Let's then take a 7 or 8 minute break.  
20 We'll start again at the bottom of the hour.

21 (Off the record at 10:22 a.m.)

22 (On the record at 10:31 a.m.)

23 MR. BENYA: Please take your seats.

24 MR. STRAIT: Hello folks, I know there are many  
25 useful and productive conversations going on, but we

1 need to stick to our agenda. So, if people could please  
2 take their seats?

3 MR. BENYA: Okay, gang. Now, one of the reasons  
4 why I wanted to get started on time is this one's  
5 probably going to push us to the limit. It's not going  
6 to give us another break before lunch, so let's get  
7 busy.

8 This is about lighting controls. The primary  
9 work here is, again, done by the CASE Team in the  
10 lighting controls area.

11 The scope of the changes that are being proposed  
12 affect primarily these areas; automatic daylighting  
13 dimming plus OFF, mandatory occupancy sensing full OFF  
14 controls in restrooms, manual ON commissioning for  
15 automatic time-switch controls, and nonresidential  
16 indoor lighting code language cleanup and alignment with  
17 90.1.

18 This is a table of the proposed changes. Again,  
19 there's actually five areas in which changes are  
20 proposed. The first one, daylight dimming plus OFF,  
21 daylight dimming plus OFF controls in secondary zones,  
22 occupancy sensing controls in restrooms, manual ON time-  
23 switch controls, and residential indoor lighting code  
24 language cleanup.

25 One of the first things the CASE Team is

1 proposing is specific 90.1 2016 disagreements. Lighting  
2 power wattage exception recommends leaving the Title 24,  
3 Part 6 lighting power exemption in place as opposed to  
4 harmonizing with 90.1. I think this is a pretty good  
5 idea.

6           The cost of energy is more expensive in  
7 California and Title 24, Part 6 uses a lower discount  
8 rate than ASHRAE/IES 90.1, which allows for a lighting  
9 power wattage to be cost effective.

10           There's a total glazing area exception that  
11 recommends leaving the Title 24, Part 6 glazing  
12 exemption in place, as opposed to harmonizing with 90.1.

13           So, I think those of you who want to take a  
14 crack at this, this is an interesting area. I haven't  
15 tried to reconcile the two, myself.

16           One of the big changes is to make occupancy  
17 sensing with full OFF controls in nonresidential  
18 restrooms. This is already required in 90.1 and it's  
19 recommended now, for Title 24.

20           It recommends that Chapter 5 in the 2019  
21 Nonresidential Compliance Manual include guidance on the  
22 appropriate occupancy sensor technology based on the  
23 size and configuration of the nonresidential restroom.

24           Larger, multi-stall restrooms should consider  
25 zoning and install more than one dual-technology



1 occupancy sensor to avoid false OFFS. Occupancy sensing  
2 technology and the layout of the space should be  
3 discussed in the compliance manual. Pretty self-  
4 evident.

5 Manual ON commissioning for automatic time-  
6 switch controls. This is a change. Automatic time-  
7 switch controls to comply with Section 130.1(c) should  
8 be commissioned as manual ON. this proposal would  
9 exempt the automatic time-switch controls used in a  
10 number of applications, industrial, et cetera.

11 It will reduce the amount of time the no  
12 nonresidential indoor lighting is turned ON when there  
13 are no occupants present in the space.

14 It does not prevent automatic time switches from  
15 being reprogrammed to use automatic ON setting after  
16 acceptance testing and commissioning are completed.

17 You know, I think this is -- one of the things I  
18 like about the CASE Team's work here is that they're  
19 thinking about the ramifications of doing some of the  
20 things that are being proposed, and I think they're  
21 doing a good job of that.

22 Nonresidential indoor lighting code language  
23 cleanup and alignment. Increase minimum dimming level  
24 in classrooms. Consolidate automatic daylight dimming  
25 controls to Section 130.1

1           This is appreciated because we all know that the  
2 standards have grown over the years. They've changed  
3 number systems, a lot of things have happened, and some  
4 things have gotten out of place. And one of the things  
5 I love about our process is we think about this as we  
6 work on the standards. Everybody's thinking about how  
7 can this be made more easily understood, appreciated,  
8 implemented and inspected? And so, these are, I think,  
9 very good ideas.

10           There are some changes here to Section 130.1(b),  
11 multi-level controls. This gets a little complicated so  
12 I'm going to show you the bullet points. I'm going to  
13 show you what the new language looks like.

14           One of the things is a cleanup. Replace  
15 enclosed area, which is not a defined term, with  
16 enclosed space, which is, in Section 100.1.

17           One of the things that is part of the process,  
18 hidden behind the scenes a little bit, is making sure  
19 that Section 100.1 definitions, and every phrase or  
20 definable term used throughout the standards are  
21 consistent. And every now and then we find one like  
22 this and yeah, we know we've got to go back and fix it.

23           Delete the Exception Number 1. Classroom  
24 lighting is proposed to no longer be exempted to the  
25 higher 0.7 watt per square foot. The simple multi-level

1 controls.

2 I was the CASE Author for the controllable  
3 lighting change for the 2013 Standard. The reason why  
4 classrooms were exempted at that point was because based  
5 on the CASE Report classrooms didn't have enough burn  
6 hours to warrant controls.

7 I can tell you, just from my own personal and  
8 professional experience, that not only has the lighting  
9 power density in classrooms gone down, but the cost of  
10 controls capable of making these changes had come down,  
11 too. That's one of the most surprising things about  
12 lighting these days is things that seemed extremely  
13 expensive in 2011 and 2012, when we worked with Doug  
14 Avery, and when he was with Edison, to create the  
15 controllable lighting standard. Things were so  
16 expensive relative to today. You know, occupancy,  
17 vacancy sensing, you know, controllable light. Every  
18 driver is dimmable pretty much. It wasn't that way back  
19 them. So, that's why these things make sense.

20 Exception 2, as applications comply with Section  
21 130.1(c)7 and (c)8, for the exception for continuous  
22 dimming controls, and the current exception only  
23 includes applications complying with 130.1(c)6.

24 That's all pretty techy language, so let's see  
25 what it really looks like. It would change multi-level

1 lighting controls to say the general light of any  
2 enclosed space, 100 square feet and larger, where the  
3 connected lighting wattage exceeds half-a-watt per  
4 square foot shall provide multi-level lighting control  
5 that meets the following requirements.

6           And these are pretty much the existing language  
7 that we have today.

8           I would like to challenge the CASE Team and  
9 everybody else, to look at that 0.5 watt a square foot  
10 exemption. Maybe that number can be lower now, for the  
11 reasons I just pointed out.

12           This is how the exceptions change. The  
13 exceptions would change classrooms with a connected  
14 lighting of 0.7 watts per square foot or less and public  
15 restrooms shall have at least one control step between  
16 30 -- well, this is the proposed language. I think  
17 we've got a problem here. Jon?

18           MR. MCHUGH: Jon McHugh, McHugh Energy. I  
19 believe the proposal is to strike the entire exception.  
20 That exception is no longer needed anymore.

21           MR. BENYA: Yeah, I kind of pasted these up like  
22 last night.

23           MR. MCHUGH: Okay. Yeah, not a problem.

24           MR. BENYA: And when I got to copying it, I'm  
25 afraid I blew that one. My apologies.

1           So, what it does is get rid of that entire  
2 Exception 1.

3           The next one, Exception 2 it used to be, is now  
4 1. So, 1 goes away. 2, an area enclosed by ceiling  
5 height partitions. 3 becomes 2, and 3 is added as  
6 restrooms. So, this is the way it will change. Section  
7 1 completely goes away, my apologies.

8           Okay. These are lighting controls, 130.1(c)1C  
9 Separate Shut-off Controls. Clarify the intent of the  
10 square footage limits per control. The direct intent of  
11 this section is that separate controls are required for  
12 each space enclosed by ceiling height partitions no  
13 greater than 5,000 square feet, and lighting is  
14 controlled by each control. Consider changing the  
15 criterion from square foot to wattage. Interesting.

16           Clarify the exception. Malls, auditoriums,  
17 single tenant retail, industrial, convention centers and  
18 arenas, with separate controls for each space and no  
19 greater than 20,000 square feet of lighting is  
20 controlled by each control. Also convert the maximum  
21 controlled area from 20,000 square feet to 15,000 watts  
22 of controlled power.

23           You can see this change a lot, from square  
24 footage to power. The CASE Authors, where did -- is  
25 this a 90.1 reconciliation? Anybody? Okay, it's just a

1 suggestion, okay. It's now in the discussion.

2           So, this is the way the language will look  
3 and --

4           MR. STRAIT: This is Peter Strait. So, I think  
5 the underlying and strike through was not carried over  
6 to the (inaudible) -- because I'm looking where it says  
7 5,000 square feet, 3,000 watts. And I think one of  
8 those is supposed to be struck and the other is supposed  
9 to be underlined.

10           MR. BENYA: Okay, thank you, Peter.

11           MR. STRAIT: So, apologize for the technical  
12 difficulty there. The language is also shown in the  
13 CASE Reports, so you can also get those online.

14           MR. BENYA: Yeah, I would recommend that because  
15 we were receiving these kind of late, and I was in the  
16 middle of work a little late, and may have missed a  
17 couple of things. My apologies, again. The CASE Report  
18 will have all this accurately.

19           So, make your comments not on the presentation,  
20 but on the CASE Report.

21           Section 130.1(c), Mandatory Lighting Controls.  
22 Add a mandatory requirement for occupancy sensing full  
23 OFF controls in nonresidential restrooms to capture  
24 energy savings when restrooms are unoccupied.

25           A little bit of history of this, from my

1 perspective, one of the reasons why we were reticent to  
2 have full OFF lighting controls in restrooms, other than  
3 worrying a little bit about somebody getting trapped in  
4 there and not being able to get out, should they fall  
5 asleep or whatever, the real issue was cycling of lamps.  
6 You know, until we had solid state lighting, you didn't  
7 want to be turning fluorescents on and off, and on and  
8 off, and on and off. It would just eat light bulbs and  
9 it wouldn't pass a cost effectiveness test based on the  
10 maintenance cost.

11           It changed. All the world changes with solid  
12 state lighting. You don't worry about those things  
13 anymore. And that's one of the reasons why this is a  
14 good idea.

15           Add an exception to 5A and 5B in areas not  
16 required by 130.1(b) to have multi-level lighting  
17 controls, lighting is permitted to be controlled by an  
18 occupancy sensor that automatically turns the light ON,  
19 all lighting when the room is occupied.

20           And automatic time-switches shall be  
21 commissioned as manual ON, with the exception of several  
22 function spaces that are open to the general public.

23           I think I mentioned these earlier, but you can  
24 see it in the specific language.

25           This is 130.1(c)3, Manual ON Time Switch.

1 Change time switch control, and delete "other than an  
2 occupant sensing control". It causes confusion.

3 Clarify that the area control in each room is  
4 capable of manually turning lights OFF. Clarify the  
5 timed override of the time clock control by the area  
6 control. And a new requirement in which time-switch  
7 controls are manual ON for most occupancies.

8 Again, excellent work by the CASE Team here. I  
9 don't think I've seen quite so many small changes in the  
10 controls area in a while. And I think this was pretty  
11 excellent, so good job.

12 Mandatory indoor lighting controls, automatic  
13 daylighting controls. Add mandatory requirement for  
14 Skylit Daylit Zone and Primary Sidelit Daylit Zone  
15 including OFF step in automatic daylighting controls  
16 with an exemption for classrooms and Primary and  
17 Secondary Sidelit retail spaces. Also applies to  
18 Secondary Sidelit Daylit Zone for projects using a  
19 prescriptive approach.

20 It requires lights being turned off when  
21 daylight illuminance exceeds 150 percent of design  
22 illuminance.

23 Did everybody get those? You can see what those  
24 are about, okay.

25 We're going to come back to some questions that



1 have been raised about those a little bit later, so just  
2 hang on. The step OFF is giving a few people some  
3 concern and I have that later in the presentation.

4 Indoor lighting controls, Section 130.1(c)4.  
5 Renumber Section 130.1(c)3D as it is another requirement  
6 of time-switch controls. Renumber the remainder of  
7 130.1 as needed.

8 Correct references made to Section 130.1 from  
9 Section 141.0(b)2I, J, and K, lighting and wiring  
10 alterations.

11 So, there's definitely some cleanup work. I  
12 think, as we have looked at fairly briefing in meeting  
13 with staff, we see this again is some pretty thorough  
14 work. There's some tweaks that are going to be needed,  
15 I think, but overall I don't see any reason not to be  
16 discussing these parts.

17 Section 130.1(c)5, the areas where occupant  
18 sensing controls are required to shut OFF all lighting.  
19 Require restrooms to do it.

20 Remove the term "room," since a defined term for  
21 a room is an "enclosed space" or "space."

22 Clarify that area controls shall be capable to  
23 turn OFF lights even when occupancy is detected. Move  
24 this feature from the bottom of the requirements to  
25 earlier in this section.

1           Simplify the area control requirements by  
2 including an exception for controls that are exempted  
3 from Section 130.1(b).

4           Added the term "manual ON" to better reflect the  
5 terms used by industry practitioners. Redefine the term  
6 "vacancy sensor" to permit field adjustable  
7 occupancy/vacancy. Also affects Title 20.

8           Now, that's an interesting twist. I didn't see  
9 that one coming, but it's an interesting question.

10           The CASE Team also recommends 130.1(c) areas  
11 where full or partial OFF occupancy sensing controls are  
12 required.

13           Remove the exceptions to Section 130.1(c)6A for  
14 controls that reduce power by 40 percent if they are  
15 less than 80 percent of area category LPD or if they are  
16 HID lighting.

17           I hope everybody agrees with me that HID  
18 lighting is as dead as a door nail. Okay. If you  
19 don't, let us know.

20           In Items A through D, add clarifying language to  
21 the phrase "reduce lighting power of each luminaire."

22           This is an interesting one because what it's  
23 really saying is that even illumination control now,  
24 instead of spotty light level controls. This is a  
25 change in philosophy made capable by LEDs.

1           In Items C and D, add language to allow reducing  
2 lighting power when the space is vacant but other  
3 portions of the path of egress are occupied. Item D to  
4 call out stairwells, controls retrofit when altering  
5 luminaires, as separate from corridors where controls  
6 are not required to be retrofitted when altering  
7 luminaire.

8           Section 130.1(c)7, areas where partial OFF  
9 occupancy sensing controls are required.

10           Lighting in common area corridors that provide  
11 access to guestrooms. Require all corridors to have, at  
12 a minimum, partial OFF controls that require that power  
13 is reduced by at least 50 percent when no activity is  
14 detected in a corridor for longer than 20 minutes.

15           Include the phrase "reduce lighting power of  
16 each luminaire".

17           Add language to provide the flexibility to  
18 reduce lighting power when a space is vacant but other  
19 portions of the path of egress are occupied." Controls  
20 shall be capable of automatically turning the lighting  
21 fully ON only in the separately controlled space shall  
22 be automatically activated when entered from all  
23 designated paths of egress."

24           There is a problem there, I'll bring it up a  
25 little bit later.

1           Separate stairwells from corridors so stairwell  
2 controls can be called out as a part of lighting  
3 retrofits. Corridors are more difficult to retrofit  
4 motion controls due to hard ceilings, small wattage  
5 luminaires and aesthetic considerations.

6           Change requirements for parking garages, parking  
7 areas, and loading and unloading areas to match Section  
8 130.1(c)6

9           Add the clarifying language to the phrase  
10 "reduce lighting power of each luminaire."

11           It will be interesting to see if you all agree  
12 with that.

13           Section 130.1(d)1A, skylit daylit zone  
14 definition.

15           Remove the introductory language, which was only  
16 intended for a list of items but there is only one item.

17           Add a definition of daylit zone for atria.  
18 There is actually an improved definition of atria and  
19 how that is handled, that we've seen. It's in the CASE  
20 Report. Strongly recommend you look at it.

21           Exempting areas under skylights that are shaded  
22 at least half the time, 1,500 hours a year during the  
23 timeframe of 8 a.m. to 4 p.m. That is kind of a really  
24 good idea, isn't it? You're not going to get a lot of  
25 daylight through something that's shaded.

1           Section 130.1(d)1B, primary sidelit daylight zone.  
2 Clarify that the term "glazing" is only located in an  
3 exterior wall and does not define sidelit zones near  
4 interior windows. Thank you for somebody figuring that  
5 out.

6           Replace the term "window" with "vertical  
7 fenestration" which includes glass doors.

8           Add the term "vertical" to clarify that this  
9 zone does not include areas that are obstructed by  
10 vertical obstructions. This includes that horizontal  
11 obstructions, like light shelves, do not reduce the  
12 areas of the sidelit zone.

13           Any area of skylit daylight zone should be  
14 subtracted from the primary sidelit daylight zone to avoid  
15 double counting of areas and to provide clarity on how  
16 lights are grouped together for separate control of  
17 lighting by daylighting controls.

18           Given the skill of some of the experts working  
19 on these proposals, I'm pretty sure these are spot on.  
20 But I ask everybody to check and make sure you think you  
21 agree with them.

22           Section 130.1(d)1C, secondary sidelit daylight  
23 zone definition.

24           One of the proposals is to change the secondary  
25 sidelit zones definition to be similar to the primary

1 sidelit zone. This includes clarifying the terms  
2 vertical fenestration and vertical obstructions.

3           And lights in the skylit zone or primary sidelit  
4 zone are subtracted from the secondary sidelit daylight  
5 zone to avoid double counting of areas and to provide  
6 clarity on how lights are grouped together for separate  
7 control of lighting by daylighting controls. The  
8 proposed definition eliminates any overlapping skylit  
9 and primary sidelit zones.

10           Again, good logic. Thank you, CASE Team.

11 Exception to Section 130.1(d)1B & C.

12           Provide an exception for areas near windows from  
13 being considered as primary or secondary sidelit zone  
14 when the horizontal projection of overhand distance is  
15 equal to the window head height. Energy savings are  
16 reduced by around 50 percent when the ratio of the  
17 overhang projection to the window head height is 1.0 or  
18 greater.

19           This is important new work. I don't think we  
20 ever thought about this well before. Thank you.

21           The exception does not apply if there is a  
22 glazing above the overhang, such as a clerestory window,  
23 typically used in light shelves and similar projections.

24           130.1(d)2 daylighting controls. There's a lot  
25 of detail in here. Move the prescriptive daylighting

1 controls from Section 140.6(d) to Section 130.1(d)2.

2 Remove Section 130.1(d)2C. The proposed  
3 definition ensures there are no longer any overlapping  
4 areas.

5 Remove Section 130.1(d)2D and renumbering the  
6 following item. I'll just let you catch up on that.

7 Change 130.1(d)2Ciii to refer to "daylit zone"  
8 rather than "space."

9 2Civ, where lights are dimmed to 35 percent of  
10 rated power to 125 percent of design illuminance.  
11 Require lights to be turned OFF when daylight  
12 illuminance exceeds 150 percent of daylight illuminance.

13 Change 130.1(d)2Cv to add "plus-OFF" portion of  
14 the daylight controls and allows a gap of 25 percent.

15 Change exception 2 to 130.1(d)2 to clarify that  
16 no daylight controls are required in the secondary  
17 sidelit zone and better define when controls are  
18 exempted in the secondary sidelit zone.

19 A lot of detail here, very thoroughly recommend  
20 it.

21 Strike the following sentence, "Lighting shall  
22 be reduced in a manner consistent with the uniform level  
23 of illumination requirements in Table 130.1-A." This  
24 requirement can be advantageous in applications, such as  
25 ornamental display, or displays in retail and

1 restaurants. However, the language "uniform manner"  
2 over-specifies how projects choose to reduce their  
3 lighting power.

4 Thank you very much. This is a lighting  
5 designer thing and I'm glad to see it.

6 New lighting controls. No controls shall  
7 override any of the required lighting controls in  
8 Section 130.1 that results in an increase in the energy  
9 consumption.

10 Additional controls can be included that reduce  
11 energy consumption.

12 Exception 1, override the 2 hour sweep in  
13 certain circumstances indefinitely, such as if there's a  
14 captive key switch.

15 Exception 2, permit certain time-switch controls  
16 that can turn lights ON in "industrial, single tenant  
17 retail," et cetera.

18 Exception 3, an occupancy sensor can only  
19 override the manual switch after "the space has been  
20 vacated and re-occupied regardless of prior operation of  
21 area controls".

22 Start thinking about what that might mean in  
23 some public spaces. This one, I'm not sure about it,  
24 yet.

25 MS. BROOK: I have a question.



1 MR. BENYA: Yeah. Hi, Martha.

2 MS. BROOK: Martha Brook, Energy Commission.

3 Can you go back a slide?

4 MR. BENYA: Sure.

5 MS. BROOK: So, how would you check that the  
6 results do not increase the energy consumption? Is  
7 there like a test procedure that would verify that you  
8 haven't increased the energy consumption? It seems like  
9 a vague requirement.

10 MR. STRAIT: So, one thing I have to point out,  
11 and this is Peter Strait from the California Energy  
12 Commission. What Jim's going through right now is the  
13 contents in the CASE Team's proposal to us.

14 We generally agree with a lot of the concepts  
15 that are in there, they seem to be well-justified and  
16 well-founded. The specific language and specific  
17 embodiment of it, we're going to be looking at how that  
18 might be integrated and we may or may not use the exact  
19 language or the terms that they're using.

20 Also, that's where we want feedback from the  
21 public. If there's anything in here that is of concern,  
22 either in the specific language they've proposed or in  
23 the general concept of, for example, having a rule that  
24 says you can't have your controls cause more energy to  
25 be used, let us know. Please provide that feedback to

1 us.

2 Right now, we're just like looking at a lot of  
3 these proposals, they look pretty good. They look like  
4 they're going to accomplish the Energy Commission's  
5 goals of saving energy, while providing benefits in  
6 terms of the people that own buildings.

7 If there's something we're not seeing, though,  
8 let us know and give us that feedback.

9 MR. BENYA: Thank you, Peter and Martha.

10 Section 140.6(d), Table 140.6-A, lighting power  
11 adjustment factors. We're proposing they be revised.  
12 Revise the power adjustment factors for daylighting plus  
13 OFF control only to the applicable areas that are  
14 proposed to be exempt in Section 130.1(d)2C.

15 Daylighting dimming plus Off end-user  
16 questions/concerns. I received these last night. I  
17 loaded them in here because the CASE Team is already  
18 aware of some end-user concerns. So, these technically  
19 are getting into part of the discussion.

20 If occupants report a problem when the lights  
21 are off, but functioning as intended, building operators  
22 might disable the daylighting controls to avoid future  
23 complaints, even though there's a simple adjustment or  
24 education that might accommodate the complaint.

25 I think this is really common sense. It's good

1 thinking and the CASE Team is being very proactive in  
2 saying, well, what will some of the complaints be?  
3 Without waiting for the complaints or issues to be  
4 raised.

5 Daylight dimming plus OFF may be an issue in  
6 spaces with "fine task" work or personally owned -- I  
7 don't want to say owned, but personally managed spaces.  
8 In other words individuals may have a problem.

9 Acceptance requirements must be simplified. One  
10 of the more difficult parts, I think in acceptance  
11 testing, is setting the daylighting controls up  
12 correctly because you have to go back and retest them  
13 day and night. And this may expand upon some of those  
14 requirements.

15 So, make sure there are no additional  
16 requirements added in the forms, and provide an  
17 explanation on how to do the testing when there are  
18 multiple daylight zones, such as primary and secondary  
19 in the same space.

20 These comments also said the length of time to  
21 test for all daylight conditions, which may require  
22 multiple site visits to test during the daytime and  
23 nighttime when the conditions provide the 60 to 95  
24 percent daylight. Systems with auto-calibration can  
25 make the task more manageable.

1           This is obviously getting pretty technical. I  
2 see several people out in the audience who are very  
3 knowledgeable and may want to comment on this further,  
4 when we get to the Q&A here, in a second.

5           Some of our thoughts. One of the things I want  
6 to bring up is the State Fire Marshall has overruled  
7 Title 24, Part 6 of the Energy Code. Lighting control  
8 requirements when they conflict with Title 24, Part 2,  
9 Section 1006, egress lighting and emergency egress  
10 lighting, specifically partial OFF. We could also  
11 include any OFF control. Partial OFF does not mean  
12 Section 1006.1 unless the lower light level meets egress  
13 requirements whenever the building occupied.

14           The Fire Marshall has been very aggressive and  
15 has come out a couple times. This is recent code  
16 interpretation. The Fire Marshall's made it very clear  
17 if there's one person in the building, the entire path  
18 of egress must be illuminated. We cannot have partial  
19 OFF, if the partial OFF takes us below the egress level  
20 requirements. Okay?

21           So to everybody, for example, when you design  
22 lighting for a parking garage, we typically design  
23 parking garage lighting levels for minimums of about  
24 one-foot candle. Under normal conditions, typical  
25 averages are around 5.

1           Now, we could debate whether it's 3.7 or 4.2,  
2 but these are just some rough numbers.

3           The egress lighting level requirements under  
4 Section 1006.1 is 1-foot candle minimum on the path of  
5 egress. The Fire Marshall sees the path of egress as  
6 being most of the garage. Not all of it, but most of  
7 it.

8           So, for us to have a partial OFF it would drop  
9 the minimum light level in the garage, on the path of  
10 egress below 1-foot candle is no-no.

11           So, this is a suggestion to the CASE Teams to  
12 revisit this and see if they want to come back with an  
13 updated proposal.

14           One of the things I would also put on your  
15 plate, if you're willing to undertake it, we've already  
16 had discussions with the team about is there a middle  
17 ground? Is there a way of working with the Fire  
18 Marshall to come up with a proper way of doing this?

19           The Fire Marshall's come right out and said,  
20 though, there is no procedure in the code for  
21 establishing a way of saying the building is or isn't  
22 occupied. If there's one person in the building, it's  
23 occupied. And there is no way of saying if you go from  
24 one area of egress to another area of egress there can  
25 be an automatic response. That's not in the Building

1 Code. So, we've got a little homework to do there,  
2 folks, and I just wanted to make sure everybody's aware  
3 we've got to fix it this time.

4 MR. STRAIT: And one of the things I'll point  
5 out, too, is where there's a condition like this where  
6 the Fire Marshall, in this case, is saying that that  
7 control cannot provide its benefit in certain  
8 circumstances, that reduces the benefit we're able to  
9 weight against the cost of installing that control.

10 So, a requirement like that can actually make  
11 the control that is cost effective when it's providing  
12 as much benefit over as many as hours as we would  
13 anticipate, towards no longer cost effective, because  
14 some of that isn't arriving. So, this can strike  
15 directly at whether or not we can even have a  
16 requirement to have a partial OFF in this circumstance,  
17 even if there's a case where, well, some of the time it  
18 might work or if the light bulbs are in a certain state  
19 they might work.

20 All of it has to be in -- it has to ultimately  
21 feed into that cost benefit analysis.

22 MR. BENYA: Okay, coordination of lighting  
23 controls, Section 130.1(f) deserves considerable thought  
24 and may need to be expanded.

25 As you can see, the work by the CASE Team is

1 being very thorough, very detailed and they've  
2 considered a lot of things. One of the thoughts I've  
3 had, and this is more or less my comment, is we need to  
4 go back through this with a fine-toothed comb. Every  
5 year since controls really became as prominent in the  
6 standards as they are today, we've historically gone  
7 through this very careful process of making sure  
8 everything makes common sense and everything works. And  
9 so, I think it needs a little bit more.

10 I'm asking the question, network lighting  
11 controls? I mentioned this earlier, but I wanted to put  
12 this on everybody's plate. Network lighting controls  
13 have the ability to do several things. One of them is  
14 to detect whether there is anybody in the building.

15 The second thing is to measure how much energy  
16 is being used.

17 So, are these opportunities that should be  
18 explored in 2017 for the 2019 Standards? Are these  
19 opportunities that we maybe need to wait a couple of  
20 years and start looking at for 2022?

21 Given the representation of the industry that's  
22 here, I want to put this on everybody's plate. I see  
23 this as a giant opportunity for lighting controls to  
24 step forward and make a contribution to some of these  
25 challenges we face, otherwise, that they're already

1 capable of doing. The question is how do we build that  
2 into the standards and when?

3 Impact on acceptance testing is noted in the  
4 report. Could acceptance testing be simplified and how?

5 A giant question for all of us because we all  
6 know that acceptance testing, which was introduced a  
7 couple of standards ago, is probably one of the most  
8 important ways we know that the lighting controls are  
9 doing the job that all of our standards are based on  
10 them doing. And if they're disabled, they're not  
11 working, they're not properly connected or calibrated,  
12 we lose those promised savings.

13 Daylight switch to OFF. This one has given me a  
14 little bit of heartburn, too. One of the reasons is  
15 that most drivers dim to a range of about 10 percent to  
16 100 percent of the designed light level. Okay? A  
17 switch to OFF from 10 percent will be a very noticeable  
18 step.

19 And the drivers that are offering one percent  
20 minimum light level, or even 0.1 percent minimum level  
21 are more expensive and not necessarily universal.

22 So, my challenge to the CASE Team that proposed  
23 this, and all of us, is to think in terms of the  
24 differences among the drivers and their bottom line  
25 performance, and how they might affect your response or



1 your thoughts on this.

2 Finally, we're ready for questions.

3 Nancy?

4 MS. CLANTON: Nancy Clanton, Clanton &  
5 Associates, lighting designer.

6 Jim, you mentioned, I want to go back over that  
7 point of switching to OFF. And also, when you go at 150  
8 percent of the light level to turn the controls off, I  
9 know there's research out there that daylighting and  
10 balancing of light, electric light does with indirect  
11 lighting or wall grazing, when you just turn things off  
12 at 150 percent, it's going to feel very differently.

13 And I know there's some daylighting experts in  
14 here. You know, Neall Digert and Greg Ander. It's  
15 different. I mean, where did that 150 percent come up  
16 with? And is it horizontal illuminous, vertical  
17 illuminous, ceiling illuminous? These are my questions  
18 that I would, you know, as a lighting designer that I  
19 would really question.

20 MR. BENYA: Thank you, Nancy. Anybody from the  
21 CASE Team want to offer a thought or two, or do we just  
22 want to collect questions right now?

23 Go ahead, Jon. Thank you.

24 MR. MCHUGH: Thanks, Nancy. The 150 percent is  
25 something that's actually currently already in the

1 standards --

2 (Microphone comments)

3 MR. MCHUGH: So, the 150 percent is the current  
4 requirements that are in the standards and I --

5 MR. BOZORGCHAMI: Jon, you need to --

6 MR. STRAIT: Well, I think there might be a  
7 problem with that microphone. Can you turn it off and  
8 turn it back on?

9 (Cross-talk about microphones)

10 MR. MCHUGH: It's good to get up every now and  
11 then, too, right?

12 So, the 150 percent, what that does is in the  
13 preexisting standards there is a requirement that the  
14 lights be dimmed, currently to be dimmed to a minimum at  
15 150 percent of the design illuminance.

16 And the reason for that is so that we're not  
17 just saying, oh, you've got to have your lights at  
18 minimum, you know, with no opportunity for air, right?  
19 These controls aren't perfect and so you're allowing a  
20 certain amount of -- what's the word I'm looking for?  
21 Adjustment, or a certain amount of offset from the --  
22 you're not necessarily setting your daylighting system  
23 to the very perfect number of the design illuminance.  
24 So, that makes for the acceptance testing a lot easier  
25 than if you had to say, oh, the lights are at minimum at

1 exactly 100 percent of the design illuminance of the  
2 space.

3 So, that was preexisting. And the history of  
4 this measure, in terms of the plus OFF, is we're  
5 replicating what's in the ASHRAE 90.1, and that's a  
6 mandatory requirement for most spaces.

7 And the idea is that you dim -- the change now  
8 is that you dim to your minimum level, to 125 percent of  
9 OFF. And that by 150 percent you're at full OFF, you  
10 turn the lights off. That extra 25 percent does two  
11 things. One is that it provides a dead band between  
12 your minimum -- you know, you don't want to be, oh; at  
13 126 percent I'm turning the lights off, right? So, you  
14 don't want to have a situation. So, it actually got  
15 quite a bit of dead band between my minimum dimming and  
16 my turning my lights off.

17 Also at that point the discussion is that people  
18 don't even -- you know, the lights are already down at  
19 10 percent and they're only providing 10 percent out of  
20 150 percent of the design illuminance. So, you've got  
21 about a 6 percent change when you switch the lights off.  
22 So, you have a dead band so there's lots of time between  
23 the lights turn on and off. And you have this  
24 relatively small amount of light, which is the 5 percent  
25 of the remaining light that's available.

1           Is that answering your question?

2           MS. CLANTON: Good answer. This is Nancy  
3 Clanton, again. Good answer, except what you're  
4 equating is lighting level is perception. And by  
5 dimming down, the perception is the lights are still on  
6 or the luminous, the brightness balance is still there.

7           When you go to off, it's a whole different  
8 perception. It's not illuminous. It's going to be a  
9 luminous balance. And that's what I'm wondering if the  
10 CASE Team thought of?

11           MR. MCHUGH: Right. So, the issue you bring up  
12 is at this point your electric lighting is at 10 percent  
13 or so, you've got a lot of reflective light in the  
14 space. Yes, if you're looking -- if you have a direct  
15 fixture, you can see it, right? But if you have an  
16 indirect fixture, there's not much to see there.

17           And, specifically, there are certain areas that  
18 are exempt. And so, I don't know if Jim's really  
19 highlighted the exemptions. But, basically, this is  
20 exempting classrooms, your office spaces, places where  
21 you have a fixed task.

22           Imagine you're in the airport and the light goes  
23 from 5 percent to off, is this something -- you know,  
24 these are spaces -- in general, the spaces that are not  
25 exempted are spaces that don't have a personal ownership

1 of the space. So, that's the issue.

2 MR. BENYA: Neall?

3 MR. DIGERT: Neall Digert for Solatube  
4 International.

5 Nancy, you raise an excellent question. And I  
6 think that the art -- well, I think the art of  
7 daylighting has evolved. We're no longer worried about  
8 task illuminance. So, when we talk about quality  
9 daylighting design, hopefully designers are thinking  
10 about grazing of walls with daylight.

11 So, I'm less concerned with this current change  
12 because I'm hoping that daylighting design has  
13 progressed to a point where we don't need the electric  
14 lights to balance the space anymore, that we are getting  
15 grazing of light on walls. We're getting light on the  
16 ceilings. And we're thinking about volumetric lighting  
17 with daylight, beyond just task light illuminance. I'm  
18 hoping.

19 But that is a great question and it would be  
20 nice to have the CASE Team look at that.

21 MR. BENYA: Thank you, Neall.

22 Charles?

23 MR. KNUFFKE: I'm going to have to wear my  
24 glasses to make sure I hit these. First off, thank you,  
25 everybody. Quite honestly, the fact that there's only

1 30 minutes for questions, I'd like 30 minutes to go for  
2 almost every one of these slides because there is so  
3 much meat and feedback opportunities on that.

4           So, I've got a couple of different comments.  
5 One is that there was originally an item in the code  
6 where occupancy sensors were recognized as meeting the  
7 area control device requirement.

8           So, when we talk about occupancy sensors in  
9 bathrooms, one of the issues that's come up repeatedly  
10 by designers is why am I then putting a switch in the  
11 space?

12           Similarly, with hallways, where there's always a  
13 question. I truly wonder why the occupancy sensor  
14 cannot be considered to be an area control device since  
15 it does exactly what an area control device would  
16 normally require.

17           And these are sometimes area where you wouldn't  
18 normally want to turn the power or light off. So, I  
19 just would ask that that be a consideration.

20           Jim, I absolutely agree with your comment in  
21 regards to the multi-level dimming requirement, that the  
22 0.5 watt exemption really seems like that is now setting  
23 a bar that would be easily met. And yet, the fact is  
24 the dimming ballast, the LED fixtures have that  
25 automatically. So, that question about the 0.5 watts, I

1 really kind of wonder why that wouldn't be looked at by  
2 the CASE Team.

3           With Nancy's comment, you might think that I'm  
4 going to say that, no, you should always go off on photo  
5 cells. And yet, I would actually say that's not the  
6 case. First off, there's nothing that prevents anybody  
7 with an automatic system from setting up so that photo  
8 cells do turn the lights off.

9           The question is whether or not it should be a  
10 code requirement.

11           And similarly, my experience has been very much  
12 what Nancy has mentioned, which is that when you have a  
13 photo cell that turns a light off and somebody goes into  
14 that space, A, they don't know that a photo cell is  
15 doing it, so they may think that the lighting control is  
16 actually not working.

17           One of the questions that's come up repeatedly  
18 by designers is, well, can I override a daylighting  
19 control system? My belief is that the area control  
20 device requirement allows you to be able to do that.  
21 But I know that the CEC has sometimes indicated  
22 otherwise.

23           So, if going to full off is a requirement, then  
24 I would definitely make sure that lights could be  
25 overridden on because that would at least be able to

1 prove to the occupant of the space that the lights are  
2 actually working and controlled. And my personal  
3 preference is that I don't think making it as a  
4 mandatory to OFF as a requirement. I think that good  
5 design would dictate that for the spaces that Jon was  
6 talking about.

7           So, the designer is always in the purview to  
8 allow that to happen when they want. I just don't  
9 believe that that should be a mandate.

10           Vacancy sensor versus manual ON. I appreciate  
11 the idea of making sure that we use the term manual ON  
12 in the commercial world. Vacancy sensor carries  
13 characteristics because it is defined by Title 20, and  
14 that there cannot be a way of being able, or a dip  
15 switch to be able to make it from manual ON to automatic  
16 ON.

17           In the commercial world we also sell, as  
18 manufacturers, products that are used in different  
19 spaces. So, calling it a manual ON device means that it  
20 is set up as manual ON. It is tested to verify that it  
21 is manual ON by a CLCAPP. And I think that that is  
22 absolutely the right thing is to try to keep that  
23 difference between manual ON and vacancy sensor as it  
24 pertains to commercial versus residential applications.

25           Lastly, to put on my CEA hat for a moment, some



1 of the comments that were made about corridors and  
2 stairwells, I do believe that as part of one of the  
3 alteration proposals some language changes have already  
4 been made. And so, I just would warn that I think  
5 there's some harmonization that needs to be required  
6 between what just got presented and what is also being  
7 presented, probably, in the alternation section.

8           So, I look forward to seeing that and making  
9 further comments. So, thank you very much.

10           MR. BENYA: Thank you, Charles.

11           MR. SHIRAKH: Charles, I had a question. You  
12 know, you said using occupant sensors in some places and  
13 not have manual ON --

14           MR. KNUFFKE: Correct. And so the code, up  
15 until 2008, said that you needed to have a manual  
16 control device or an occupancy sensor. I think it was  
17 the 2008 Code that actually took out the option of  
18 occupancy sensors. So, up until then a designer could  
19 put an occupancy sensor in, or could put a switch in, or  
20 could put both.

21           But that really seemed like that eliminated the  
22 problem of a phone call, today, from a designer who is  
23 just saying why am I putting a dimmer in a hallway, if  
24 I've already got occupancy sensors to do the control  
25 that is being required.

1           MR. SHIRAKH: Then for the switch, if you have a  
2 space with an occupant sensor, but not a manual shutoff,  
3 and you want to do some maintenance on some of these  
4 lights, then what do you have to do? Turn the power off  
5 and --

6           MR. KNUFFKE: And for sure that's what we'd be  
7 thinking would be the desired effect.

8           So, if you're saying that switches are being  
9 installed as disconnect devices then that's a whole  
10 different rationale than what I've heard before. But it  
11 seemed like the code language before was very popular  
12 with the designers because it gave them the ability to  
13 make the choices that they wanted to in the space.

14           So, thank you very much.

15           MR. BENYA: Thank you, Charles.

16           MR. STRAIT: Also, the one thing to the 0.5  
17 watts requirement or threshold for dimming or for  
18 multiple controls, conceptually we agree that that is  
19 becoming easier to reach with LEDs, and that wasn't the  
20 intent of having that threshold in there.

21           However, part of the reason that threshold is  
22 there and is the level that it's at is because lighting  
23 below that level, you simply are not saving enough  
24 energy by reducing it by some fraction to pay for the  
25 control. That is that cost benefit.

1           When the original analysis was performed, that  
2 was where the balance point was found to be. That above  
3 that amount there's enough energy being saved that it  
4 pays for the control. Below that amount there's just  
5 not enough energy being saved to pay for having solved  
6 that control.

7           What we need in order to reexamine that  
8 threshold would be a cost analysis showing that the  
9 current cost of those controls are low enough that even  
10 if we're going from like something that's at 0.3 watts,  
11 down to 0.2 watts, that energy saving is still enough to  
12 provide a positive cost benefit ratio with that lower  
13 threshold.

14           MR. BENYA: Peter, if I could just add  
15 something, too? Historically, we've not only been  
16 concerned about turning lights on and off very quickly,  
17 the power curves where most loads flattened out. So,  
18 you were still using a heck of a lot more watts than 10  
19 percent of the wattage, when you were at 10 percent of  
20 the energy.

21           With LEDs, we have a chance for that to be  
22 different. So, that's something to keep in mind.

23           The next question is by Peter.

24           MR. SCHWARTZ: Yeah, Peter Schwartz, a Principal  
25 Investigator at Lawrence Berkeley National Lab, heading

1 up the Lighting Control Team.

2 I want to echo Jim's thought with regard to  
3 network controls. We're rapidly reaching a point where  
4 the market forces are outpacing code cycles. In  
5 particular, we're doing a lot of work relative to demand  
6 response and commercial lighting as the main distributed  
7 energy resource providing that.

8 But even beyond that, with our grid  
9 modernization work is using lighting to provide grid  
10 services, as mentioned earlier, to help deal with the  
11 excess solar capacity at midday. Which, as we're  
12 finding with the more circadian research coming out that  
13 we may want an increase in light levels at midday to  
14 help, as Jim said, stimulate people's circadian cycles.  
15 And oh, by the way, it matches neatly with the excess  
16 solar.

17 So, when we think about our watts per square  
18 foot, you know, moving in the future are we looking at  
19 the right performance metrics given the greater  
20 functionality that these new lighting systems can  
21 provide?

22 Another aspect is we're funding, as one of our  
23 EPIC Projects, to come up with a new lighting  
24 performance metric to promote outcome-based codes. So,  
25 as rather up front how many watts per square foot are

1 you doing, it's more how many kilowatt hours per square  
2 foot, per year, and when are you using it? To match the  
3 municipalities who are doing benchmarking. So, kind of  
4 move in that direction.

5 And we would encourage the CASE folks, and  
6 others, where it's 2019 or the next cycle is we need to  
7 look at lighting as beyond just lighting for humans, but  
8 lighting as a distributed energy resource and what does  
9 that mean relative to code?

10 The value proposition changes because we're not  
11 buying it based on energy efficiency. We might be  
12 getting a lot of revenue, which enables us to put in  
13 more and more controls.

14 MR. BENYA: Thank you, Peter. Yeah, we've had  
15 discussions about this.

16 Nancy, does this sound familiar to something you  
17 and I talked about 10 years ago or so?

18 MR. SHIRAKH: Yeah, Jim, I want to make some  
19 comments on what Peter said. And I totally agree.  
20 We've learned a lot about our experience with ZNE in  
21 residential buildings, and part of it is when you add  
22 photo voltaics and renewables you bring the maximum  
23 benefit to the building, to the homeowner, and the  
24 environment of the grid, is when you grid harmonize.  
25 And that is to use their projection from the PV system,

1 the kilowatt hours generated as self-utilizing. Use  
2 them as much as you can on this side and minimize the  
3 amount of kilowatt hours you're sending back to the  
4 grid.

5           You know, you get into NIM, the compensation  
6 rules and all of that, but setting that all aside is  
7 that, you know, when we move forward as part of 2019 and  
8 2022, it is all very important to think about controls  
9 that will remain with us to achieve this great  
10 harmonization. So, I agree with some of the comments  
11 that's made today and I think that is something to  
12 really pursue.

13           MR. BENYA: And I just want to thank LBNL for  
14 all the important contributions over the history of  
15 Title 24, and continuing to bring them forward. Peter,  
16 thank you.

17           Go ahead.

18           MR. SCALZO: Hello. Michael Scalzo, I'm with  
19 the National Lighting Contractors Association of  
20 America. We're an ATT certified provider.

21           I'm just going to make some quick comments. I'm  
22 going to definitely review these codes. We went through  
23 these slides pretty quick.

24           But in reference to shading, you've referred to  
25 the skylit zone. Was there other considerations for

1 daylight zones, like all other daylight zones, like  
2 garages and buildings?

3 We have situations, like in San Francisco, where  
4 buildings are stacked up, where they have glazing, and  
5 so that might be a consideration.

6 You referred to overhangs for daylit zones.  
7 That would probably add in a requirement for acceptance  
8 testers, for verification processes to see if it's  
9 required or not required during our testing processes.  
10 So, that might be a consideration of how that's going to  
11 be accomplished.

12 Speaking to dimming plus OFF, which is the hot  
13 topic, I know personally, having been on over 250 plus  
14 projects throughout California testing, dimming plus OFF  
15 in the retail sales environment is really horrible. No  
16 business wants their lights going off in a sales  
17 environment. Plenty of times, as I'm getting into my  
18 car, they're rewiring the controls.

19 So, you might look at that as another exception  
20 for that.

21 And that's it, thank you very much.

22 MR. BENYA: Yeah, I believe that is one of the  
23 exempt spaces, so you're in agreement. Thank goodness.

24 MR. GIOVANNI: Michael Giovanni, Lutron  
25 Electronics, and also a member of the CEA.

1           Good stuff, Jim. Most of it doesn't give me  
2 heartburn and so far we support it. But I do want time  
3 to digest it and I will provide written comments.

4           One thing that does give me heartburn is the  
5 part they presented that said, "No controls shall  
6 override any of the required lighting controls that  
7 results in an increase in energy consumption."

8           So right now, our standard today allows for  
9 partial automatic ON, and automatic ON, automatic OFF,  
10 say in the restrooms. So, the issue is, if the last  
11 person in one of those spaces has turned the lights off,  
12 okay, and then when the space becomes reoccupied, when  
13 the lights come partially on, or fully on, such as in a  
14 restroom, that does not comply with this language that  
15 was proposed. So, we just need to fix that.

16           I'm a little bit disappointed that there's not  
17 any changes to the demand responsive lighting, or very  
18 little changes there. I think we can do a much better  
19 job there and actually provide true demand responsive  
20 lighting where something happens with the lighting when  
21 you get a demand response signal. Okay? Right now, if  
22 the lights are already below 85 percent, nothing  
23 happens, based on the current language.

24           MR. BENYA: Yeah, if it's below half-a-watt a  
25 square foot.



1 MR. GIOVANNI: Say that, again?

2 MR. BENYA: And if it's below a half-a-watt a  
3 square foot.

4 MR. GIOVANNI: Right, right. So there's some  
5 opportunities there that I think we should --

6 MR. BENYA: There is some work there and you'll  
7 see it when you review the CASE Reports.

8 MR. GIOVANNI: Okay. And I also just want to  
9 ask if there's something that wasn't changed, can we  
10 still provide comments on language that should be  
11 changed?

12 MR. STRAIT: In this pre-rulemaking phase, yes.  
13 We will accept comments on any of the language we've  
14 got. Not that in terms of making substantive changes,  
15 we are kind of being somewhat bound by what we have  
16 analysis that supports.

17 For example, we had a proposal where we were --  
18 a similar proposal for demand response controls to  
19 change to the 0.5 watts exemption there, or that  
20 threshold there, but didn't have analysis to show, that  
21 would let us do that.

22 Because as to your point, 0.5 watts was actually  
23 baked into the analysis to perform the original CASE  
24 Report on which we adopted it.

25 So, absolutely, please provide comments on

1 anything in the code and we'll provide feedback on that.  
2 And I can also echo that staff shares your concern with  
3 relation to automatic ON. We don't feel like Title 24  
4 should be in a position of restricting where someone can  
5 elect to have an automatic ON behavior. So, we are  
6 looking closely at some of that language to make sure we  
7 don't preclude folks that want automatic ON behavior,  
8 from being able to put that in place.

9           It also goes to like questions, though, if  
10 there's a manual -- should we also say that that control  
11 needs to be capable of providing manual behavior, as  
12 well, so somebody's able to choose what they want? But  
13 there's a lot of questions like that we've got to sort  
14 through. But yes, we're sensitive to that as well.

15           MR. GIOVANNI: All right, thank you.

16           MR. BENYA: One more comment and then we're  
17 going to have to cut it and move on to the next segment.

18           MR. STRAIT: I'm sorry, Jim, I think we want to  
19 make sure we listen to everyone that has a comment on  
20 this.

21           MR. BENYA: Okay, a new rule by Peter. Let's  
22 go.

23           MR. HARING: Hi, Rick Haring, I'll try and be  
24 quick.

25           I just wondering if you could clarify a couple

1 of things? Looking through the slides this morning, I  
2 noticed that there was a reduction in the controlled  
3 space from 15,000 square foot to -- or, from 20,000  
4 square foot to 15,000. I wonder if you can clarify the  
5 rationale for that.

6 MR. BENYA: CASE Author, 20,000 square feet to  
7 15,000? It's actually 20,000 square feet to 15,000  
8 watts.

9 MR. HARING: Ah, I'm sorry. Okay.

10 MR. BENYA: So, it's changing from a square  
11 footage-based metric to a wattage-based metric.

12 MR. HARING: Oh, okay. Any particular rationale  
13 for that?

14 MR. BENYA: CASE Author?

15 MS. LINNEY: Okay, I might call -- Jon McHugh  
16 also has some information on that.

17 MR. BOZORGCHAMI: She can't hear you.

18 (Microphone comments)

19 MS. LINNEY: Okay. So, just to point out there  
20 is -- we do have the Section 6, or 7 of the CASE Report  
21 has the standards language and cross-out, and then it's  
22 highlighted.

23 And then, Section 2 actually has a detailed  
24 explanation for all of the different things we're  
25 proposing in the general cleanup language. So, it's

1 going to be a little more detail of why exactly we're  
2 going to this wattage-based, wattage from the square  
3 feet.

4 So, I think it's on page 8. And, basically,  
5 it's trying to simplify the code is our main goal.  
6 Yeah, we have a full, it's like two pages. So, if you  
7 have any other questions, you can reach out to us.

8 MR. BENYA: Thank you, Erin.

9 MR. HARING: The second question is the  
10 rationale for manual On, for time clock switch?

11 MR. BENYA: Case Author? Erin, is that you  
12 again?

13 MS. LINNEY: The rationale for it. So, we got  
14 feedback from several stakeholders that this would save  
15 energy. And it's really only a certain amount of time  
16 that we're looking at this manual ON. So, we've seen  
17 from stakeholders that -- I'll just use an example of an  
18 office building, where the building control system's  
19 going to turn the lights on at 6:00 a.m., or something.  
20 We have the actual hours in the report. But then,  
21 people don't show up until maybe 7:00. So, we're saying  
22 there's that hour of time where the building's going to  
23 turn the lights on when people aren't there.

24 So, we want to -- for just certain spaces that  
25 we're recommending, where there isn't people who come

1 and they can turn on the lights. Of course, this  
2 wouldn't apply in areas in the general public, lobbies,  
3 and things like that. That if you're in an area and you  
4 can just flip that light on when you're actually there,  
5 that can save some energy.

6 MR. HARING: Okay, thanks.

7 MR. BENYA: Mr. Flamm?

8 MR. FLAMM: Gary Flamm. So, Jim, you had a  
9 discussion in Section 130.1(b). You suggested the  
10 exception for 0.5 watts per square foot that you've  
11 revisited. And then, Jon said something about the  
12 language was different.

13 Help me understand, what is that exception now?  
14 Is the exception going to go away or has it been  
15 modified?

16 MR. BENYA: Jon?

17 MR. MCHUGH: Hi, this is Jon McHugh. I'll just  
18 remind everyone again that all these CASE Reports are  
19 posted at [title24stakeholders.com](http://title24stakeholders.com), so everyone has  
20 access to the reports.

21 As you see, Gary, here for this section,  
22 Exception 1 would be completely stricken. And that's  
23 because, as Jim rightly noted, the cost of dimming  
24 driver versus the incremental cost of a dimming ballast.

25 Back in the old days there was a greater

1 increment of cost to go to dimming. So, that's why this  
2 exception is no longer needed. So, that's it.

3 MR. FLAMM: I was going to suggest that that  
4 exemption go away because the baseline technology is  
5 dimmable. And so, there's no cost to that. Okay,  
6 thanks for the clarification.

7 MR. BENYA: Thank you. Any other questions;  
8 comments? Michael McGaraghan?

9 MR. MCGARAGHAN: Mike McGaraghan with Energy  
10 Solutions, for the California Utility Team. And I just  
11 wanted to follow up on Michael Giovanni's comment about  
12 demand response.

13 So, there are some aspects related to demand  
14 response that were considered and discussed in the CASE  
15 Report, so please check that out and we'd love to talk  
16 to you about that more.

17 But I also wanted to highlight that there is a  
18 separate demand response-related workshop that's  
19 addressing demand response, demand response throughout  
20 the code. I think it's July 13<sup>th</sup>.

21 MR. BENYA: Yes.

22 MR. MCGARAGHAN: And there are a couple of  
23 things that might overlap and we can talk to you about  
24 that offline. But one of the things is we're  
25 considering whether lighting controls that are required

1 to be demand responsive, whether they should have an  
2 open ADR-certified virtual end load. So, and there may  
3 be a couple of other things, but let's keep that  
4 conversation going. So, thanks, Michael.

5 One other comment. I don't have the list in  
6 front of me but there was a lot of question about which  
7 base types were exempted from the daylight dimming plus  
8 OFF. If that would be helpful for people, Jasmin's  
9 probably on the line. And Jasmin, could you just read  
10 through the exempted spaces so that everybody in the  
11 room here is clear?

12 MS. LINNEY: I can actually do.

13 MR. MCGARAGHAN: Oh, okay, we've got it right  
14 here. Thank you, Erin.

15 MS. LINNEY: Oh, Jasmine, I can do it. That's  
16 fine.

17 Okay, so if you see on page 64 of the CASE  
18 Report we have the actual code language. So, we have  
19 Exemption 1 is sidelit daylight zones in retail  
20 merchandise sales and whole sales showroom areas.

21 And then, Exemption 2 is classroom, lecture,  
22 training and vocational areas.

23 And what is actually proposed is keep -- those  
24 are exempt from this daylight dimming plus OFF, but you  
25 can still get a power adjustment factor if you do

1 install daylight dimming plus OFF. Which before, the  
2 plus OFF was a power adjustment for any space. But now  
3 those are, we've taken those exemptions and put them in  
4 the power adjustment factor, if you choose to do that.

5 MR. BENYA: Thank you, Erin.

6 Jon?

7 MR. MCHUGH: Hi, this is Jon McHugh. I just  
8 wanted to respond to Michael Giovanni's comments about  
9 the controls coordination.

10 You know, Jim's done a great job condensing down  
11 a lot of information. These are, you know, huge  
12 reports. Again, at [title24stakeholders.com](http://title24stakeholders.com) you can  
13 download the reports.

14 When you look at the proposal for controls  
15 coordination there's three exemptions. Basically, what  
16 this proposal does is it makes explicit where are those  
17 areas. You know, saying in general you can't have a  
18 control that overrides another control and increases the  
19 energy consumption. But there are three specific cases  
20 where they are specifically called out because they're  
21 defined earlier. And those exemptions are related to  
22 the timed override control, a time switch that can -- if  
23 you have a time switch, you can use area control and  
24 turn it on. And then, finally, occupancy sensors, you  
25 know, whether they're partial ON or full ON, those



1 occupancy sensors override the other controls. So,  
2 those are those places.

3 And so, if you take a look at those exceptions  
4 and you have any additional comments, we'll be very  
5 interested. Thank you.

6 MR. BENYA: Any other final comments?

7 MR. WICHERT: We do have a comment on line,  
8 which I'll get to now. This is from Eric Page, of Eric  
9 Page & Associates.

10 MR. BENYA: Hi, Eric.

11 MR. WICHERT: "Did you say that the photo sensor  
12 locations restrictions in 130.1(d)2D will be eliminated?  
13 Or, is this restriction retained somewhere else?  
14 Personally, I feel that in the real world area of  
15 things, where sensors are wireless and potentially  
16 useful data can come from anywhere, we shouldn't  
17 eliminate sensor locations that are potentially useful."

18 MR. BENYA: Good comment. Noted.

19 MR. STRAIT: This is Peter Strait. I don't  
20 believe it's in the Utility CASE Reports, but staff, in  
21 doing "cleanup review" did look at that, and we're  
22 looking at changing that requirement that all the  
23 sensors be located in a specific place. Say that one of  
24 these sensors should be located where it's specified.

25 And that's partly because we're seeing a lot of

1 devices where the sensor -- where there are sensors built  
2 directly into luminaires for troffers. And that  
3 requirement that all of the sensors have to be located  
4 in a specific place would have the effect of banning  
5 devices that happened to have just an integrated sensor  
6 in them, even if that sensor wasn't being used to  
7 actually control lighting.

8           And also, we're broadly aware that we need to  
9 revisit that language and revise it. So, yes, that is  
10 on the radar. I don't know that we're going to  
11 completely remove that because we probably still want  
12 one sensor, at a minimum, at a place where it's going to  
13 provide the most useful lighting data for that space.  
14 But we certainly don't want to make it so that all of  
15 the sensors have to follow suit.

16           MR. BENYA: Peter?

17           MR. SCHWARTZ: Yeah, this is Peter Schwartz with  
18 LBNL. To elaborate a little bit, what Eric is referring  
19 to is research from one of our Epic projects around  
20 ambient lighting control and, specifically, having the  
21 sensor mounted on a task light or even a computer  
22 monitor where you're getting a much better view of the  
23 task area. Want to make sure that any new code language  
24 doesn't eliminate the possibility of that type of sensor  
25 location.

1 MR. STRAIT: Yeah, we agree with that.

2 MR. BENYA: Thank you. Further comments?

3 Seeing none, I'm going to introduce staff, a  
4 member of the Building Standards Office, Efficiency  
5 Division, Thao Chau, our new member of the team. And  
6 Thao is going to take on Nonresidential Lighting  
7 Alterations. Thao.

8 MR. CHAU: Thank you, Jim. Okay, so this is the  
9 2019 Residential Lighting Alterations Measures.

10 So, I would like to take this opportunity to  
11 thank the two stakeholders that took part in this round,  
12 for this measure. And the first is the Statewide  
13 Utility Codes and Standards Team, which is also known as  
14 the CASE Team. We've mentioned them a few times this  
15 morning, already.

16 And the other team is the California Energy  
17 Alliance, or CEA.

18 So, currently, under 2016 Code there are two  
19 sections that apply to lighting alterations projects.  
20 So, 140.0(B)2I is the entire luminaire alteration. And  
21 the 141.0(b)2J is about the luminaire modification of  
22 component modification.

23 So, under code any lighting alterations projects  
24 has three compliance pathways. Option 1 applies when  
25 you have LPD which is greater than 85 percent of the

1 lighting power allowance. In this section, full  
2 controls are required, the same as a newly constructed  
3 building.

4 Option 2 applies when the lighting power density  
5 is up to 85 percent of the lighting power allowance.  
6 Area and shutoff controls are required. No demand  
7 response, no daylighting, with limited multi-level,  
8 which is the bi-level control in this case.

9 Option 3 is the existing lighting power reduced  
10 by either 35 or 50 percent, depending on occupancy type.  
11 And area and shutoff controls are required. No demand  
12 response required, no daylighting, no multi-level.

13 The CEA proposal, submitted to us, is regarding  
14 those two sections that I just mentioned. They proposed  
15 that we merge the two sections together. So, instead of  
16 having entire luminaire alteration and a separate  
17 luminaire component, they want it to be a new altered  
18 lighting system.

19 So, what that means is the current 10 percent  
20 exemption will be applied to both, instead of just  
21 Section 141.0(b)2I, only.

22 They also propose new updates to the exceptions  
23 to the lighting alteration requirements. They limit  
24 Exception 2 to apply to spaces with one luminaire,  
25 instead of 2 or fewer, as it currently is in a whole

1 space.

2           Reduce the annual allowance for luminaire  
3 changes from 70 per floor to 50 per year, and move this  
4 allowance into a new exception.

5           And also move the language regarding lamp and  
6 ballast change outs into another exception.

7           Continuing on with the proposal, they also  
8 propose the reduction for the LPD limit for Option 2  
9 from 85 to 80 percent of the allowance.

10           The proposal narrows the scope for Option 3 by  
11 adding a size limit of up to 5,000 square feet for a  
12 project and also adding the "one-for-one" language that  
13 prevents adding, subtracting, or relocating any  
14 luminaires.

15           And the proposal also sets a uniform lighting  
16 power reduction of 40 percent to all occupancy types for  
17 Option 3.

18           So, here is an example of their proposal  
19 language. So here is when we see the altered lighting  
20 system is replacing the entire luminaire alteration.  
21 And the similar language is proposed for the luminaire  
22 component, as well.

23           So, this is also where we see the 10 percent  
24 being applied for both -- the 10 percent exemptions  
25 being applied to both sections because they have merged,

1 where it currently stands.

2           So, this is where we see the one-for-one  
3 language being introduced, being used in the 40 percent  
4 lighting reduction uniformly applied. And the 5,000  
5 square foot limit is also in here.

6           So, again, I'm just going through the highlights  
7 of the proposals. I'm not discussing all of the  
8 details. All of the details will be in the reports,  
9 itself, and I will talk about where we can find the  
10 reports at the very end. I just want to take the  
11 opportunity to present both proposals at the high level,  
12 not in the details.

13           So, in terms of the CASE proposals, they are  
14 proposing changes to three sections, 141.0(b)2I, J and  
15 K. The proposals shrink Sections 141.0(b)2I and J by  
16 having both refer to shared tables where they lay out  
17 information side by side.

18           It also shrinks the Section 141.0(b)2K by  
19 referring to separate, similar tables.

20           And it reduces existing "two or fewer  
21 luminaires" Exceptions to one luminaire, as well as  
22 incorporates directly this language into proposed new  
23 tables.

24           The proposals also specifies, for the CASE Team  
25 that is, it specifies Option 3 to include every single

1 luminaire in the space at the project that's being done.

2 So all, every single luminaire will be counted.

3           Also requires partial OFF occupancy sensor  
4 controls for stairwells and sets a uniform lighting  
5 power reduction of 50 percent for all building types for  
6 Option 3.

7           So, here is an example of the shared tables.  
8 So, on the left side we see the entire luminaire  
9 alteration portion and then we see the luminaire  
10 component modification section. They lay side by side  
11 in this table, in an attempt to clearly show people  
12 which option applies and under which scenario.

13           And in comparing the two proposals, I just want  
14 to point out some main similarities here. So, both seek  
15 to clarify and streamline the lighting alterations  
16 sections, in the hope that the sections will be clearer  
17 and easier to follow.

18           Both propose to reduce the two luminaire  
19 exceptions into one luminaire.

20           And they both address the ongoing concern of the  
21 industry about the partial retrofits, under Option 3,  
22 although they have different approaches about that.

23           And they both propose clear, new update tables  
24 for ease of usage.

25           In terms of the differences, again I'm just

1 putting up some of the main differences. There are many  
2 others. You guys need to -- they're all in the reports.

3 So, the CAA proposed a 10 percent luminaire  
4 threshold apply to all projects, and also reduced the  
5 luminaire for a year to 50. So, that's 20 less than it  
6 currently stands.

7 The CASE Team proposed no changes in this  
8 matter.

9 And the lighting, existing power reduction is  
10 being -- I'm sorry, lighting power density limit for  
11 Option 2 is being proposed 5 percent lower, to 80  
12 percent, than it currently stands.

13 And the CASE Team proposes no changes to this.

14 And they both try an attempt at solutions to  
15 partial retrofit issues. So, Option 3, for CAA, applies  
16 to the one-for-one alterations only, while the CASE  
17 Team's proposed that we sum all of the power of all of  
18 the luminaires in altered space.

19 I have a typo here. It should say, "Existing  
20 power reduction." I will change that later.

21 For the CAA, is uniformly proposed 40 percent  
22 and 50 percent for the CASE Team.

23 The CAA also proposes a project limit size up to  
24 5,000 square feet, while the CASE Team had no changes  
25 proposals.



1           Additional control is also required from the  
2 CASE Team, of partial OFF occupant sensing in  
3 stairwells. And the CAA proposed no control addition.

4           We welcome and really invite you, and everyone  
5 to come on each and every item on both proposals, but we  
6 want to focus attention on these four questions for the  
7 stakeholders.

8           Should we use the CEC "one-for-one" language or  
9 the CASE "all lighting in altered spaces" language?

10           Should we propose a 5,000 square feet size limit  
11 on Option 3?

12           Should we lower the lighting power density  
13 threshold for Option 2 from 85 to 80 percent>?

14           Should we also look at the lighting wiring  
15 alteration, which is Section 141.0(b)2K?

16           So, in terms of the information, please submit  
17 your comments by July 14, close of business day, by two  
18 methods. You could either E-file, using that address.  
19 Please note that you need to submit it under Docket No.  
20 17-BSTD-01.

21           Or, you can e-mail it to the docket team, but  
22 please also include the docket number in your subject  
23 line so it goes to the right place.

24           Both proposals are actually being developed  
25 using a spreadsheet-based analysis alteration tool. And

1 this is a really great tool. We make the tool and both  
2 proposals available on that link. Please, when you look  
3 at the proposal, also look at the tool and see how these  
4 ideas are being developed.

5 And if you have any questions on how to submit  
6 your proposal, or any comments on anything, that's my e-  
7 mail as well, Thao Chau.

8 And with that, any comments or questions? Cori,  
9 please.

10 MS. JACKSON: Hi, thank you. Cori Jackson from  
11 the California Lighting Technology Center. I was the  
12 lead author on the CEA's proposal. We're a member of  
13 CEA, which is the California Energy Alliance.

14 And I just want to give a little overview of  
15 what our proposal really aimed to achieve. I know that  
16 specific details have been picked out for discussion for  
17 this meeting, and it's a little bit taken out of  
18 context.

19 So, I want to just give some context so that the  
20 stakeholders can really understand where our Alliance  
21 was coming from.

22 So, the overarching goal for us was  
23 simplification. So, we looked at the lighting  
24 alterations standards that had grown from something like  
25 a few lines of text, 10 years ago, to more than two

1 pages of requirements. And we thought, from a practical  
2 perspective this was getting potentially too complex, or  
3 more complex than it needed to be. And we wanted to sit  
4 down, as a group of industry stakeholders and figure out  
5 a way to simplify that language.

6 So, you'll see specific changes that we're  
7 recommending, but that overarching goal of simplicity  
8 and energy savings is what really drove this proposal  
9 from the beginning.

10 So, we cut about 47 percent, 50 percent of the  
11 language. So, if you actually look at the clean  
12 versions of the requirements, by combining different  
13 sections, providing one universal set of exemptions,  
14 providing one universal threshold we really feel that  
15 we're simplifying things for the end-user, which will  
16 increase compliance, increase comprehension and,  
17 hopefully, an increased number of retrofits in the  
18 State. So that was number one.

19 Number two was energy savings. We want to make  
20 sure that the great work that was being done under the  
21 2013 Code and the 2016 Code with respect to alterations.  
22 We want to make sure that whatever our Alliance proposed  
23 it didn't decrease energy savings with respect to those  
24 existing standards.

25 So, we relied on, as Thao said, an excellent

1 tool that was prepared by the Utility Codes and  
2 Standards Teams to quantify the baseline. And, really,  
3 without that tool it would have been much more difficult  
4 for me to author this report. So I thank them very much  
5 that they shared that tool with us in advance.

6 But we wanted to make sure that we had energy  
7 savings. So, our proposal is putting forth about 11  
8 gigawatt hours, annually, of additional savings beyond  
9 2016, what we would get for a retrofit under the current  
10 standard. And an additional, about 2 megawatts of peak  
11 demand reduction.

12 So, not only do we have 50 percent less  
13 standards, we have more energy savings.

14 So, I just want to keep that in mind as we're  
15 going through these specific details, that overarching  
16 simplicity and energy savings was what we really strived  
17 to achieve. So, thank you.

18 MR. SHIRAKH: So, before you go, this is Mazi  
19 Shirakh. I spent a lot of time this last summer coming  
20 up with -- on this existing language for lighting  
21 alterations. And one of the reasons we came up with  
22 this 35/50 percent was to basically make sure that  
23 Option 3 would be at least as efficient as the 2016  
24 Standards.

25 Now, with the reduction in the LPDs that are

1 proposed for 2018 Standards, we need to look at that.  
2 I'm a little bit surprised that, you know, you're  
3 recommending a 40 percent uniform reduction and you find  
4 that to be more efficient. You know, my experience is  
5 that it's not going to be anywhere close to be, given  
6 the new 2019 --

7 MS. JACKSON: Right. So, we had access to the  
8 estimated lighting power densities for 2019, and we used  
9 those in our analysis. Yeah, so they are based on what  
10 we think those LPDs will be in the future.

11 This is where the 5,000 square foot limitation  
12 that we're applying comes into play. So we, as a  
13 stakeholder group, recognize that small buildings and  
14 tenant spaces needed an option where they didn't  
15 necessarily need to comply with the full suite of  
16 lighting power density and controls requirements.

17 That 5,000 square foot limit affects about 50  
18 percent of buildings. So, we're leaving 50 percent of  
19 the buildings on the table in California to be able to  
20 follow Option 3.

21 But it moves the other 50 percent to what the  
22 traditional compliance approach is, which are based on  
23 allowed LPD and controls. So, the savings by doing that  
24 far outweigh the small loss of savings that you'll leave  
25 in Option 3 by going from -- you're referring to the 50

1 percent processes, for example, down to a 40. By moving  
2 that building stock towards modernization, towards more  
3 sources and controls it's far exceeding the little bit  
4 of savings that you will lose by making a uniform level  
5 at 40 percent.

6           And just to say, those 50 percent of buildings  
7 are still exempt, they can use Option 3. We've left all  
8 the compliance options there. But the 50 percent that  
9 does move towards those traditional methods, under our  
10 approach, represents about 90 percent of the building  
11 stock.

12           So, in number of buildings we're leaving a lot  
13 on the table for small business owners and tenants, but  
14 we're moving the majority -- we really want to move the  
15 majority of the building stock towards modernization.  
16 And that was the goal of our proposal.

17           MR. SHIRAKH: Thank you. I'll look at that  
18 separately.

19           MS. JACKSON: Thank you.

20           MR. STRAIT: Yeah, I think really the  
21 explanation there, the tool was used, and because we  
22 didn't -- specifically, both of the proposals used the  
23 tool to demonstrate the changes, brought in at the same  
24 baseline, of it being at last as good as the 2016  
25 requirements, with the assumption of the 2019 proposed

1 lighting power density levels.

2 The CEA proposal gets there by making a number  
3 of small changes that, again, shifts the balance of who  
4 chooses which option, and puts some other limitations in  
5 play.

6 The CASE Team proposal makes one big change of  
7 pushing everything to 50 percent and then is able to  
8 make fewer of those changes that are kind of accessory  
9 to our surrounding that choice of option.

10 But that's part of why we have these -- if we  
11 can go back one slide, actually? Actually, back one  
12 more.

13 Part of why we have these questions is because  
14 they were some of the key distinctions between the two  
15 proposals and we'd like to hear from stakeholders which  
16 way they would refer us to go with these two options.

17 We see value and merit in both of them. They're  
18 both amenable to what we would like to do and,  
19 therefore, we want this to be a stakeholder-driven  
20 process as to some of these decisions.

21 MR. SHIRAKH: So, number two would limit Option  
22 3 to sizes below 5,000.

23 MR. STRAIT: Below and equal to, yes.

24 MR. SHIRAKH: So, the other ones would have to  
25 be either 1 or 2?

1           MR. STRAIT: Would have to go Option 1 or Option  
2 2, yes.

3           MS. CUNNINGHAM: Kelly Cunningham, PG&E. I just  
4 wanted to thank CEA for their collaboration on preparing  
5 both these proposals that were intended to complement  
6 each other in some ways, and represent independent  
7 thinking in other ways.

8           For example, there were conscious decisions to  
9 invest the time and resources that we had in sections  
10 that did not duplicate each other's efforts.

11           So, we hope that the stakeholders will take the  
12 time to read both. And if one idea emerges as a good  
13 direction from one, another from another, they are not  
14 an all or nothing on either side proposal. And that  
15 they are meant to both represent thinking of which we  
16 can assemble, hopefully, a final proposal that in an  
17 ideal world is in alignment.

18           So, that's a reminder to not take these as an A  
19 or B scenario and to ask questions of both parties. And  
20 we will share, as appropriate, if we find out from  
21 stakeholders' direction that will inform and benefit  
22 both proposals. Thanks.

23           MR. STRAIT: Thank you. And, actually, I'll go  
24 ahead and echo that. Just to give a little bit of  
25 background on these four questions we're -- as she had



1 mentioned, we're not looking at an either accept one  
2 proposal entirely, ignore the other, or vice-versa. A  
3 hybrid approach, where we're taking good ideas from both  
4 of them is certainly something we're interested in.

5           Question one, for use of the "one-for-one"  
6 language, this is a bit of history. An early 2016  
7 proposal to clarify some existing 2013 language, I could  
8 have -- the original phrase said a "like-kind"  
9 replacement. And that became a "one-for-one"  
10 replacement. And unfortunately, because there was  
11 difficulty defining what that term should mean, that  
12 term ended up getting dropped out of the 2016 language  
13 when it went through adoption. But that's some of the  
14 history there that there might be a still way to  
15 incorporate that concept, that idea.

16           And that's not necessarily exclusive to this  
17 idea that if we're having an option that's counting  
18 lighting power, that we require to look at all of the  
19 lights that are in that space.

20           Option 2, should the proposal be to look at  
21 5,000 square foot size? It isn't just a binary yes, we  
22 should or no, we shouldn't. But also, is that the  
23 appropriate size limit for these kinds of buildings?

24           We already have some size limits in different  
25 areas of the code. Sometimes it's 5,000, sometimes at

1 20,000 -- I'm sorry, sometimes at 10,000. And I think  
2 there's one even that's not in our code, but elsewhere  
3 in the building code, it's like at some much higher  
4 value than that.

5 But just so that we can have some consensus on  
6 both whether there should be a limit, but also what that  
7 limit should be.

8 For number three, lowering the LPD threshold.  
9 The original 85 percent was established by actually  
10 figuring that a 15 percent savings was equivalent to  
11 what would be expected from implementing daylighting and  
12 demand response. So, there was originally that direct  
13 link between the two.

14 Lowering to 80 percent, this is done in the same  
15 context of lighting power allowances going down. So,  
16 coming in at four-fifths of a lower lighting power, now,  
17 this makes it even more challenging.

18 Now, the CEA report does show that this is  
19 achievable by off-the-shelf products that can be bought  
20 and installed today, so that seems to be fully  
21 appropriate.

22 But we want that feedback from stakeholders to  
23 say is that -- is that achievable or does that put some  
24 unintended roadblocks in the way of lighting design?

25 And then item four is, you know, really there

1 are three sections that relate to lighting alterations  
2 because there were distinct requirements for the wiring  
3 alterations from those things that touch the actual  
4 light-producing elements.

5           If we're considering merging two of them or  
6 considering aligning two of them, should we wrap all  
7 three of these back together? So, there seems to be  
8 strong opportunities for additional code, streamlined  
9 code simplifications to actually put these all three as  
10 saying when you have a lighting system and it's being  
11 altered, here's what happens.

12           So, that's kind of the context here and  
13 definitely we're interested in feedback on both  
14 proposals, and how to integrate both of them, and which  
15 ideas.

16           MR. KNUFFKE: Hi, Charles Knuffke, WattStopper  
17 and a supporter of the CEA. So, I just wanted to call  
18 out specifically that I do believe there is extreme  
19 value in the CEA's proposal, particularly the use of the  
20 phrase "one-for-one".

21           The reason for that is that if you take a look  
22 on the current nonresidential compliance manual, page 5-  
23 83, there is a table that was put together to kind of  
24 take what the current language is, in the 2016 Code, and  
25 make it into a simple table.

1           I have seen this passed around by multiple  
2 people and this table is an example of why we want to  
3 make sure that "one-for-one" language in there. In that  
4 there is no differentiation between the three categories  
5 of either following the lighting power allowance or  
6 going with the reduced 35/50 power reduction.

7           And the fact is the language in the code makes  
8 it pretty clear that there is one path that is always  
9 required whenever you're moving walls. And the other  
10 path really is only for when you're doing some sort of a  
11 simple, one-for-one retrofit. But the word "one-for-  
12 one" wasn't there.

13           So, if you just took at this table, it looks  
14 like there are very equal compliance paths that there is  
15 no separation between those. That anybody can choose  
16 any one of those, based on it.

17           And so, I just do believe that the CEA's  
18 proposal is making absolutely clear that there is an  
19 opportunity for doing retrofits, as long as it's one-  
20 for-one and you're not changing the lighting in a room.  
21 If you're truly making a KEI (phonetic), you're going in  
22 there, you really should then be following what is the  
23 area category method. And somebody really should  
24 probably be taking a look at that lighting design, a  
25 professional person, as opposed to somebody who's just

1 been changing lights.

2           So, I do think that the approach that the CEA  
3 takes is really to be commended in the way that it makes  
4 sure it's very clear there are tenant improvements in  
5 spaces and there are lighting retrofits in spaces, and  
6 never the twain should meet. So, thanks.

7           MR. WICHERT: Actually, I'd like to interject a  
8 quick clarification from online.

9           "Does the 5,000 square foot limit apply to the  
10 altered space that the altered lighting serves or the  
11 entire building floor area?"

12           MR. STRAIT: So, we're looking at which of those  
13 -- that's another good question as to how that should be  
14 phrased. Right now, the way that the code is  
15 structured, we go back to the example of your common  
16 strip mall. That you might have a great amount of  
17 square footage, but any individual tenant space in there  
18 is going to be fairly small. And are those small spaces  
19 that they should have access to Option 3, or should we  
20 say because the building overall is very large that they  
21 no longer have access to that option?

22           Right now we are looking at that being a  
23 requirement for the space, or for the tenant area as  
24 being more appropriate. We do know that tenant area, as  
25 a concept, like to say the tenant space can't be more

1 than 5,000 square feet is problematic because a building  
2 inspector doesn't necessarily have a way of knowing or  
3 verifying where one tenant space ends and the next one  
4 begins. Especially in a strip mall area, where some of  
5 the walls can be taken down and moved.

6 So, that is something of an open question. It  
7 would be a lot more difficult for us to say that it's  
8 based on the whole building, because then there's a lot  
9 of small projects, and small business that take  
10 advantage of those small projects that would be impacted  
11 by that. So, there's other code requirement we have to  
12 be aware of, we also have to consider the effect on  
13 small business.

14 But we know that that is kind of an open  
15 question because we know some people would prefer that  
16 this be more restrictive and say the building at all is  
17 in excess of 5,000 square feet, then none of the spaces  
18 in that building can make use of Option 3.

19 MS. JACKSON: And I can add, from CEA's  
20 perspective, we wrote it to imply that the 5,000 square  
21 foot limitation applied to the tenant space or to the  
22 whole building, if it were a single tenant or building  
23 owner. So, whole building or tenant space is the way it  
24 was intended.

25 But I just wanted to point out one other thing

1 on the one-for-one, to follow up with Charles. The one-  
2 for-one also came about to align with ASHRAE 90.1 2016.  
3 So, there's been a lot of effort, from all of the teams  
4 working on code change proposals, to try to get an  
5 alignment on certain areas with ASHRAE. And that one-  
6 for-one term is included in ASHRAE 90.1 2016, although  
7 they don't provide a definition of what that means. And  
8 that seems to have always been the sticking point.

9           So, we've put forth, CEA's put forth a  
10 definition for one-for-one, under Section 100.1 for the  
11 code. And we would welcome help on navigating, and  
12 creating, and crafting that definition. So, we have a  
13 first draft out there of what that one-for-one means,  
14 but we definitely need a little work on that.

15           MR. SHIRAKH: So, that would be helpful.  
16 Because one-for-one was in 2013 Standards and we took  
17 that out because of those difficulties.

18           MS. JACKSON: Right, and we recognize that. And  
19 I think that's one of the areas we could definitely use  
20 some more feedback on, for that definition.

21           MS. BECKING: Stefaniya Becking, Energy  
22 Solutions. I'm a lead CASE Author for this topic,  
23 alteration. And I'd like to thank California Energy  
24 Commission and the Board, in particular, for putting  
25 together a proposal on this topic.

1           Just a couple of comments. One is in the CASE  
2 Team proposal they also have a one-for-one term  
3 introduced in the proposed code language, based on the  
4 feedback we were getting from the stakeholders.

5           And another comment that's -- it's not really,  
6 you know, the first question should we use the one-for-  
7 one or the CASE whole lighting altered spaces, which  
8 might be misleading. It's really not, you know. For  
9 instance, the whole lighting it's really the wattage in  
10 the altered spaces. The total wattage is what is being  
11 proposed to be evaluated, you know, before versus after.

12           So, in fact, one of the key proposals in the  
13 CASE Team report is to look at the total project. So,  
14 not go space by space reduced by 50 percent at this  
15 stage but, rather, look at the total project. And the  
16 total project needs to cut the wattage by 50 percent.

17           So, it might be that corridors might be reduced  
18 by less, while some other space area that's in the  
19 project, you know, by more. So, that is another  
20 flexibility that's being proposed for consideration.  
21 Thank you.

22           MR. MARTIN: I'm still John Martin. I'm still  
23 Co-Chair of the CEA. And I want to speak in particular  
24 to the 5,000 square foot limitation.

25           There's a larger context here that we would urge



1 everyone to think about. The marginal gain available  
2 from imposing these kinds of constraints on spaces less  
3 than 5,000 square feet is simply not worth the  
4 diminished public acceptance of Title 24, and similar  
5 codes, when they are applied to these small marginal  
6 areas. This is what creates public resentment, lack of  
7 implementation, and actual -- the language may look good  
8 and the theoretical savings may be great, but the actual  
9 implementation three, four, five years down the road  
10 finds that people widely ignore restrictions of this  
11 type.

12           So, one of the reasons that we, in the CEA, went  
13 for this type of limitation was in the spirit of trying  
14 to get effective and completely implemented energy  
15 savings in place. You have to write the code, then you  
16 have to train people to implement it, then you have to  
17 actually implement it. And the chances of doing that  
18 and doing it in a way that achieves widespread public  
19 and user acceptance is increased if you don't worry  
20 about these small marginal gains, but instead focus on  
21 where genuine savings are able to be gained.

22           So, I would think that the -- we believe that  
23 the 5,000 square foot limit makes good practical sense.  
24 Thank you.

25           MR. CHAU: Thank you. Any other comments?

1 MS. ENGLISH: Hi, I'm Cheryl English with Acuity  
2 Brands. I think that the -- and I'm also a supporter of  
3 the CEA. I think that the proposals both add some  
4 simplicity and deliver incremental energy savings, so I  
5 applaud both teams.

6 I do support the CEA approach to this. I think  
7 that both proposals leave a lot of energy savings on the  
8 table. This has been a very challenging process as  
9 we've implemented existing building requirements, so  
10 this is a good step forward.

11 I would suggest that in 2022 is an opportunity  
12 to really become aggressive about existing buildings  
13 because there's a tremendous energy savings there.  
14 Wireless control capabilities are available today.  
15 They'll certainly be more robust in 2022. And the LED  
16 technologies continue to progress.

17 So, I think the thresholds here are very  
18 reasonable. They're a low-hanging fruit and it's a good  
19 approach.

20 I will reiterate one of the comments that I had  
21 with the 2016 requirements regarding the LPD option,  
22 regarding the enforcement. And I don't believe there  
23 is, today, a pre-alteration inspection. I think this  
24 leaves an option open for gaming. To validate the  
25 compliance. And so, while that's not in the code

1 language, I would ask the Commission to very carefully  
2 look at the enforcement of that LPD option to make sure  
3 that the actual claimed LPDs were achieved.

4 MR. SHIRAKH: Thank you, Cheryl.

5 MR. AVERY: Doug Avery, Co-Chair of Cal CEA, and  
6 also Co-Chair of Cal CTP, the training program.

7 I just want to basically say, first, we're very  
8 excited to see a -- to be able to collaborate not only  
9 with the Commission staff, but with industry and with  
10 the utilities. We're looking to make the code workable.  
11 We're looking to make this simple. We're looking to  
12 have something that is actually going to produce energy  
13 savings for our State.

14 We have some pretty lofty goals. And as of  
15 right now, we're not really on track to meet all of  
16 those goals. The technology's here, the ability is  
17 here, we're just not doing it.

18 So, I think that if we all start working  
19 together, if we start paying attention to simplifying  
20 language, making it easier for compliance, making it  
21 easier for energy savings to be implemented that we're  
22 going to move this forward.

23 So, we look forward, as an Alliance, to working  
24 with not only the Commission, but anyone in this room  
25 that wants to step up and add a voice to moving

1 California Energy's future forward.

2 So, thank you. We really appreciate the ability  
3 to work with the Commission. It's nice to have  
4 collaboration, rather than confrontation. So, thank  
5 you.

6 MR. CHAU: Thank you.

7 MR. BENYA: And, Doug, this is Jim Benya.

8 MR. AVERY: Who?

9 (Laughter)

10 MR. BENYA: You've never seen me before. Yeah,  
11 the one thought I'd like to reiterate, I made this point  
12 earlier, one of the things I would call upon industry to  
13 do is establish enough standards. Right now, every  
14 company seems to be going in their own, independent  
15 direction. We have the internet of things being talked  
16 about, the different protocols, the different systems,  
17 the lack of interoperability, lack of interconnectivity.

18 Industry, if you want these things to be part of  
19 the standards, which they deserve to be based on what  
20 Doug's just said, and I agree, we've got to have some  
21 belief that the people of California aren't buying  
22 products that they might be stuck with something, and we  
23 can't fix it and can't replace it.

24 Because one of the things that comes with the  
25 growth of the lighting controls industry, as I've seen

1 it, is a lot of people are nervous about what they're  
2 acquiring. I'm glad to see big companies stepping in  
3 and producing products, but there are an awful lot of  
4 smaller companies that are very exciting with what  
5 they're offering. Likewise, we also know of several  
6 that have failed and have left the customer, you know,  
7 holding the bag. We can't have that, particularly in  
8 the standards, I don't think.

9 MR. AVERY: No, I don't.

10 MR. BENYA: So, work on that. Get everything to  
11 a common enough level that there's enough  
12 interchangeability and interoperability that it can  
13 easily be part of the standard without us worrying about  
14 the difference between brand A, brand C, and brand D  
15 doing the job.

16 MR. AVERY: We certainly would be happy to  
17 undertake that mission. Thank you.

18 MR. BOZORGCHAMI: So, if there's no more  
19 comments, how about lunch?

20 MR. STRAIT: Well, quick, are there any comments  
21 on the line? No, okay. Then, I second the motion.

22 MR. BENYA: There's still one more comment.

23 MR. OCHOA: I was daydreaming, yes. Hi, my  
24 name's Craig Ochoa. I'm with Morrow-Meadows  
25 Corporation. We're electrical contractors and

1 engineers. We do a lot of design build work. I'm also  
2 a member of the CEA and I'm very proud of the work that  
3 Cori and others have done in such a short time, to get  
4 something together.

5 So, what I'd like to do, because I know I'm  
6 between everybody and lunch, is just to speak broadly  
7 about this stuff. Okay, I'm not going to pick on any  
8 particular point. But I do want to echo John Martin's  
9 point about simplicity.

10 What we find, because we implement the code. We  
11 not only implement it on the engineering side and the  
12 design side, we implement it on the acceptance testing  
13 side and actually building things.

14 So, what we've seen, unfortunately, is a race to  
15 the bottom with value engineering and other approaches  
16 that tend to incentivize people to find ways around  
17 saving energy, at the end of the day.

18 And when we get to the alterations marketplace,  
19 in particular, that pressure's huge. So, the easier  
20 that we can make this, the clearer we can make it, if we  
21 can remove layers of darkness from the window that we're  
22 trying to look through, the better off we'll all be and  
23 it's going to be much more accepted on the users' end.

24 So, again, thank you to everybody for their hard  
25 work. And to Jim's point, to the manufacturers, I work

1 with you all, I love you all, but yes, take what he said  
2 to heart. Thank you.

3 MR. BOZORGCHAMI: So, a quick lunch. We'll be  
4 back here about 1:30. Thank you.

5 (Off the record at 12:22 p.m.)

6 (On the record at 1:36 p.m.)

7 MR. BOZORGCHAMI: All right, good afternoon.  
8 This is Payam. We're going to start the second session  
9 or the afternoon session of today's workshop and we'll  
10 be hearing from Simon Lee for the rest of the afternoon.

11 MR. LEE: Welcome back, everyone to this staff  
12 workshop. And we'll continue on nonresidential  
13 lighting.

14 My name is Simon Lee. I'm one of the advising  
15 staff of the Building Standards Office. I will go over  
16 three presentations this afternoon. First, I'll go over  
17 the Outdoor Lighting Source proposal, then the Outdoor  
18 Lighting Controls, and then the last one, the Advanced  
19 Daylighting Controls.

20 First, we would like to acknowledge the CASE  
21 Team's efforts, their time and all the energy that they  
22 put into it. And also, appreciate the work of the CASE  
23 Authors.

24 All installed outdoor light fixtures are covered  
25 by Title 24, Part 6. That includes wall-mounted

1 fixtures, pole-mounted fixtures, canopy-mounted  
2 fixtures. These are all covered by Title 24.

3 Title 24 provides two types of lighting power  
4 allowance. One is general hardscape lighting allowance,  
5 the other is specific application lighting allowance.

6 Allowance is to be used, but not to exceed.  
7 Also, specific application lighting allowance is for  
8 dedicated specific use and cannot be used on other  
9 lighting applications.

10 And here's a table, provide 3,000 from above  
11 general hardscape lighting, specific application  
12 lighting. And also, there are some outdoor lighting  
13 applications not covered by Title 24, and they're listed  
14 in Section 140.7.

15 And there are no proposed changes to the  
16 allowance method in this cycle.

17 LED light source has been around for quite some  
18 time, more than 10 years. And Department of Energy has  
19 reported, in 2016, that Led outdoor area lights have  
20 demonstrated ability to provide suitable illuminance  
21 levels using significantly lower level of light output  
22 than the conventional lighting products, such as CFL and  
23 fluorescent fixtures.

24 And there are several findings from the CASE  
25 Team, as reported in this CASE Report. The efficacies



1 of outdoor LED luminaires have increased in the past  
2 three years, and the cost of it has dropped  
3 significantly.

4 And, finally, there is a DOE forecast that LEDs  
5 for outdoor lighting represent 75 percent of the sales  
6 by year 2020.

7 And with that, the CASE Team proposed to use LED  
8 Luminaires in lieu of the legacy light source as a  
9 baseline for both general hardscape lighting power  
10 allowance and specific application lighting power  
11 allowance.

12 And in this CASE study analysis, 3000K  
13 luminaires are used and they are all shown to be cost  
14 effective and able to meet the lighting power allowance.

15 So, there is a new set of outdoor lighting power  
16 allowance densities proposed and these values are for  
17 Table 140.7-A and Table 140.7-B. A is for general  
18 hardscape and B is for specific application.

19 There is a slight format change to 140.7-A, some  
20 new columns are added. One is for asphalt surface  
21 parking lots and the other is for concrete surface  
22 parking lots.

23 But the number of lighting zones are the same,  
24 from LZ0 through LZ4. And there are no proposed changes  
25 to the lighting zones in Table 10-114-A.

1           And this is the existing table or here we call  
2 it the old table.

3           And the next slide, we show the new table. As  
4 you can see, there are information added to the table  
5 showing asphalt and concrete. And also, new columns  
6 added under lighting zone 2 and lighting zone 3, one for  
7 asphalt, one for concrete.

8           And this is the table for specific application,  
9 140.7-B. And the next few slides will show the rest of  
10 the table. I'll just go for it.

11           As part of the effort to update the baseline  
12 using LED as the light source, we also update the -- or,  
13 the CASE Team proposed to update on the outdoor  
14 luminaire distribution cutoff requirements. It was 150  
15 watts and we're proposing to change to greater than 30  
16 watts.

17           And this is related to Table 130.2-A and 130.2-  
18 B. The industry called out the IES ratings. And the  
19 picture to the right shows what is considered to be up  
20 light, forward light, and back light. So, all the  
21 outdoor luminaires must not exceed the values on these  
22 two tables.

23           As far as the BUG rating, or the numbers on  
24 these two tables, there are no proposed changes in 2019.

25           While we are working on Title 24, the IES

1 Committee -- yeah, the IES Committee has been going on  
2 some revision work on RP-20. So, there might be  
3 possible revisions to RP-20, depending on the research.  
4 And the research is performed by Virginia Tech and  
5 funded by California Utilities and IES.

6 So, in the final CASE Report there may be  
7 proposed modified values in Table 140.7-A.

8 As Jim mentioned this morning, there are some  
9 emerging lighting technologies, such as color changing  
10 fixtures for both indoor and outdoor applications. And  
11 here at the Commission, we pay attention to the  
12 developments. And in the future code cycle we will  
13 examine the technologies over the future time.

14 And with that, we look forward to your comments.  
15 As mentioned earlier by my colleagues and by Jim, you  
16 can submit written comments by either E-filing or submit  
17 for e-mail. And I can also be contacted. My e-mail  
18 address and phone number is on the screen.

19 So, that's all I have and with that, I'm opening  
20 up for questions.

21 MR. BOZORGCHAMI: Questions?

22 MR. BENYA: Hey, Simon, this is Jim Benya. I'd  
23 just like to add that one of the things you presented  
24 and got a little bit of reconciling to do, Title 24,  
25 Part 6, when it comes to outdoor lighting, limits the

1 amount of energy to be used by outdoor lighting. But  
2 also both in controls, which we'll hear about next, as  
3 well as the power density. Part 6's primary job,  
4 though, in effect is to limit the number of lumens into  
5 the environment, as well, which is one of the basic  
6 concepts of controlling light pollution.

7           On the flip side of this is in Title 24, Part  
8 11, CALGreen. The BUG system's already required for  
9 nonresidential properties. And so, I think we may be  
10 redundant if we have BUG in both Part 6 and Part 11.

11           So, it's something we'll take under advisement  
12 as we work together and come to meetings. We just  
13 wanted to get out to everybody, be fully conscious that,  
14 you know, Part 11 in CALGreen has gone a long way to  
15 addressing wasted light that is caused by the light  
16 sources, and everything else using the BUG system. And  
17 it is required. So, we don't really want to have things  
18 appearing in two codes at the same time. There's always  
19 the threat they'll be different, which is not good.

20           MR. LEE: Okay, thank you for the inputs, Jim.  
21 We will talk about it after the workshop.

22           MR. STRAIT: Simon, this is Peter. Can we go  
23 back to the slides that show the example, the table with  
24 the different light values? Yeah, can we go back to the  
25 first one? There we go.

1           Just want to point out that that percent  
2 reduction that you're seeing in these numbers is fairly  
3 consistent across a lot of these guys. So, some of them  
4 are falling by kind of close to two-thirds. Others are  
5 falling from one-third to one-half.

6           Can you go to the next slide? So, here we've  
7 got a 20/25 going to 11, and 26 going to 19. We've also  
8 got a 0.5 to a 0.2, a 0.75 to a 0.28. So, these are  
9 pretty sizeable drops, but they are easily achievable  
10 for LEDs.

11           Go to the next slide? And just so the folks are  
12 given the chance to see all these. Thank you, Simon.

13           MR. LEE: Yeah, all the detailed information,  
14 including the methodologies, the calculations are in the  
15 CASE Report. And if you're interested, we encourage you  
16 to look at that, yeah. It has all the information that  
17 you will be able to find.

18           MR. KNUFFKE: Charles Knuffke, WattStopper.  
19 Would you go back a couple slides? There was one thing  
20 where you talk about reduction from 150 watts to 30  
21 watts. Keep going, it was early on.

22           Because that is the exclusion for, was it the  
23 controls for outdoor lighting, or what section was that  
24 in?

25           MR. SHIRAKH: No, it's for BUG.

1 MR. KNUFFKE: For BUG, okay.

2 MR. SHIRAKH: It started out in 2005 as being  
3 175 watts. It was based on (inaudible) --

4 MR. KNUFFKE: Okay.

5 MR. SHIRAKH: And now we're going down to, what  
6 is it, like 35.

7 MR. KNUFFKE: Okay, gotcha. Okay, thanks.

8 MR. SHIRAKH: Now, it's sort of migrated.

9 MR. KNUFFKE: Thank you.

10 MR. STRAIT: And that really is just a response  
11 to LEDs, because a lot of luminaires now at full load at  
12 150 watts. We don't want that to cause an increase in  
13 light pollution or an increase in problems associated  
14 with it. So, for consistency with IES and the CALGreen  
15 requirements, we're just lowering that threshold.

16 MR. LEE: Yeah, and just one piece of  
17 information. On all the other means being exempt and  
18 being in this CASE studies, they're all found to be able  
19 to be retained and operating.

20 MR. FLAMM: Gary Flamm. Earlier, in one of your  
21 earlier slides you talked about accommodating 3000K  
22 lamps. There have been a number of people that have  
23 wondered what that means? Was that a lower efficacy  
24 that was used in the models? Exactly what was done to  
25 accommodate 3000K lamps?

1 MR. LEE: I'd like the CASE authors to answer.

2 MS. KUCZKOWSKI: I'll take that one. So, Annie  
3 Kuczowski. I'm Annie Kuczowski with Clanton &  
4 Associates.

5 So, all of the luminaires studied for both the  
6 general hardscape and the special applications were only  
7 3000K luminaires. Any luminaire that was 4000K, we  
8 didn't consider it and we chose the warmer color  
9 temperature option.

10 MR. FLAMM: So, I'm still not clear what that  
11 means. Was the 3000 -- where are the 3000K --

12 MR. STRAIT: I'm sorry, you're going to have to  
13 get closer to the mic.

14 MR. FLAMM: Were the 3000K luminaires less  
15 efficacious than let's say 5000K? What does that mean  
16 that you looked at 3000K luminaires? I'm still not  
17 clear on that.

18 MS. KUCZKOWSKI: So, the 3000K luminaires are  
19 less efficacious than a 5000K or they're most comparable  
20 to a 4000K at this point. So, we wanted to make sure  
21 that each of these standards could be met with less  
22 efficacious luminaires.

23 MR. STRAIT: Yeah, this is Peter Strait from the  
24 California Energy Commission. This was something that  
25 actually involved out of the conversations we had with

1 the CASE Team. That we wanted to make sure whatever  
2 lighting LPDs we established, that we weren't removing  
3 or restricting the ability for landscape planners to put  
4 in lighting that suited their needs. And especially  
5 when we were finding out about high power temperature  
6 being more disruptive to wildlife. So, we wanted to  
7 make sure that outdoor lighting was able to install  
8 warmer lighting, and still meet whatever update we had  
9 to this lighting power balance values.

10 MR. LEE: Oh, indeed. They mentioned for the  
11 same model of luminaires, the lower the temperature,  
12 like 3000K, would consume more power compared to the  
13 cooler temperature model.

14 And with that I will go on to the next topic,  
15 which is Outdoor Lighting Controls.

16 I want to acknowledge the CASE Authors for their  
17 efforts in the outdoor lighting controls proposal.

18 As Jim and others points out this morning,  
19 lighting controls go hand-in-hand with light fixtures.  
20 Lighting controls allows the light source to come on and  
21 off at the designated time, and also to address the  
22 light source in some other ways.

23 And for some highlights on the existing  
24 requirements of our outdoor lighting controls. When  
25 daylight is available, turn off the outdoor lights. For



1 a portion of a light, turn off the outdoor lights. When  
2 there is no activity in the area, dim down the light,  
3 such as those luminaires mounted at 24 feet or less  
4 above the ground.

5           Given the development of the proposal, the CASE  
6 Team has received feedback information that many new  
7 parking lot lighting systems are left on throughout the  
8 night, well after normal business hours.

9           And in response to CASE Team proposed changes to  
10 the outdoor controls requirement, which I will try to  
11 sum it up in the next few slides.

12           First is to define occupied and unoccupied  
13 hours. During unoccupied hours dim down the outdoor  
14 lights. And the owner and the operator can define the  
15 normally unoccupied schedule. If the space is occupied  
16 all night long, then that means there is no unoccupied  
17 hours.

18           If the schedule is not known, then occupied  
19 hours is from 6:00 a.m. to midnight. And after that is  
20 unoccupied hours, from midnight to 6:00 a.m., in the  
21 morning.

22           Also, one of the proposals is to set a maximum  
23 of 400 watt of lighting power to be controlled together  
24 for all time. That means occupied hours and unoccupied  
25 hours.

1           And continuing. For motion sensors, the  
2 proposal is to suggest to add the following to the  
3 definition, reduce lighting power after an area is  
4 vacated.

5           And then, number two, automatically increase  
6 lighting output when an area is occupied.

7           Another proposed change about the motion sensor  
8 requirement is to align with ASHRAE 90.1 on the maximum  
9 vacancy period requirement of 15 minutes for exterior  
10 lighting motion controls.

11           There is another alignment with 90.1. The  
12 alignment is about lighting wattage reduction to 50  
13 percent.

14           Right now, the Title 24 requirement is reduction  
15 to 40 percent. That's because in the past cycle legacy  
16 lighting technologies, such as HID's, can only be dimmed  
17 down to 40 percent. So, with the LED technologies, used  
18 as a baseline, they can be dimmed to much lower level.  
19 So, therefore, the suggestion of reduction to 50  
20 percent.

21           And then there is also to revise the exceptions.  
22 Previously, it was 75 watt for pole-mounted fixtures and  
23 30 watt for non-pole mounted fixtures. In this  
24 proposal, it is luminaires rated at 30 watts or less.

25           And with that, the staff is considering some

1 proposed changes, which are different from the CASE  
2 proposal.

3 First is about revising the definitions on  
4 outdoor lighting control. There are terms that have  
5 redundant meanings. One of them is automatic scheduling  
6 control and automatic time-switch control. They have  
7 the same meaning. And so, the staff is proposing to  
8 delete automatic time-switch control and using automatic  
9 scheduling control throughout the text.

10 And there are also other revisions to the  
11 outdoor lighting control definitions. This is to ensure  
12 that they are consistent with one another. And the list  
13 is on the screen.

14 And this is the proposed definitions, the full  
15 text. And you can see that automatic time-switch  
16 control is proposed to be deleted.

17 For the control requirements, in the existing  
18 standards there are different sets of requirements for  
19 luminaires at 24 feet or less. And also, slightly  
20 different requirements for building façade, ornamental  
21 lighting, outdoor dining lighting, and outdoor sales  
22 lighting.

23 And here we are proposing to have similar  
24 control requirements for both of them. Except for  
25 luminaires at 24 feet or less above the ground, we still

1 want to keep the motion sensor requirement with it. But  
2 we are proposing to reduce from 1500 watts to 800 watts.

3 And this table summarizes the proposal.

4 MR. SHIRAKH: Simon, just to be clear, can you  
5 go back to the previous? So, are you requiring any  
6 controls for luminaires that are taller than 24 feet?

7 MR. LEE: Yes, for luminaires taller than 24  
8 feet, they still will have to meet the automatic  
9 scheduling control requirements, and also to be -- that  
10 means it has to be turned off during nighttime -- during  
11 daytime.

12 MR. SHIRAKH: But no motion sensor requirements?

13 MR. STRAIT: Correct. And just to let folks  
14 know on that one, we're aware of some technologies that  
15 are developing that are able to function as a sensor on  
16 poles that are larger than -- or taller, I should say,  
17 than 24 feet. We're just not seeing where those are  
18 necessarily where they would be fully appropriate for us  
19 to mandate within the standards.

20 So right now the controls aren't required when  
21 the poles are -- when the lighting is not 24 feet in  
22 less in height, mainly for that reason.

23 As Simon said, what we're mainly doing here is  
24 saying that we want a motion sensor for each grouping of  
25 800. Which is lower than what's on the books right now,

1 at 1600, but not as low as the 400 be proposed by the  
2 CASE Team.

3 MR. LEE: Okay, moving on. So, this is about  
4 proposing the same requirements for luminaires at 24  
5 feet or less, and also building façade, those lighting.

6 So, when there is no activity during normal  
7 business hours, the proposal is to dim down the light.  
8 But after hours there are three options allowed, or  
9 three settings. Number one, they can dim down the  
10 light. Or, number two, they can turn off the light.  
11 And then option three or setting three, for half of the  
12 light they can either dim it down or turn it off. And  
13 then, for the rest of the lights, they can put it on  
14 motion sensors.

15 And this is the proposed language. So, try to  
16 recap, all installed outdoor lighting has to be  
17 controlled by automatic scheduling control and plus one  
18 of the following, further control called part-light  
19 outdoor lighting control or other controls.

20 And then this is for luminaires mounted at 24  
21 feet or less above ground. So, it has to be controlled  
22 by automatic scheduling control and motion sensor.

23 And then the capital, that A, it spells out the  
24 requirement for normally scheduled hours -- normally  
25 occupied hours the light has to be dimmed down.

1           So, this is a repeat of the table. During  
2 business hours, dim down the light.

3           And then the next one is -- this is after  
4 business hours. So, there are three options to choose  
5 from. They can either do one of the three. Either dim  
6 down the light, or turn off the light, or the last one  
7 is to have at least half of the light to be dimmed down  
8 or off, and then the rest of the light to be on motion  
9 sensors.

10           And then the table, again. Okay, and this is  
11 for luminaires at 24 feet or less. No more than 800  
12 watts of lighting power has to be controlled by motion  
13 sensors.

14           And then subsection 3, this is for façade  
15 lighting, ornamental lighting, outdoor dining, outdoor  
16 sales. And the capital letter A and B, the same  
17 requirements for luminaires mounted at 24 feet or less  
18 above ground.

19           And one of the questions or inputs that we would  
20 like to get, we see from the stakeholders and  
21 consultants is that do you have concerns about the  
22 proposed motion sensor control requirements of no more  
23 than 800 watt of lighting load?

24           Does that cause any problem to design or limit  
25 design flexibility?

1           And with that, that's all my presentation on  
2 outdoor lighting controls.

3           MR. BENYA: So, I'll start off some of the  
4 discussion, if you don't mind. Jim Benya. Number one,  
5 something that I thought of this morning also applies to  
6 outdoor and that has to do with egress lighting, and the  
7 necessity of us preserving that exception.

8           Egress lighting for outdoor lighting is  
9 something that is, I hate to say it, I've never been all  
10 that crazy about the way the code is interpreted and  
11 used, and written, but it is what it is.

12           And many AHJs say from the front door of the  
13 building or from every egress of the building or in the  
14 building to a public right of way is still a path of  
15 egress.

16           So, we're going to have to make sure that we  
17 build into this section an exception that that lighting  
18 also has to have one foot cable, minimum, on the path of  
19 egress. So, it's a non-trivial thing in outdoor  
20 lighting if you have to have an egress better lighting  
21 than the rest of the parking lot very easy. But that's  
22 what it's written and we have to observe that until such  
23 time as other things can be done to make that code a  
24 little better.

25           So, that's issue number one. Issue number two

1 that I'd like to put on the table and I know, Simon, I'm  
2 sorry you and I haven't had a chance to talk about this  
3 stuff. We need to put it on our agenda, is the right-  
4 around-the-corner evolution of wireless lighting  
5 controls as a system to be used in parking lots and  
6 other outdoor lighting situations.

7           Now, that we have the IMA 710 Standard for cells  
8 on individual luminaires that would illuminate lighting  
9 controls that are not integral to the luminaire and make  
10 them for credible indoor or outdoor and a lot of other  
11 things.

12           So, I think we can modernize the standards a  
13 little bit more by embracing that idea and, you know,  
14 giving that option.

15           And by the way, I can even see that option being  
16 used as a possible thing to address the 24-foot high  
17 limit. And once you can have a number of sensors  
18 networked and talking to each other, the sensors don't  
19 necessarily need to be mounted at the same height as the  
20 luminaires. And maybe the answers out there that  
21 are really good. Because I've already sort of worked on  
22 a parking lot like this, and it really provides you with  
23 a dimension you never thought about before.

24           And with the costs coming down and the ready  
25 availability of this technology, I think we have to



1 embrace it in this section. So, things to do and for us  
2 to think about.

3 MR. BOZORGCHAMI: Any other comments?

4 MR. MUTMANSKY: Michael Mutmansky, TRC Energy  
5 Services. Jim just mentioned the 24-foot limitation on  
6 controls. And when that was originally put in, there  
7 were a couple of reasons that the limitation was set  
8 there. One was the detection distance of traditional  
9 motion sensors that were able to be employed outside, at  
10 that time.

11 As you go higher, they just don't sort of see as  
12 far, so they just weren't viable.

13 Jim mentioned that there's new technologies that  
14 are coming on and, in particular, video chip detection  
15 technology will actually make it basically irrelevant  
16 what the mounting height is of the sensors. And with  
17 adjustable lighting locations, et cetera, you can set up  
18 a grid and have a couple of sensors on corners of the  
19 lot and assign, you know, zones of coverage that are  
20 assigned to luminaires. And suddenly, you can have an  
21 entire parking lot covered by just a couple of sensors  
22 very effectively until it gets foggy, or something like  
23 that.

24 However, the other problem with 24 feet is as  
25 you go up in mounting height your area of coverage of

1 the luminaire increases. And the issue with -- Jim's  
2 nodding his head, so he knows where I'm going with this.  
3 The issue is that there comes a point at which we  
4 shouldn't be controlling all of the watts on a high-mast  
5 pole, for example, universally. And that was the reason  
6 that that original 1500 watt limit was put into the code  
7 a couple of cycles back. Which has been dropped, which  
8 is being proposed to be dropped to 800 and 400, it looks  
9 like, in the CASE Team proposal.

10           And I support actually aggressively reducing the  
11 number. And I think it probably ought to be -- I have  
12 not run the numbers, so I leave it to the CASE Team for  
13 that. But I believe that it makes a lot of sense to be  
14 going more aggressive on that, rather than less  
15 aggressive.

16           In particular because with the ability to do  
17 address of a lighting, we can actually identify zones of  
18 coverage and turn on lights individually to cover a  
19 certain zone. Even if you have a four-head parking lot  
20 pole, in a grocery store parking lot, if you have the  
21 ability to actually identify that, you know, one of the  
22 fixtures is in a covered zone that somebody just walked  
23 into, you could turn on only one of the fixtures on that  
24 pole. You don't have to turn on all four.

25           So, limiting the wattage to 400, to me makes a

1 lot more sense philosophically, if we're going to  
2 actually go there with the controls.

3           The other thing that I wanted to comment on is  
4 the three options for compliance during the non-normally  
5 occupied period. It appears that one of the options  
6 effectively is the same as running the lights during the  
7 normally occupied period. Is that correct? Yes, dim  
8 down.

9           So, why is there a distinction being made, if  
10 you're not actually requiring the system to be turned  
11 off after the normally unoccupied hours set point? I  
12 think there needs to be some clarity on what the reason  
13 is that we're actually designating a normally occupied  
14 versus a non-normally occupied, and either treat them  
15 different or actually don't make a distinction. There  
16 isn't a reason to do that.

17           And the second thing is, is that implicit in  
18 that, in this approach is that if you're running an  
19 occupancy or a motion sensor system, fundamentally what  
20 we're really talking about is the lighting that's  
21 happening when nobody's actually around to see it. It's  
22 that tree in the forest problem.

23           Because when it's normally occupied, the sensors  
24 are going to turn the lights on because it's occupied.  
25 When it's not normally occupied, we leave the lights on

1 during the normally occupied period, the presumption  
2 being there's a higher activity level and there's, you  
3 know, obviously, maybe a chance that people get missed  
4 along the way with the sensors, until they get picked up  
5 by the sensor.

6 But it's also an indication that the facility is  
7 open and is ready for business, or whatever, however you  
8 want to go with that.

9 So, I guess what I'm getting at is I don't see  
10 setting one in the normally unoccupied being a logical  
11 allowable thing, if you're going to essentially  
12 distinguish that as a normally unoccupied hour.

13 So, I would consider eliminating that in favor  
14 of two, and I'm not sure about three. That's new. So,  
15 I'd have to think about what the implications of that  
16 are.

17 MR. MCGARAGHAN: So, is this mic working? How  
18 about this one? Mike McGaraghan, with Energy Solutions.  
19 So, thank you, Simon, for running through the  
20 presentation, and Mike Mutmansky for your comments.

21 So, I just wanted to elaborate a little bit on  
22 this and the goals of the proposal here. Right now,  
23 you're forced to either turn your off, essentially for  
24 the whole night, or to use this dimming approach. And  
25 when you dim, you can't lower your lights any lower than

1 90 percent dimmed.

2           And we've heard a bunch of comments saying you  
3 should be allowed to turn your lights all the way off in  
4 response to vacancy.

5           So, the proposal here is to allow that  
6 flexibility, is to add a design option for people who  
7 want it. If you have a portion of your night where you  
8 expect occupants to occasionally be in the space, you  
9 can keep what's already there, which is the 50 to 90  
10 percent dimming.

11           But if you have this other big portion of the  
12 night where you don't expect any occupants and you want  
13 to choose to turn your lights all the way off, you now  
14 have that capability.

15           So, it's really just supposed to add design  
16 choices.

17           One other point I'll make, just on the 800  
18 versus 400, so the CASE proposal suggested that we drop  
19 the 1500 watt threshold down to 400. And that was  
20 essentially just based on improvements in technology.  
21 The 1500 number was an antiquated number based on HID  
22 and the 400 was our calculation of an equivalent amount  
23 of light load based on current product trends. So, just  
24 a little background of where that came from.

25           MR. LEE: Yeah, the staff, I mean, did a

1 different set of calculations. It was based on, like  
2 being conservative, seeing that the LED light source  
3 efficacy -- I mean, by using it is like a 50 percent  
4 improvement from the legacy technologies. So, a quick  
5 calculation, from 1500 watts you drop about half of it,  
6 750, and I ran it up to 800. So, therefore, the  
7 proposal of 800 watts. So, this is a conservative  
8 that's being proposed.

9           And we'd love to hear inputs from stakeholders,  
10 from consultants about what is appropriate.

11           MS. CLANTON: Yeah, Nancy Clanton, Clanton &  
12 Associates. I want to clarify a little bit about that  
13 1500 watts. That had nothing to do with technology, it  
14 had to do with maximum loading of a circuit. So, you  
15 could easily put a relay on it, okay, so it was -- I  
16 mean, we didn't have addressable controls at that time,  
17 or anything. It was loading a circuit and that's how  
18 you could control it, versus running more circuits out  
19 there.

20           So, I just want to clarify that, that that's  
21 where the 1500 watts came from. One relay per circuit.  
22 Okay, does that make sense?

23           MR. LEE: Yeah. One thought I guess about -- if  
24 that is about the capability of relays, then that means  
25 that number will stay at 1500. So, yeah, we'd like to

1 hear from the stakeholders.

2 MR. MUTMANSKY: Michael Mutmansky, TRC again.

3 So, Nancy's correct, that 1500 was based in part on what  
4 was essentially circuit loading.

5 But the other reason that it was done was  
6 because when these controls, these motion sensor  
7 controls were introduced into the code, the concern --  
8 one of the concerns was that a single sensor would be  
9 put in and the coverage would -- the luminaires that  
10 were being controlled by it would exceed the coverage of  
11 the sensor, or the sensors.

12 And, you know, sort of the cheap solution to  
13 putting a control system in is putting a single one in  
14 that does the entire parking lot, and then as soon as  
15 the building's been accepted, you just go in and  
16 override the controls. And then, you've got a static  
17 system that defeats the purpose.

18 And by essentially putting a limit on the  
19 wattage of each control zone, you're making it difficult  
20 for somebody to essentially game the system and comply  
21 for initial compliance and then, you know, defeat the  
22 system later on.

23 So, I mean there's a practical reason for 1500  
24 that's tied to the circuiting. But ultimately it had to  
25 do with the lighting within that control zone

1 essentially reaching beyond the control sensor and  
2 essentially having whole zones, whole areas of the  
3 parking lot that are not under sensor coverage, that are  
4 waiting for the sensor to actually turn on before they  
5 come on.

6 So again, there is a valid, strong reason to be  
7 going lower with the number. And I think that  
8 approaching that 400 watt number makes a lot more sense  
9 considering the addressable lighting that we have sort  
10 of starting to take over in outdoor lighting controls.

11 MR. MCHUGH: This is Jon McHugh, with McHugh  
12 Energy. And this kind of reminds me of, you know, the  
13 three blind people feeling the elephant and they --

14 MR. STRAIT: Can you speak into the microphone?

15 MR. MCHUGH: Yeah, sure. Three blind people  
16 feeling the elephant. And so, Nancy, myself, and Mike  
17 probably all have different recollections. And, of  
18 course, you know, maybe I'm just getting old, too.

19 But anyway, what I remember is that this also  
20 related to the area that this would control. And back  
21 when this was done was before we had -- we'd come up  
22 with a wattage. Before we had adopted, I think it was  
23 the 2008 standards, the area wattage allowance. And  
24 back then it was 0.09 watts per square foot. And now,  
25 we're going down to 0.025, if you look at lighting zone



1 three.

2           And if you think about -- if you calculate this  
3 out, the 800 watts is 32,000 square feet. And so, what  
4 is 32,000 square feet? And I think one way of thinking  
5 about it is a football field is 160 feet wide by 300  
6 feet long. You know, it's a hundred yards to make your  
7 touchdown.

8           And so, if you think about the width of a  
9 football field, the 32,000 square feet is 200 feet long  
10 by 160 feet wide. So, it's two-thirds of the size of a  
11 football field is what 800 watts is.

12           And so, 400 watts is 160 by 160, so it's about,  
13 you know, a little under half the length of the football  
14 field and its full width. So, that's really the idea.  
15 And the smaller the zone, the more savings you have.  
16 Because the larger the zone, you have more opportunity  
17 for people to come into that zone from different sides.

18           And so, this is an energy -- the size of the  
19 zone you pick actually has an energy impact and we don't  
20 need to have this large a zone for cost effectiveness.  
21 We've actually shown that the zone can actually be quite  
22 small.

23           So, that's just sort of the background.

24           MR. SHIRAKH: Basically you're saying that  
25 indoor lighting, where motion sensors make more sense in

1 small offices rather than large, open areas.

2 MR. MCHUGH: Yeah, and you can also think about  
3 this. If you look right now, there's actually a fairly  
4 significant power adjustment factor in open plan  
5 offices. And that power adjustment factor increases the  
6 smaller you make that detection zone.

7 And, you know, there was some work done back in  
8 2013 that looked at, okay, if I make that zone smaller,  
9 I actually save a larger fraction per sensor.

10 So, thank you.

11 MR. BENYA: This is Jim Benya. I just want to  
12 observe that another way to look at this is --

13 (Microphone conversation)

14 MR. BENYA: Another way to look at this is that  
15 today a standard parking lot lighting design, in  
16 lighting zone three, let's say, which is a large  
17 percentage of the State of California's populated areas,  
18 you're going to be looking at lighting poles that are  
19 probably going to be 2 and type 3 luminaires that,  
20 depending upon how they feel about Title 24, either  
21 about 22 feet or 25 feet. Okay.

22 And so, you know, each one of these luminaires  
23 today is probably going to be under a hundred watts.  
24 More like in, you know, this 85, 90 watt category.  
25 Maybe a little bit more, depending upon your

1 requirements.

2           So, start thinking about each pole is about 200  
3 watts. That is with poles on every bumper line and  
4 about, give or take, a hundred feet apart or so along  
5 the bumper line. That's going to be the area of a  
6 parking lot they cover.

7           So, start thinking about if you have a parking  
8 lot that is a typically double-loaded parking, 90 degree  
9 parking, and so you've got poles on every bumper line,  
10 where the cars' noses come together. About every  
11 hundred feet along that is going to be another pole, or  
12 pair of poles, as it were.

13           Start thinking about what that constitutes in  
14 the way of a zone. If you have 800 watts, you're likely  
15 going to be covering four poles as a zone. All right.  
16 That helps understand how relevant these numbers might  
17 be. 400 watts would be only two poles and it may not  
18 cover a large enough area for some needs, and maybe  
19 plenty for others. But 800 is a good-feeling number to  
20 me. Because a four-pole zone, from a controls point of  
21 view, makes a lot of sense. Okay?

22           And controls, the future of controls, as I see  
23 it, will do the proper overlapping and the inter-  
24 coordination of the zones and it will work really,  
25 really nicely.

1           There's also, by the way, a lot of parking lots  
2 that are just one lane. The worst one to design is when  
3 you've got one lane, with parking on either side and one  
4 side backs up to the street. Or, particularly to the  
5 street or a sidewalk in the street. There you have to  
6 deal with Part 11, CALGreen's backlight off-site  
7 trespass, as well as everything else.

8           But again, start thinking about four poles and  
9 the zone it creates. And I think the 800 watt number  
10 makes an awful lot of sense now.

11           MR. GIOVANNI: Michael Giovanni, Lutron  
12 Electronics and member of CEA. I'm trying to understand  
13 this. And Jim, you helped me out a lot with your  
14 explanation there, but I'm still not clear on -- it's  
15 clear on indoor lighting what the area is because  
16 there's walls in a room, and you know when a room is  
17 occupied or not.

18           But for outdoor lighting, we're trying to define  
19 an area based on the total amount of wattage that can be  
20 controlled. So, when would that area become occupied or  
21 how would you know when an area is -- when there's  
22 activity detected? Do you understand my question? How  
23 are we defining the area?

24           MR. BENYA: So, now we've got a controls expert  
25 asking us that question? I expect you to give me the

1 answer, Mike.

2 MR. GIOVANNI: Because I'm going to -- you  
3 probably have to explain it and I'm going to get the  
4 question.

5 Okay, so there's a total wattage that has to be  
6 controlled together, so at what point in an outdoor,  
7 big, large parking lot do we know if somebody's in the  
8 area? I might have to write up my question to be more  
9 clear. But I'm still not clear exactly how we're  
10 defining the area that needs to be controlled together.

11 And then, the second question is, are there  
12 requirements for lighting that's higher than 24 feet, or  
13 I wasn't clear on that, either.

14 MR. LEE: Well, on the existing code, right now  
15 -- okay, so there is a requirement on this automatic  
16 scheduling control for all outdoor luminaires.

17 And then, also, turn lights off when it's  
18 daytime. So, that's the requirement for all outdoor  
19 applications.

20 And then there's C-3, that's the requirements  
21 for luminaires at 24 feet or less. And that C-4 and 5  
22 are for some other specific lighting application.

23 So, I'm guessing, going back to your questions,  
24 are there requirements for luminaires above 24 feet?  
25 It's just the bare requirements.

1 MR. GIOVANNI: Okay.

2 MR. LEE: Turning off during daytime and also  
3 turning on automatic scheduling control.

4 MR. GIOVANNI: Okay.

5 MR. BENYA: This is Jim Benya. Michael, to your  
6 point though, it's a really good one. But remember this  
7 is restricting the number of watts and it's not  
8 indicating a zone, the way I see it.

9 MR. STRAIT: I think that to a small extent the  
10 intent of having a limit at all for wattage in this is  
11 so that we don't have the entire parking lot for a, you  
12 know, mega mall complex fall on one circuit, to where if  
13 there's anyone leaving all of that lighting is on.

14 At the same time we don't want to prescribe  
15 exactly where somebody might divide things up into zones  
16 or how they might want to arrange that. Because we  
17 don't know what that building, or that plot of land's  
18 going to look like, or where the paths of egress are  
19 going to be. So, we're just saying any time you've got  
20 an amount of wattage over this amount, you've got to  
21 break it up and give it some separate control.

22 And we leave it to the designer to figure out  
23 what the appropriate way to carve that out in practice  
24 is based on, you know, where the paths of egress are,  
25 how the parking is arranged, what have you.

1           We are looking at dropping that wattage because  
2 of LEDs. So, that wattage was originally assuming that  
3 we had a large enough area that you have a significant  
4 number of poles with traditional coordinates on it  
5 before you had to jump to having a second, or third, or  
6 fourth sensor in play.

7           Now, with LEDs, we're saying do we draw that  
8 down? Maybe we don't. I mean, if the comment -- it  
9 really is just about making sure we have a bunch of  
10 lighting coming on that's not necessary just because  
11 there's one person at one corner of the property. Then  
12 if the feedback is it's not worth trying to lower this  
13 amount or come up with a better balance for it, then so  
14 be it.

15           But the original intent was really to say at  
16 some point we don't want all lighting coming on. What's  
17 a reasonable way of saying you have to chunk this  
18 lighting up in some way so that you don't have 5000  
19 watts of lighting coming on when one person walks to  
20 their car.

21           MR. GIOVANNI: Okay, thank you.

22           MR. MCGARAGHAN: So, this Mike McGaraghan. And,  
23 Michael, I just wanted to follow up further. My  
24 impression of your question is that you're asking about  
25 the -- not about the 400, or 800, or 1500 limit that can

1 be controlled together, because that's pretty clear cut  
2 the wattage is what can be controlled.

3 I think you're asking how do you define the  
4 area.

5 MR. GIOVANNI: Right.

6 MR. MCGARAGHAN: So, the language right now says  
7 when no activity has been detected in the area  
8 illuminated by the controlled luminaires. And are you -  
9 - does that answer your question or are you looking for  
10 more specificity than that?

11 MR. GIOVANNI: So, that provides some clarity.  
12 So, it's basically --

13 (Microphone conversation)

14 MR. GIOVANNI: So, that's basically you look at  
15 the luminaires and where they can illuminate the area,  
16 and that's how you know. Okay, I didn't know it was  
17 worded that way, so that does answer my question.

18 MR. MCGARAGHAN: Okay.

19 MR. LEE: And I just want to add one more note.  
20 Existing Title 24 requirements for motion sensors is  
21 mandatory for luminaires mounted at 24 feet or less.  
22 That's mandatory.

23 For all other outdoor lighting applications it's  
24 optional. So, motion sensors is optional for all  
25 others.



1           MR. MCHUGH: I'm actually just looking for input  
2 from, I think, the other members of the audience. When  
3 I read your Item 3, which talks about building facades -  
4 - would you go to that slide? Yeah, sure, I think it's  
5 your Item 3.

6           MR. LEE: That one?

7           MR. MCHUGH: Let's see, it's the one that's got  
8 lots of little print on the slide.

9           (Comments on slides)

10          MR. MCHUGH: It's the one that has the list of  
11 spaces. Keep going. There we go, yeah.

12          So, when I look at this, it appears to be saying  
13 that you have to use a motion control. Is that right?  
14 I mean, I look at Item A and then you can do B. And  
15 Item A you have to do, and then you have the choice of  
16 three things for Item B for the unoccupied periods.

17          It looks like Item A is saying you have to use a  
18 motion control.

19          MR. LEE: Yeah, that's correct. So, it's about  
20 like if there's no activity without the light.  
21 Therefore, actually, it's a motion sensor requirement.

22          MR. MCHUGH: Right. And in the current standard  
23 these areas are covered by something that allows you to  
24 do a motion sensor, or something that's a scheduling  
25 control. And I look at this list, and I think it would

1 be useful to hear from the stakeholders, but my  
2 perception is that this list -- these are a lot of  
3 spaces where you probably wouldn't want to force people  
4 to use a motion control. You don't necessarily want the  
5 façade lighting to come up and down depending on whether  
6 people are walking in front of the wall.

7           And for the sales frontage, the similar kind of  
8 thing. You know, the sales frontage is acting like a  
9 big advertising sign.

10           So, I think, anyway, it would be useful for  
11 folks in the audience to describe if this is what their  
12 thoughts are. Thank you.

13           MR. BENYA: Jim Benya here. Jon, that's a great  
14 point. In fact, yeah, many times the purpose of façade  
15 lighting is a way finding tool, such as for hotels, and  
16 as an ornamental thing just to show off as part of the  
17 skyline.

18           I think we need to rethink how that fits into  
19 this a little bit.

20           MS. ENGLISH: Hi, Cheryl English, Acuity Brands.  
21 Thank you, Jon, for asking that question because that's  
22 what I thought I read, but it went by pretty quickly.  
23 So, I agree with the comments that Jim made that, you  
24 know, façade lighting serves more than just the purpose  
25 on the site. It's hard to determine, you know, when

1 there's no occupancy when its purpose extends beyond the  
2 site. Ornamental lighting, landscape lighting,  
3 typically the sensors are usually associated with the --  
4 installed with the fixture. And these may be up under a  
5 bush. It's going to be very difficult, in many cases,  
6 without adding a separate self-control, self-contained  
7 sensor to detect the occupancy, which is going to be  
8 more complex. So, we will definitely have comments on  
9 that. I think it's appropriate to keep the scope as it  
10 was in 2016, relative to the occupancy sensor control  
11 activities.

12 MR. LEE: Appreciate the inputs here.

13 MR. BENYA: I'm just add one more point, too.  
14 Start thinking about the hospitality industry, multi-  
15 family industry, security lighting and a lot of other  
16 things. I think we need to do a little bit deeper dive  
17 on this section.

18 But, yeah, I thank Cheryl for those points and  
19 we'll get this headed in the right direction.

20 MR. LEE: Yeah, thank you for the inputs. Just  
21 want to point out that the intent here is to have the  
22 same set of control requirements for both 2 and 3. But  
23 I do see the point that they are specification that  
24 maybe they should stay on.

25 MR. STRAIT: Do we know if there was exception

1 language that we just didn't copy into the slide, that  
2 might have been proposed?

3 MR. KNUFFKE: Actually, I'm questioning, so this  
4 didn't -- sorry, this is Charles Knuffke with  
5 WattStopper. This is the CEC recommendation language,  
6 because this is not the language that's in the CASE  
7 Report?

8 MR. LEE: Yes, this is the staff proposed  
9 language.

10 MR. KNUFFKE: Okay.

11 MR. LEE: Yeah, this is the draft language,  
12 yeah.

13 MR. KNUFFKE: So, this is draft language that is  
14 available where? Is it on the stakeholder site or is it  
15 only in this presentation?

16 MR. LEE: It's all in the presentation, yeah.

17 MR. STRAIT: We will talk after this workshop.

18 MR. KNUFFKE: Okay. Because I think the  
19 approach in the CASE Study was a little clear about it  
20 because it really just called out that you had the all  
21 installed lighting had to be controlled by a photo cell.  
22 That you had luminaires in hardscape areas, sales lots,  
23 vehicle areas and others were controlled, and those were  
24 the ones that were dimming.

25 And there was no other requirements for these

1 types of lights. I mean, it called out hardscape areas,  
2 so I just thought that the draft was a little clearer  
3 instead of trying to comprehend this. Yeah, I would  
4 agree with Jim that this needs to be chewed a little bit  
5 more to be clearer. Thank you.

6 MR. STRAIT: Are there any comments coming  
7 online? Okay.

8 MR. LEE: So, I'll switch to the last topic.  
9 So, we're going to talk about Advanced Daylighting  
10 Controls. And I put the titles there, it's very  
11 different, daylighting and daylighting controls.

12 And we would first like to acknowledge the CASE  
13 Teams' efforts and for their inputs.

14 So, Title 34 recognized the benefits of having  
15 daylight in indoor space and there are measures for  
16 minimum daylighting requirements in large enclosed  
17 space, as well as automatic daylighting control  
18 requirements in Section 130.

19 In Title 24, daylit zones are defined as related  
20 to skylights and sidelit daylighting.

21 In most buildings, these daylit zones  
22 definitions can be applied quite straight forward.  
23 However, there are two situations that could be  
24 difficult to use these definitions.

25 One is atrium space with skylights. The other

1 is a space with overhang on outside.

2 For atrium space with skylight the question is  
3 about how should the skylit daylit zone be applied to  
4 atrium space? And for a space with very large overhang  
5 on outside, the concern is that the large overhang can  
6 cause loss of daylighting.

7 So, there are some discussions between CEC and  
8 the CASE Team on how to clarify skylit daylit zone for  
9 atrium space.

10 So, the CASE Team designed or come up with a  
11 building model. The building model has six floors and  
12 atrium space, and three variations of different size of  
13 skylight.

14 The CASE Team looked at the clarifications that  
15 the skylight daylit zone shall include the full area  
16 directly under the atrium.

17 And number two, the area of the top floor based  
18 directly under the skylight.

19 And number three, plus a distance of 0.7 times  
20 of the ceiling height of the top floor, in each  
21 direction from the edge of skylight opening.

22 And the Case Team ran some analysis using  
23 radiance and the results shows that in all cases the  
24 area below the atrium, on the first floor is well lit.  
25 So, actually, that confirmed the ideas on how to clarify

1 that the floor area directly under the atrium should be  
2 defined as a skylit daylit zone.

3 And this is the images of the three variation of  
4 different skylight size.

5 And then, the CASE Team also looked at some  
6 different atrium variations. You can see that on the  
7 image, on the right, is a fairly uniformly shaped  
8 atrium. The middle image has one of the top floor being  
9 more. And then, the image on the right, it has a very  
10 small skylight.

11 And here is the proposed language to clarify  
12 what should be considered for atrium space. And there  
13 is an exception. Resonating with Jim's comment earlier,  
14 if there is an area that's being shaded, there may be  
15 limited skylight available to the space so, therefore,  
16 we include an exception here for those special case of  
17 skylights.

18 And so this is Part 2 of the proposal, to look  
19 at overhangs. So, the CASE Team has approached the  
20 problems by analyzing a building model with different  
21 size of overhangs. The size of the overhangs range from  
22 zero feet to 20 feet.

23 And the results from the modeling, the analysis  
24 shows that the savings in primary skylit daylit zone can  
25 be reduced, dropped by 50 percent in the northeast and

1 west orientations. The impacts are less in south  
2 orientations.

3 So, the proposal is to add an exception to where  
4 the overhangs is too far out. If it is more than one  
5 window height out, the overhang is just too far out and  
6 there is significant loss of daylighting savings. So,  
7 for that kind of a situation the space is not required  
8 to meet the daylighting requirements.

9 And so that's for the overhangs. And now, let's  
10 turn to tubular daylighting device, short for TDDs. So,  
11 this is the IES definition of a tubular daylighting  
12 device. It uses cylindrical light pipes with very high  
13 specular reflectance material permitting daylight  
14 transmission through the space below ceiling.

15 There is an existing visible transmission  
16 requirement, or minimum VT requirements, in Title 24,  
17 but it is for plastic skylight. It's not appropriate  
18 for tubular daylighting device.

19 And the CASE Team proposed a change to align the  
20 existing Title 24 requirements to the new testing  
21 procedures in NFRC 203.

22 So, a couple of changes is proposed for the TDD,  
23 with a minimum VT of 0.38, and to add this to Table  
24 140.3-C. So, here's the table. The part being  
25 highlighted is the addition for TDD, and you can see the



1 0.38 at the lower right-hand corner of the table.

2 And then, just one more item, advanced  
3 daylighting device. The CASE Team has prepared a  
4 proposal in their report for new power adjustment factor  
5 for some daylighting technologies and design.

6 One technology is fixed slats, or the more  
7 common name louvers. Another technology is daylight  
8 with redirection technologies. Some are made by 3M and  
9 other companies.

10 And then, the one other technology is  
11 clerestories.

12 So, we would like to seek inputs and comments  
13 from the stakeholders and consultants on this proposal.

14 And now, the time for questions and comments.

15 MR. DIGERT: Neall Digert, with Solatube  
16 International. I have to say today is a momentous day.  
17 I'm very excited by this.

18 The TDD and the VT annual rating integration is  
19 18 years in the making, 18 years that we've been working  
20 on this. So, this is great. I applaud what you've  
21 done. This is tremendously exciting and the industry  
22 appreciates it. Thank you.

23 MR. BENYA: And, Neall, I would just like to  
24 thank you and your competitors for the great work you've  
25 done at, number one, getting to this point. Number two,

1 for the products that you've made and the contributions  
2 that they make to our goals here. And it's well  
3 deserved.

4 MR. DIGERT: Thank you.

5 MR. FLAMM: Gary Flamm. The definition of  
6 atrium, just a couple questions I'm not clear. In  
7 Section 140.3-C, you're required to have basically 75  
8 percent of the floor bathed in daylight. Are there any  
9 conflicts with being able to meet that in an atrium that  
10 would meet the criteria that requires that atrium floor  
11 to have 75 percent bathed in daylight? I don't know the  
12 answer to that, I'm just curious. So, that's the first  
13 question I have, are there any cases where you cannot  
14 meet that?

15 Blank. Does that mean you're going to look into  
16 it or --

17 MR. BENYA: Gary, this is Jim. You know, I've  
18 been sort of scratching my head on this one, too. And I  
19 think we're going to take a really good look at it.

20 The work that was done was really quite  
21 excellent. It addressed a long-standing  
22 misunderstanding for the definition of what is an atrium  
23 and what does it mean.

24 As a general rule, I think you're going to find  
25 a lot of atria, you know, that may or may not meet the

1 minimum square footage test. But even if they do,  
2 sometimes the geometries of them are such that they're  
3 going to be very difficult to address in other ways.  
4 Like projecting the floors underneath the atrium and,  
5 yet, portion of the ground floor may be exposed.

6           So, we've got a little bit of work to do on this  
7 one, yet, but I think it's a -- you know, I want to  
8 compliment the team who put this together because they  
9 did some excellent work. It's really nice to see the  
10 radiance work that they did and what it's shown us. And  
11 I think we can pick it up from there. But all the  
12 comments, from all of you to complement this, would be  
13 appreciated.

14           MR. FLAMM: Right. So, which I don't disagree  
15 that it was good work. I'm just wondering if it created  
16 a conflict in Section 140.3-C, for which maybe there  
17 needs to be an exception under certain conditions for  
18 atria.

19           MR. BENYA: Gary, that's exactly what I was  
20 thinking about.

21           MR. FLAMM: Okay.

22           MR. BENYA: What is the difference between a  
23 large, open space, such as a warehouse or a -- well, I  
24 guess warehouse wouldn't met the square footage  
25 requirement. But let's say a commercial distribution

1 center, or something like that, these storage spaces. I  
2 don't see any reason why we couldn't compare and  
3 contrast them and try and come up with a list of what's  
4 in, what's out.

5 MR. FLAMM: Right.

6 MR. BENYA: I see Mudit's standing right behind  
7 you, so I think we'll get a little more information from  
8 him.

9 MR. FLAMM: Okay, before he comes up, one more  
10 question. If I have one wall on an atria that's an  
11 exterior vertical fenestration, is that still an atrium?  
12 So, all the diagrams he showed had floors on both sides.  
13 If I only have floors on one side and I basically have a  
14 -- is that still an atrium and does it -- I don't know.  
15 My question is does that still follow the same geometry?

16 MR. SAXENA: Thank you, Gary. Mudit Saxena,  
17 with Vistar Energy. I'm part of the CASE Team and made  
18 this effort.

19 So, the two questions I'll answer, the second  
20 one first. That is if you have a sidelit situation in  
21 an atrium, is it still an atrium? I would still think  
22 it's called an atrium. You would get a sidelit daylit  
23 zone projecting on the ground floor or the first floor  
24 of that atrium. And then, by definition, skylit daylit  
25 zones, when they overlap with the sidelit daylit zone,

1 the skylit daylit zone wins. Essentially, that's the  
2 one that the overlap is taken care of that way.

3 And the reason for that is that skylights, just  
4 by nature of the way they bring in light, just bring in  
5 more light over the course of one year, than any one  
6 orientation of a window or vertical fenestration can.

7 So, that's one. And then the second thing that  
8 you talked about, Gary, was whether this would --  
9 whether atriums would be considered as part of that  
10 requirement where in large open spaces -- correct me if  
11 I'm wrong, Jon, but I think it says "large enclosed  
12 spaces". Is that right?

13 MR. MCHUGH: Well, it's large spaces and -- so,  
14 this is Jon McHugh, McHugh Energy. It's from memory,  
15 but my recollection is it's large spaces over 20 -- now,  
16 what is it, about 7,000 feet, 5,000 feet, with the  
17 ceiling heights greater than 14 feet that are directly  
18 underneath the roof. So, an atrium would meet all of  
19 those criteria.

20 And what I don't understand, Gary, and that's  
21 probably why I had a quizzical look on my face, was why  
22 is this any different from a warehouse? I mean, yeah,  
23 as long as you don't have obstructions, and that's  
24 actually a design issue in terms of the obstructions  
25 that you might build into the space, but you'd have the

1 very same sort of situation you'd have in any other sort  
2 of toplit space.

3           And maybe, Jim, you have some thoughts about  
4 what was concerning? So, it wasn't really quite clear  
5 to me what was concerning. So, thank you.

6           MR. BENYA: This is Jim Benya. I think we just  
7 have to mull on this a little bit. Like I said, this is  
8 very good work, it's very well documented. And you're  
9 absolutely right, what's the differentiate on it. I  
10 think we have to do a definition for atrium that is  
11 clear as can be. So that you either have the atrium or  
12 you have an ordinary condition.

13           MR. MCHUGH: And I would like to just mention,  
14 just briefly, Mudit, why don't you just describe a  
15 little bit about the background? Which is, you know,  
16 this comes from the -- go ahead, you tell it.

17           MR. SAXENA: So, I think what Jon was referring  
18 to is sort of the background of why we chose to address  
19 this, this round.

20           The background on why we chose to this, it  
21 really comes from the California Energy Commission and  
22 the hotline. And there was enough evidence that was  
23 collected through the hotline questions that people were  
24 getting stumped at this point.

25           Which is when you have an atrium space, how many

1 of those floors should we do the 0.7 times ceiling  
2 height on? What happens to the bottom floor, do we  
3 still do the 0.7 times ceiling height? And there were  
4 many different ways to interpret this and neither the  
5 code, nor the manual was giving any explanation on how  
6 to do it.

7           So, the radiance separations that we did  
8 essentially showed us that the top floor is the most  
9 reliably lit by skylights because it has the least  
10 amount of influence by any other objections in the  
11 atrium or the reflectances of the atrium surfaces.

12           We did see that lower floors also get enough  
13 daylight, especially in this case. But to be  
14 conservative, we chose to do a definition for daylit, or  
15 just do an interpretation of skylit daylit zone in  
16 atriums to be just the top floor. That way even if you  
17 have enough daylight present in the lower and middle  
18 floors, you're not required to put controls in there.  
19 Because if you had something like, let's say a  
20 stairwell, or some kind of a sculpture hanging from the  
21 atrium, which we've seen many times, or if it's an  
22 asymmetrical atrium that influences how much light  
23 reaches the bottom or lower floors.

24           So, just to be conservative we chose to just  
25 have it on the top floor and then the very bottom floor,

1 even though the atrium gets it.

2           So, that was the sort of reasoning behind how we  
3 can do this.

4           MR. MCHUGH: All right, thank you.

5           MR. FLAMM: Thank you, Mudit and Jon. So, Jon,  
6 I didn't have an answer for that, I was just honestly  
7 curious. You know, are there situations where you could  
8 not comply with 140.3-C? And I wouldn't know the answer  
9 to that, okay.

10           The second question I have is about overhangs  
11 that are too far for requiring the sidelight. I  
12 understand building inspectors do not like subjective  
13 standards. And so, I'm curious, who's going to make  
14 that call? How is it going to be documented? And what  
15 are building inspectors going to look for to be able to  
16 accept that documentation?

17           MR. SAXENA: Mudit Saxena, Vistar Energy. So,  
18 very much like the building inspectors look for the  
19 sidelit daylit zones and skylit daylit zones, they look  
20 at plans. They look at the window and the orientation  
21 and the size of the window, and the daylit zone that's  
22 drawn on it.

23           We expect that that same plan would also have  
24 the overhang showing on it, and then that overhang and  
25 its length can be measured on plan, and the exception



1 can be claimed based on the length of that overhang.

2           So, I think it's more of the building inspection  
3 -- it's more of the plan inspection than on-site  
4 inspection, which will capture this.

5           MR. FLAMM: So, is this going to be a table that  
6 is very black and white or is there going to be some  
7 subjectivity, that somebody's going to make a judgment  
8 call.

9           MR. STRAIT: Gary, please speak into the  
10 microphone. Sorry.

11           MR. FLAMM: I somebody going to make a judgment  
12 call whether the overhang is sufficient? In which case  
13 the building inspector's not going to argue with them?

14           MR. SAXENA: So, the plan is pretty straight  
15 forward. It's basically what is your window head  
16 height? And if it's the same as the overhang depth or  
17 more, then you're exempted. So, I don't see a need for  
18 a table. But I think the clarity of this should come  
19 from the plan, itself, and the readout from the plan.  
20 That if you see an overhang depth that is more than the  
21 window head height, then you can claim the exception.

22           MR. FLAMM: That should be pretty straight  
23 forward, yeah.

24           MR. BENYA: Jim Benya. Just one question. You  
25 proposed the value of 1.0. What happens if it's 0.98,

1 or 0.75? I've had enough experience doing daylighting  
2 calculations to realize that, you know, it's a declining  
3 value. And once you start getting significantly above  
4 that 0.2, you start having real impacts. And it  
5 definitely not only affects the amount of daylight, but  
6 also the quality of the daylight.

7 Is that 1.0 a real great number you're totally  
8 in love with, or does it need a little bit more work?

9 MR. SAXENA: Yeah, so the 1.0 is based on the  
10 calculations that came out of the radiance example that  
11 I did here. I looked at all four orientations and on  
12 the south façade, as you can image overhangs actually do  
13 benefit when you start off, when you have a 4-foot, 6-  
14 foot, 8-foot. After a point about 8-foot they start to  
15 decline in benefit. And then there was a decline going  
16 down.

17 East, west, and north had no benefit from  
18 overhangs. It was all declining. As the overhang  
19 starts getting bigger, the savings start going down.  
20 So, there's no real benefit of an overhang in those  
21 orientations.

22 We looked for the point where you've lost 50  
23 percent of your energy savings, which is the 50 percent  
24 point was used in the 2013 Code for determining cost  
25 effectiveness of photo controls.

1           So, I was looking at that 0.5, or 50 percent  
2 savings dropped. And very roughly speaking, at about  
3 that 1.0 you had -- you'd lost it in the east, west and  
4 north. We were at 0.4 or 0.45. In south we were still  
5 at 0.6 to 0.8 I think.

6           So, we could have gone with a code language that  
7 had a different depth for the south façade and a  
8 different depth for the north, east, west. I chose to  
9 just keep it really simple. For the sake of compliance,  
10 just have it a very memorable number at 1.0. It seems  
11 like something easy to remember for building officials,  
12 so we kind of drew the line there.

13           MR. BENYA: Jim Benya. That's a good answer.  
14 The other thing I want you to consider, and it just  
15 popped into my head so I haven't done any thinking on it  
16 myself. Is when many times, when you're designing a  
17 facility that's got a porte-cochere, like a hotel, a  
18 porte-cochere is an overhang. And there are windows  
19 underneath and adjacent to it. Any many times those  
20 windows don't go all the way up, so they're actually  
21 much, much lower, or some of them are much, much higher  
22 than you might think because you may have two or three  
23 stories of windows.

24           Have you thought about how you would deal with  
25 multiple stories against the overhang?

1           MR. SAXENA: That's a good point. That's  
2 something that we should take a look at. Which is, if I  
3 understand you correctly, Jim, you're talking about the  
4 head of the window ending and then some blank wall, and  
5 then the overhang coming above that, is that correct?

6           MR. BENYA: Yes, either the blank wall or  
7 another story.

8           MR. SAXENA: Another story, yeah.

9           MR. BENYA: And how does relate because you'll  
10 have different effects on different floors. And, you  
11 know, take that into account, too. And realize, as you  
12 go around the building there's going to be certain  
13 orientations that are just horribly bad and some that  
14 are just reasonably good. So, thank you for doing that.

15          MR. SAXENA: Yeah, thank you for pointing that  
16 out. We should look at it.

17          MR. MCHUGH: Hi, this is Jon McHugh. Just, you  
18 know, some questions about compliance. Remember, the  
19 first path of compliance is with the architect, so the  
20 architect draws the daylight zone on the plan of the  
21 buildings. Then there's a couple of other layers in  
22 terms of people reviewing those plans.

23                 And the overhang, what it does is that it  
24 essentially allows you to exempt that section that's  
25 near there. So, you know, whether it's 0.98 or it's

1 .120, you know, Mudit's picked a middle point so that,  
2 you know, if it's a little short of that, well, having  
3 the control's not going to break the bank. It's not  
4 going to kill anyone. If it's a little bit longer and  
5 now you're not getting the daylighting for that  
6 particular space, you know, it's -- so, you've got to  
7 realize that some of this is not down to the third  
8 decimal point.

9           But what you do want is you want the standard to  
10 be clear. And what's being proposed is does it comply  
11 or does it not comply that I have a daylighting control  
12 here, and that's really what's key.

13           And just a little background. This question  
14 actually came up to the ASHRAE 90.1 Committee. And  
15 there were some thoughts about making an interpretation,  
16 and we didn't want to be in the situation where people  
17 are making interpretations because there really is no  
18 guidance by the standard. It would be, you know, an  
19 interpretation not based on the language in the  
20 standard. So, thank you.

21           MR. STRAIT: That's a good point.

22           MR. KNUFFKE: Hi, Charles Knuffke, WattStopper.  
23 First off, thanks for particularly on this section  
24 exploring atrium and overhangs. This is one of those  
25 areas where the code doesn't always fit exactly. The

1 code's a little bit more round and trying to go into a  
2 square hole. And truly, this has been one of the more  
3 challenging areas for designers, when they run into one  
4 of these situations of just trying to figure out, you  
5 know, tell me what to do and just make sure it's not  
6 wrong.

7           So, absolutely, I think that this is a great  
8 idea to go in and try and get these details.

9           I would ask, actually, to try to expand some of  
10 these considerations. Two of them that come up is  
11 limited exposures. You get into San Francisco, you've  
12 got buildings in light wells where there are windows,  
13 and a window by itself doesn't even, sometimes when it's  
14 over 24 feet of glazing, doesn't always guarantee good  
15 daylight coming into a space.

16           So, some sort of metric to determine whether or  
17 not daylighting is actually being effective in a glazed  
18 area would be helpful.

19           The other one that seems like it was in the code  
20 previously, and it dropped out, was there used to be  
21 language that said if you have a wing of a building that  
22 is all encased in glass that the daylighting zones, the  
23 primary and secondary were separate, based on the  
24 orthogonal direction. So, north, south, east, west.  
25 That somehow dropped out in the code.

1           And so, there in fact is an illustration in the  
2 compliance manual that shows, you know, a right angle of  
3 a building and it shows the primary daylight zone as going  
4 around that. And I do believe that what that engenders  
5 is people then trying to use one photo cell to control  
6 different cardinal directions. And that's -- you know,  
7 the recommendation is please don't do that because you  
8 may have saved some money, but now you've got something  
9 that isn't going to work properly.

10           So, just really, you know, good work and just  
11 recognize that daylighting is a bit more architectural  
12 than some of the other things we deal with, and to try  
13 to get good answers to everybody would really be  
14 appreciated. So, thank you.

15           MR. MUTMANSKY: Michael Mutmanky, TRC Energy.  
16 I first want to comment on just these measures and, you  
17 know, taking the effort to actually add clarity and more  
18 specificity to the daylighting portions of the code,  
19 which I think clearly had a lot of questions. And  
20 you're solving problems here and I think that's really  
21 excellent, so I want to applaud that.

22           Jim sort of stole my thunder a little bit on the  
23 second thing. Damn you, Jim. But I see the overhang  
24 issue as being really sort of a geometry issue and I've  
25 got a couple questions on it.

1           The first Jim sort of mentioned with the porte-  
2   cochere concept. And that is how far away from the top  
3   of -- from the head height of the window does an  
4   overhang have to be before it's not an overhang anymore?  
5   There's no definition for that and we need some kind of  
6   definition for that.

7           And the second is, it's currently, as I  
8   understand it, being defined off of window head height  
9   and there's no sort of definition or consideration of  
10  the bottom of the window, so the cross-sectional height  
11  of the window.

12           And actually, if you look at it in cross-section  
13  and treat it as a geometry sort of question, and solar  
14  benefit, it's not related to head height nearly as much  
15  as it's related to window cross-sectional height.

16           So, my question is, well, why are we  
17  disregarding window height relative to the overhang  
18  depth? And I know that there's probably sort of  
19  mathematical calculations that Mudit has done to do  
20  that, so he'll probably explain it here.

21           But once you sort of treat it as a geometry  
22  question and address this issue of distance from the  
23  window upwards towards the overhang, and outwards from  
24  the overhang, the bottom of the window then becomes  
25  relevant as well. So, I just wanted some clarity on



1 what the thinking was there.

2 MR. BENYA: This is Jim Benya. Michael, that's  
3 brilliant. And so, let me just run with it a little bit  
4 further and start thinking about the window width versus  
5 the overhang width. Redesign architects do it all the  
6 time. What they're do is design shading devices, call  
7 them awnings or anything else you want, that are the  
8 width of the window. And they serve that projection  
9 requirement, you know, pretty well.

10 But at the same time they don't necessarily  
11 shade the window throughout the year and throughout the  
12 course of the day.

13 Start thinking about how that sort of physical  
14 device, which is a very good sun control device when  
15 designed correctly, and a very good solar gain device  
16 really works great in the right orientation and right  
17 design, as you well know.

18 So, think about that, too, because there's a  
19 larger context here that Michael just unveiled for us.  
20 And how does that fit into your theory?

21 MR. SAXENA: Yeah, thank you, Michael. Thanks  
22 Charles. Great questions and great feedback, actually.

23 So, I think the width question is a very  
24 important one. And I have to say I looked at it very  
25 briefly because when I first started it off I had the

1 overhang just be just a little window and I had to  
2 increase it.

3           Because what happens when you make it that  
4 small, the orientation makes a very big difference, even  
5 a few degrees of change in orientation.

6           Keeping the overhang wide enough gave me the  
7 ability to give you a very simple answer, which was one  
8 dimensional.

9           But really, the question is three dimensional,  
10 so perhaps the answer needs to be a bit more complex.

11           So, it looks like the feedback I'm getting from  
12 you is to go deeper into this and to look at other  
13 dimensions, as well as just the depth. So, we will do  
14 that. We'll take a look at it a little bit more and see  
15 if we can still keep the code simple.

16           To get back to Charles on his question about  
17 orientations, I believe we never had this in code about  
18 the different orientations. But we did have it in the  
19 manual. And I think the manual's been the only place  
20 where orientation is mentioned and the fact that you  
21 should put a different control zone by orientation.

22           It's not been touched upon in code language,  
23 either here in California or in ASHRE 90.1. So, let's  
24 discuss this a little bit within the team about whether  
25 we want to go there. And if there's enough -- if you,

1 in your experience, see enough of a problem of people  
2 doing things like putting one controller, that controls  
3 four zones and four orientations, which would be pretty  
4 ridiculous in my opinion. But if people are doing that,  
5 then perhaps code needs to give them more clarity.

6 If we don't see this as a huge problem, we can  
7 skim back on trying to make the code more complicated in  
8 this part of the section, which I've heard is already  
9 perceived as complex.

10 So, we'll discuss it a little bit more here  
11 Perhaps, Charles, I'll give you a call and discuss more  
12 with you, and Michael Giovanni, and see if this is truly  
13 a problem that you're seeing in the field, and we'll go  
14 there from there. Thank you.

15 MS. CLANTON: So, Nancy Clanton, with Clanton &  
16 Associates.

17 So, if I'm reading this right, my daylight zone is  
18 reduced by 50 percent north, east and west orientations.  
19 What if I'm northwest, or southeast, or south southeast,  
20 what do I do?

21 MR. STRAIT: So, this is simply saying that the  
22 anticipated savings goes down by about half when you put  
23 that amount.

24 MS. CLANTON: Okay, but it's --

25 MR. STRAIT: So, for three of those orientations

1 one would presume if you're in between there's going to  
2 be some variation, but it's all going to be roughly in  
3 that same area.

4 Only in the south orientation do we see that you  
5 don't have as much of a hit. So, your southwest and  
6 your southeast are probably going to be better.

7 MS. CLANTON: Okay.

8 MR. STRAIT: But the rest of the span looks like  
9 it's going to still be a significant enough hit that  
10 we've got to --

11 MS. CLANTON: So, you're not trying to give  
12 information on the daylight zone, then?

13 MR. STRAIT: Ultimately, what we're trying to do  
14 is craft an exception to say, if you have this  
15 situation, you don't have to worry about putting a  
16 daylight control in the space because you're not going  
17 to save enough money from the incoming daylight to  
18 justify it's on that control.

19 MR. CLANTON: It's kind of clear as mud, but  
20 that's okay.

21 MR. SCALZO: Michael Scalzo, NLCAA. I'll tell  
22 you right now, 99 percent of the problems that we see in  
23 testing revolve around daylight testing. I'd say almost  
24 95 percent of the north-facing cardinal windows cannot  
25 pass a functional test, even without some artificial

1 light to simulate daylight.

2 I'll tell you, from a testing stand point we  
3 have to do a lot of verification of the daylit zones.  
4 We actually, generally, have to redraw them out, clarify  
5 what luminaires are in those daylit zones. So, a lot of  
6 this responsibility, I know it's going to go through  
7 plan check, but the verification process will be done in  
8 the field.

9 So, I think clearly defining the requirements as  
10 in heights and widths, and also addressing issues that  
11 we run into is like in retail corridors, where they have  
12 arches beyond that area should be other exceptions that  
13 are brought into there.

14 So, just make sure you're clearly defining and  
15 allow us to do our -- give us the tools so we can do our  
16 job on the verification. Thank you.

17 MR. STRAIT: Actually, if there are other areas  
18 similar to the overhangs, where we should also look at  
19 places that, because of other architectural features,  
20 daylighting controls are going to be rendered  
21 ineffective, let us know. Because that's something,  
22 because we're exploring in general, we'd like to  
23 incorporate.

24 MR. FLAMM: So, daylighting is really a complex  
25 issue and the Energy Commission has been wrestling with

1 this for decades. And it got really complex. Earlier  
2 versions of the standards they were looking at  
3 overhangs, and other buildings, and effective apertures,  
4 and all kinds of off ramps.

5           And back in 2013, because the Energy Commission  
6 was deluged with complaints about the complexity of  
7 daylighting, the Energy Commission decided to make  
8 daylighting mandatory. Let's simplify it. Get rid of  
9 all these exceptions. Let's just daylighting  
10 everywhere, no ifs, ands, or buts, do it. And that was  
11 the primary rationale, in 2013, to broadly apply  
12 daylighting everywhere.

13           Now, we have a kind of middle-of-the road works  
14 sometimes, doesn't work sometimes. It does not answer  
15 all of the design questions. And I'm not confident that  
16 without getting the code extremely complex, and without  
17 making it unenforceable, I don't know how we're going to  
18 get back. We're moving back to where we were prior to  
19 2013, and adding all this complexity to design. I think  
20 it's legitimate. I think the current daylighting code  
21 does not always work. It doesn't take into account  
22 design considerations.

23           But I'm not confident, without making the  
24 standards overly complex, that we can do this. Because  
25 I guess what I'm concerned with is I see we're going

1 back to where we were. So, that's basically what I'd  
2 say about that.

3 MR. BENYA: Jim Benya here. Gary's making a  
4 very, very important point and I think that I -- you  
5 know, I do daylighting calculations. I'm fairly  
6 familiar with the topic. And he's right, it is a  
7 complex part of designing buildings.

8 By the same token, if we think about what the  
9 whole purpose of the prescriptive standards are,  
10 prescriptive standards are designed so that a contractor  
11 can go to his distributor and buy one, or two, or ten,  
12 or a hundred and put them in, and follow the rules. And  
13 will comply with code and achieve the intent of the  
14 standards.

15 Once you get beyond, and get into things that  
16 are customized and specialized, unique to the  
17 architecture, et cetera, the performance method is  
18 supposed to step in and deal with that.

19 I think if we keep our heads on straight, we're  
20 going to follow that kind of thinking. And, for  
21 example, with the introduction of the space is at least  
22 so tall, and so big, and it's got to have skylights,  
23 that was brilliant. That was a great improvement of the  
24 standards. Simple, easy to follow, here are the rules,  
25 contractor you're going to go buy skylights. I think

1 every opportunity we have to do that is something we  
2 ought to be looking at and likely are today.

3 But by the same token, I think Gary's warning  
4 that we've been down this road too far before,  
5 sometimes, maybe ought to dampen our spirit a little  
6 bit, but we shouldn't stop looking at these.

7 So, this is some good work, it's inspirational.  
8 And thank you for all of us.

9 MR. STRAIT: Just one question to clarify your  
10 comment. You mentioned the prescriptive and performance  
11 approach. The current daylighting control requirements  
12 are mandatory in certain buildings. Is that suggesting  
13 we should consider moving them to being prescriptive so  
14 they can be traded away in a performance approach?

15 Or, recognizing within alterations you have a  
16 situation where you use the prescriptive requirements,  
17 but then in newly constructed buildings these are  
18 mandatory.

19 MR. BENYA: Yeah, this is Jim Benya. One of the  
20 problems with alterations, of course, is cost  
21 effectiveness testing. It's one thing to analyze the  
22 cost of changing a luminaire and controls, things like  
23 that. It's kind of universal and don't really matter.

24 I think this is pretty much limited to new  
25 construction and major remodel, working through a 40524



1 compliance documentation.

2           But that said, like the current daylighting  
3 requirements, I think if we can find more that are  
4 simple -- you know, frankly, a huge percentage of the  
5 buildings, you know, and overwhelming percentage of  
6 buildings out there are simple buildings. And we ought  
7 to think about simple buildings and simple, every-day  
8 solutions. And then the one-of-a-kind, over the top,  
9 golly, gee whiz buildings, let them deal with it in  
10 their way.

11           And I think as long as we keep our heads  
12 straight, we will provide most contractors, most  
13 architects and most projects a simple way to achieve  
14 energy efficiency better. That's all I got.

15           MR. WICHERT: We do have one comment online that  
16 I'm going to read. This is from Michael Warren, of Mark  
17 3 Construction.

18           "With the passage of Proposition 64, and the  
19 expected massive increase in the U-4 indoor horticulture  
20 row classification, have any additional daylighting  
21 requirements been considered?"

22           MR. STRAIT: So, we're looking at those  
23 operations as being -- or those functions as being  
24 indoor horticulture as process, basically agricultural  
25 processes. So, that lighting is not what's -- how do I

1 put it? We're not looking at daylighting requirements -  
2 - the daylighting requirements we have on the books  
3 right now are about human occupants, not about  
4 greenhouses, for example.

5 So, if we need to add language to draw a  
6 brighter line for some of those new scenarios, we are  
7 looking at possibly doing so.

8 But the daylighting control requirements we're  
9 talking about right now are specific to human occupancy  
10 and wouldn't be applicable or aren't intended to be  
11 applicable in the case of any lighting for horticulture.

12 MR. WICHERT: That's it for online.

13 MR. BOZORGCHAMI: So, if that's all the  
14 questions, I'm going to open up the mic for any other  
15 comments or questions from other topics.

16 Mazi offered to do his karaoke.

17 So, that completes our workshop today. We will  
18 be having -- our next workshop will be on July 13<sup>th</sup>. It  
19 will be on hospital measures and demand response  
20 cleanup. I heard a few of you folks in the audience had  
21 some questions about demand response, and I think that  
22 will be the date to be present and participate in our  
23 workshop then.

24 And I would like to thank you all for  
25 participating and hope to get all your comments in by

1 July 14<sup>th</sup>. Thank you.

2 (Thereupon, the Workshop was adjourned at

3 3:27 p.m.)

4 --oOo--

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 12th day of July, 2017.



---


Eduwiges Lastra  
CER-915

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 12th day of July, 2017.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520