

DOCKETED

Docket Number:	17-IEPR-12
Project Title:	Distributed Energy Resources
TN #:	220284
Document Title:	Transcript of the 06/29/2017 Joint Agency Workshop on Application of Distributed Energy Resources on the California Grid
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/20/2017 11:40:22 AM
Docketed Date:	7/20/2017

CALIFORNIA ENERGY COMMISSION
CALIFORNIA PUBLIC UTILITIES COMMISSION
CALIFORNIA INDEPENDENT SYSTEM OPERATOR

In the Matter of:) Docket No. 17-IEPR-12
)
) JOINT AGENCY WORKSHOP
)
2017 Integrated Energy Policy)
Report (2017 IEPR)) RE: Distributed Energy
Resources

JOINT AGENCY WORKSHOP ON APPLICATION OF
DISTRIBUTED ENERGY RESOURCES ON THE CALIFORNIA GRID

CALIFORNIA ENERGY COMMISSION

THE WARREN-ALQUIST STATE ENERGY BUILDING
ART ROSENFELD HEARING ROOM - FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA 95814

THURSDAY, JUNE 29, 2017

10:00 A.M.

Reported By:

Peter Petty

APPEARANCES

JOINT AGENCY PARTICIPANTS

Chair Robert B. Weisenmiller, Lead Commissioner
Karen Douglas, Commissioner, California Energy Commission
David Hochschild, Commissioner, California Energy
Commission
Keith Casey, VP, Market and Infrastructure Development,
California Independent System Operator
Simon Baker, California Public Utilities Commission

STAFF:

Heather Raitt, California Energy Commission
Martha Brook, California Energy Commission

PANEL PRESENTERS (* Via telephone and/or WebEx)

Panel Discussion - Agenda Item No. 3:

Mike Gravely, California Energy Commission
(Panel Moderator)
Rachel McMahan, California Public Utilities Commission
Delphine Hou, California Independent System Operator
Noel Crisostomo, California Energy Commission

Panel Discussion - Agenda Item No. 4:

Mike Gravely, Energy Commission
(Panel Moderator)
Simon Baker, California Public Utilities Commission
Gabe Petlin, California Public Utilities Commission

Panel Discussion - Agenda Item No. 5:

Tom Flynn, California Energy Commission
(Panel Moderator)
Delphine Hou, California ISO
Mark Esguerra, Pacific Gas & and Electric
Jeff Billinton, California ISO

APPEARANCES (Cont.)

PANEL PRESENTERS (* Via telephone and/or WebEx)

Panel Discussion - Agenda Item No. 6:

John Mathias, California Energy Commission
(Panel Moderator)
Jonathan Changus, Northern California Power Agency
Chris Beltran, Imperial Irrigation District
James Barner, Los Angeles Department of Water and Power
Jason Rondou, Los Angeles Department of Water and Power

Panel Discussion - Agenda Item No. 7:

Matthew Tisdale, More Than Smart
(Panel Moderator)
Mark Esguerra, PG&E
Damon Franz, Tesla
Jim Baak, Vote Solar
Carmen Garralaga, SMA America

PUBLIC SPEAKERS (* Via telephone and/or WebEx)

Udi Merhav, energyOrbit
Allison Johnson, Interstate Renewable Energy Counsel

I N D E X

	<u>Page</u>
1) Introduction Heather Raitt, Integrated Energy Policy Report (IEPR) Program Manager	7
2) Opening Comments Chair Robert B. Weisenmiller, Lead Commissioner, California Energy Commission, CEC Karen Douglas, Commissioner, CEC David Hochschild, Commissioner, CEC Keith Casey, California Independent System Operator, CAISO Simon Baker, California Public Utilities Commission, CPUC	8
3) Update on Status of State Level Roadmaps Storage Technology Roadmaps Mike Gravely, Energy Commission (moderator) Rachel McMahon, California Public Utilities Commission (CPUC), Advancing and Maximizing the Value of Energy Storage Technology Delphine Hou, California Independent System Operator (California ISO), Demand Response and Energy Efficiency Roadmap: Maximizing - preferred resources Noel Crisostomo, Energy Commission, California Vehicle-Grid Integration (VGI) roadmap: Enabling - vehicle-based grid services	11
4) CPUC DER Action Plan Update	59
Mike Gravely, Energy Commission (moderator) Simon Baker, CPUC, Introduction to Distributed Energy Resources (DER) Action Plan Status Updates:	

I N D E X (Cont.)

	<u>Page</u>
4) CPUC DER Action Plan Update (Cont.)	59
Simon Baker, CPUC, Rates and Tariffs	
o Time of Use Ratemaking, Marketing and Outreach	
o Review of Demand Charges	
o Net Metering Successor	
Gabe Petlin, CPUC, Distribution Planning, Infrastructure, Interconnection and Procurement	
o Integration Capacity Analysis, Locational Net Benefits, and DER Growth Scenarios	
o Distribution Investment Deferral Framework	
o Grid Modernization Investment Framework	
o Smart Inverter Implementation	
Lunch Break	88
5) Transmission and Distribution DER Activities	89
Tom Flynn, Energy Commission (moderator)	
Delphine Hou, California ISO, DER Participation in the Wholesale Market	
Mark Esguerra, Pacific Gas and Electric, Coordination of Transmission-Distribution Operations in High DER Electric Grid	
Jeff Billinton, California ISO, Transmission Implications of Shift to DER	
6) Publicly Owned Utility DER and Energy Storage Activities Update	132
John Mathias, Energy Commission (moderator)	
Johnathan Changus, Northern California Power Agency, Energy Storage Update	
Chris Beltran, Imperial Irrigation District, IID Battery Energy Storage	
James Barner and Jason Rondou, Los Angeles Department of Water and Power, LADWP DER Integration	

I N D E X (Cont.)

	<u>Page</u>
7) Stakeholder Perspective on Implementation of DER Action Plan	165
Matthew Tisdale, More Than Smart (moderator)	
Mark Esguerra, PG&E, Joint Investor-Owned Utility Presentation	
Damon Franz, Tesla, Role of Energy Storage	
Jim Baak, Vote Solar, Role of Distributed Generation	
Carmen Garralaga, SMA America, Role of Smart Inverters in DER Integration	
8) Public Comments	205
9) Closing Remarks	209
Adjourn	210
Court Reporter's Certification	211
Transcriber's Certification	212

1 P R O C E E D I N G S

2 June 29, 2017

10:01 a.m.

3 CHAIRMAN WEISENMILLER: Heather, do you want to
4 go through our administrative announcements?

5 MS. RAITT: Yes.

6 Good morning, so welcome to today's IEPR
7 workshop. It's a joint agency workshop on the Application
8 of Distributed Energy Resources in the California Grid.
9 I'm Heather Raitt. I'm the Manager for the IEPR.

10 And a few housekeeping items, if there's an
11 emergency and we need to evacuate the building, please
12 follow staff to Roosevelt Park, which is across the street
13 diagonal to the building. We are being recorded through
14 our WebEx conferencing system, so there will be an audio
15 recording posted on our website in about a week. And a
16 written transcript will be available in about a month.

17 At the end of the day, we will have an
18 opportunity for public comments and we're going to limit
19 that to three minutes per person. You can go ahead and
20 fill out a blue card, which is at the front. And give it
21 to me and you can give your comments at the end of the day.
22 For folks on WebEx, there's an opportunity for comments
23 also at the end of the day. Just raise your hand to let
24 our coordinator know you'd like to comment.

25 All the materials for this meeting are available

1 at the entrance and posted on the website. Written
2 comments are welcome and due on July 13th and the notice
3 has all the information for submitting comments.

4 So with that, I'll turn over to the Chair. Thank
5 you.

6 CHAIRMAN WEISENMILLER: Thanks, Heather.

7 I'd like to thank everyone for being here.
8 Today's topic is we're talking about distributed energy
9 resources on the Grid. And I would point everyone back to
10 an en banc that President Picker and I had a couple of
11 months ago on sort of the changes in the California market,
12 which is not just the rapid growth of CCAs, but also
13 everything that's going on behind the meter.

14 And you have fundamentally both the market
15 structure and the technology are changing fast and really
16 changing the nature of the utility obligations. Changing
17 and transforming the nature of our Grid and providing both
18 a lot of opportunities and challenges. And so we wanted to
19 focus on today's workshop, obviously my colleagues here
20 from both the ISO and the PUC, to really help look at these
21 issues since it really cuts across all three of us.

22 And again I think this workshop sort of again
23 emphasizes that we're working in pretty tight harmony on
24 this. And we're trying to make sure that everyone, say
25 Michael put out the roadmap at the PUC, that we're really

1 using that as the basis for our research funding
2 priorities. And at the same time, obviously the CAISO's
3 taking its historic effort on consulting procurement and
4 the wholesale market distributed energy resources.

5 Keith, do you want to say a few words?

6 MR. CASEY: Yeah. Well first off, thank you
7 Chair Weisenmiller, for including us in the workshop today
8 and on the dais today. The ISO is very, very committed to
9 integrating distributed energy resources into our wholesale
10 markets and into our planning process as well.

11 Obviously, these resources present some unique
12 challenges. And I know we have a lot of efforts underway,
13 both on the market design side to understand those unique
14 characteristics and make sure we evolve our markets and
15 reduce barriers to enabling these resources to participate
16 in our markets. And certainly operationally and in the
17 planning side, again there are some unique challenges with
18 incorporating distributed energy resources into our
19 transmission operations as well as our transmission
20 planning and I look forward to this afternoon's panel on
21 some of the innovative approaches we're taking to enable
22 that.

23 So generally, I look forward to the discussion
24 today and appreciate the opportunity.

25 MR. BAKER: Thank you. Good morning. I'm Simon

1 Baker. I'm the Deputy Director of the Energy Division for
2 the PUC and standing in here for our Commissioners.
3 Regrettably, today is our Commission meeting, so they were
4 not able to be here today.

5 But I do want to say that I'm pleased to be here.
6 And as I've said before, the PUC and CEC and the ISO have
7 been collaborating extensively and I expect we will
8 continue to do so. So I'm looking forward to today's
9 workshop and hearing from the presenters and also the
10 participation of everyone.

11 We've made a lot of accomplishments, but there's
12 yet a lot more to do. So hopefully we can kind of uncover
13 what are some of the key fronts of activity moving forward
14 in today's workshop.

15 CHAIRMAN WEISENMILLER: Yeah, Martha. Do you
16 have anything for the intro to say?

17 MS. BROOK: Good morning. I'm Martha Brook. I'm
18 Advisor to Commissioner Andrew McAllister, who would love
19 to be here today, but he has official business elsewhere.

20 Andrew's been very active in demand response in
21 particular and integrating demand side resources into
22 building code, for example. And he's also been very active
23 in previous IEPR reports. And so my job today is basically
24 to try and figure out whether the recommendations we made
25 five years ago in this area have been resolved or we've

1 made progress on and which would be our current
2 recommendations in this IEPR. So I'll be looking forward
3 to today's discussions.

4 Yeah, so we are also having a follow-up workshop
5 on demand response in particular, on July 26th. And both
6 myself and Bryan Early, who is Commissioner McAllister's
7 First Advisor, will be reaching out to some of you
8 hopefully, for your participation in that workshop. And
9 again that is going to be specifically on demand-response
10 and looking to make recommendations in this year's
11 Integrated Energy Policy Report.

12 So we hope you can participate. Thanks.

13 CHAIRMAN WEISENMILLER: Mike, do you want to
14 start?

15 MS. RAITT: Great, so our first panel is an
16 update on the status of the state-level roadmaps. And Mike
17 Gravely from the Energy Commission is the Moderator.

18 MR. GRAVELY: Thank you. I'm Mike Gravely from
19 the Energy Commission R&D Division.

20 And in preparation for this workshop, one of the
21 things we did on the 13th, was we held a staff workshop to
22 review the active roadmaps that currently exist. These
23 roadmaps were developed by the three agencies: the ISO, the
24 PUC and CEC. And we have three of those that cover a large
25 portion of the DER energy storage, energy efficiency,

1 demand response and vehicle-to-grid integration.

2 So these roadmaps were published in the 2013-2014
3 timeframe. So one of the questions we were asked was are
4 the roadmaps -- what's been done as part of the roadmap?
5 Where are we? Where are we going in the future? And
6 should there be any changes or updates to the roadmap, or
7 is the roadmap as is pressing forward doing what we want it
8 to do? So we will present the three of those in just a
9 minute.

10 There is a fourth workshop that we're doing later
11 next month for a roadmap. There is a roadmap on
12 microgrids. Microgrids are one of the tools to integrate
13 Advanced DER. We have had four previous workshops in
14 preparation for this. We will be developing a roadmap and
15 the draft will be available within the September timeframe.
16 We have another workshop next month to go through the
17 logistics with industry and stakeholders on that roadmap.
18 Again, that's a roadmap that's being developed by the three
19 agencies.

20 And with that, I'll turn it over to Rachel, who
21 will talk about the Energy Storage Roadmap. You can be
22 here or here, your choice. I'll just set up your slides
23 for you.

24 MS. MCMAHON: So good morning, my name is Rachel
25 McMahon. And I'm very loud this moment. And I'm a Senior

1 Analyst in the California Public Utility Commission's
2 Energy Division focused on energy storage.

3 So the following presentation is a somewhat
4 truncated version of the presentation that we gave on June
5 13th, which I will go through quickly. Next slide.

6 So this slide illustrates, which of course you're
7 already familiar with, is that the Energy Storage Roadmap
8 is organized around three principals and into five priority
9 tracks. Others being planning, procurement rate,
10 treatment, interconnection and market participation. Next
11 slide.

12 Okay. So we started by presenting the initiative
13 that each agency has whether stakeholder processes,
14 rulemakings, research, etcetera, that support the specific
15 items in the roadmap. So those are listed here. So
16 starting on the left the CAISO has the Energy Storage and
17 Distributed Energy Resources Initiative. It's already
18 complete Phase 1, it's about to wrap up Phase 2 and will
19 likely have a Phase 3; the Expanded Metering and Advanced
20 Telemetry Initiative; storage interconnection and metering
21 rule's enhancement.

22 For the CPUC, in the middle column, the Electric
23 Storage Rulemaking; the Integrated Distributed Energy
24 Resources Proceeding; the Distributed Resource Plan
25 Proceeding; Interconnection Proceeding and Smart Inverter

1 Working Group; DER Action Plan -- which there'll be a
2 presentation about later today, which is not a proceeding,
3 but a guiding, planning document that is used across
4 distributed energy resource energy proceedings -- and
5 Resource Adequacy.

6 And then of course on the right, this agency, the
7 Energy Commission has supported storage, storage policy
8 development through EPIC research and grants; participation
9 in proceedings and working groups and development of the
10 StorageVET tool. Next slide please.

11 Oh, and what I should say actually before we dive
12 into the actual elements in the roadmap is that this list
13 is not exhaustive, so there's efforts happening at all
14 agencies that impact energy storage. As so for example,
15 you know, the Integrated Resource Planning Proceeding, New
16 Transmission Planning Process, etcetera. Those all relate
17 to storage as they relate to energy resources generally.

18 So following are the slides that we presented.
19 As starting with planning each agency went through its
20 activities. The color-coding on the far left indicates the
21 priority on the roadmaps, so red for really important,
22 orange for of medium importance and yellow for lower
23 importance.

24 So this slide and the activities in the roadmap
25 focus largely on distribution and transition grid needs and

1 services and the ability of storage to fulfill those. Next
2 slide.

3 And the four action items for procurement that
4 were in the Energy Storage Roadmap are listed here. They
5 are focused on both valuation of storage and resource
6 adequacy rules. The roadmap, I will note was created
7 before procurement actually began under the Storage
8 Roadmap, so I'm curious whether some of these items might
9 change. Next slide.

10 Rate treatment, so the action items in this
11 section focus on station power, net energy metering and
12 what we are calling multiple-use application. There's some
13 overlap here. Prior sections in the final two items which
14 are focused on distribution level needs and procurement.
15 Next slide.

16 So not surprisingly, there was a lot of focus in
17 the Energy Storage Roadmap on enter connections. The next
18 three slides go through that. These items have been
19 handled primarily through the CPUC's Interconnection
20 Proceeding and the CAISO's Expanded Metering And Advanced
21 Telemetry Initiative. There are also a few items here that
22 are specific to WDAT, which we clarified is not subject to
23 the jurisdiction of any state agency. Next slide.

24 Actually, you can skip forward to the next slide and next
25 slide. Okay.

1 The final section the Roadmap focuses on storage
2 research participation in the wholesale market and
3 determination of the rules on multiple-use applications.

4 So I didn't go through these items as they went,
5 but as you can see from the presentation, if you pick it
6 up, we're actually making pretty good progress on the
7 Storage Roadmap. So pretty much everything that is within
8 the roadmap the agencies have either done or it is in
9 progress. So next slide.

10 So this is a brief synopsis of the verbal
11 comments we received at the workshop.

12 So the first, the California Energy Storage
13 Alliance, presented the need for consistent energy storage
14 permitting guidelines for cities and local governments and
15 presented this as an idea for potential EPIC funding.

16 The California Hydrogen Business Council
17 discussed the value of including power to gas or hydrogen
18 producing technology in the roadmap.

19 There were various comments on the
20 interconnection clarifications for distributed energy
21 resource processes or DERPs, which is not specifically a
22 storage issue, but more DER's broadly.

23 The Independent Energy Producers Association
24 discussed the importance of tracking jurisdictional and
25 transactional relationships in developing rules for

1 multiple-use applications for storage, which I thought was
2 a very good suggestion.

3 There were various comments and questions
4 specific to distribution level rulemaking, so IDER and DRP
5 and associated solicitations.

6 The Commission's Safety and Enforcement Division
7 discussed the state safety standards for storage.

8 There was also a presentation on energy storage
9 college curriculums, so an actual education process is
10 happening in Southern California. Next slide.

11 I should say this does not include any written
12 comments that have been received to date, so those are just
13 the verbal comments that we got at the workshop.

14 So these are just my initial thoughts and my
15 initial thoughts alone, for updates to the Storage Roadmap.
16 So one is simple to update with historic and current
17 activities and timelines, some of the items on the roadmap
18 can be removed. Of course, review the priorities and
19 action items and update as needed. Is there anything else
20 we need to do in particular, something I'm curious about.
21 And consolidate roadmap items specific to certain
22 processes, so there's a lot of repetition around
23 distribution-level services and procurement valuation as
24 well as multiple-use applications.

25 And also, the final bullet is to incorporate the

1 suggestion that we got at the workshop, which is to include
2 discussion of jurisdiction and authority, particularly for
3 multiple-use applications. I imagine that would also be
4 relevant for distributed energy resources generally. Thank
5 you.

6 MR. GRAVELY: Any questions from the dais for
7 this speaker?

8 CHAIRMAN WEISENMILLER: It was good. I think the
9 one thing I'll probably ask, so each of you I'll ask the
10 basic question of, "What do you think are most three
11 important things we need to focus on, on storage, going
12 forward?"

13 MS. MCMAHON: Uh-huh, so one of the most
14 important things is actually something that I'm working on
15 right now, with the CAISO, which is resolving rules for
16 multiple-use applications. So that is the rules by which
17 the capacity from a storage resource can provide multiple
18 services at the same time. So that's the most important
19 thing.

20 And then there are a number of issues that are
21 within that, so ensuring that there is no double
22 compensation. Ensuring the ratepayers are actually getting
23 what they're paying for and ensuring that we don't exhaust
24 the actual storage resource itself, so I think there's a
25 lot of learning there. And so there's that.

1 There's one issue that I confess being somewhat
2 new to storage I'm not sure has been dealt with and that is
3 end of life of for batteries. So large, of course pretty
4 much all of the procurement that we're seeing, is utilizing
5 batteries.

6 Oh, and also the third issue, which is being
7 dealt with on the distribution side, is the ability for
8 storage to provide non-wires alternatives to distribution-
9 level deferral and transmission-level deferral.

10 MR. GRAVELY: Great, any other questions?

11 CHAIRMAN WEISENMILLER: No one else?

12 MR. GRAVELY: Okay. Thank you.

13 We'll transition to the next presenter.

14 MS. HOU: Good morning Chair Weisenmiller,
15 Commissioners, Keith and Simon. My name is Delphine from
16 the ISO, the Manager of State Regulatory Affairs. And I'll
17 be presenting an update to the Demand Response and Energy
18 Efficiency Roadmap. Before I do that, I kind of wanted to
19 set the stage for the context of when that roadmap was
20 developed and where we were at that time.

21 So then thinking back in 2013, some of the main
22 issues that we were faced with was we had these great
23 resources, but they weren't necessarily integrated into the
24 ISO market per se. They existed, of course some of them
25 existed for many, many years.

1 But the reason why we wanted to integrate them
2 into the market is because we were looking at certain I
3 guess some of the concerns in Southern California haven't
4 quite gone away, but at that time, it was about SONGS. So
5 that was a huge concern that we had on our system. We
6 wanted sort of all the resources available to participate
7 and to help us through that difficult time. We're seeing
8 sort of a repeat of that today with Aliso Canyon. But that
9 was the first instance of it.

10 At the same time we were seeing a great amount of
11 renewable penetration, so that was beginning to track. The
12 CAISO had put out its duck curve. So those kind of
13 concerns were swirling around losing a huge base load,
14 having more renewable penetration. And then having these
15 resources that were not being asked to sort of perform in
16 the way that maybe some of the more conventional fleet had
17 been relied upon.

18 And lastly, you know, in this interest of looking
19 at -- especially on the energy efficiency side -- we also
20 had a letter from Senators Padilla and Fuller asking about
21 process alignment. Because as we planned for our new
22 future, we really needed as the agencies between the CEC,
23 CPUC and CAISO to be aligned in our assumptions, so that we
24 were planning collectively and correctly with sort of a
25 common vision and goal.

1 So that just gives you a context of the backdrop
2 of how this develops. Next slide, please.

3 So in creating this roadmap there were five main
4 goals. And a lot of what I just said before is sort of the
5 background context of why these goals were selected to be
6 what they are. As Rachel mentioned in our workshop on the
7 13th accompanying this very simple slide is a larger matrix
8 with each goal there were numerous activities under each
9 goal. So as part of that workshop, we did provide a
10 matrix for stakeholders showing how each agency addressed
11 the various activities under each goal.

12 But I'm just providing the summary here today.
13 And I wanted to hit the highlights. As Rachel mentioned,
14 some time has passed and I think the agencies have been
15 working collaboratively with a big concerted effort to make
16 sure that we have accomplished these goals and by and large
17 we have. But at the end of this, I will talk about, sort
18 of the evolution of what's coming up next, now that we've
19 gotten through these major goals.

20 So the first one, to ensure consistent
21 assumptions that really is talking to process alignment
22 that started off with energy efficiency. But that has
23 grown to look at not only energy efficiency, but demand
24 response, which encompasses this roadmap, but across all of
25 the demand side modifiers. So that's embedded today in our

1 process alignment agreement between the agencies that
2 occurs through the IEPR, and the CEC demand forecast is the
3 foundation of the LTPP at the CPUC and also the
4 transmission planning process at the CAISO. You know am I
5 -- later on we'll talk a little bit about potentially where
6 IRP is going, but at least for this roadmap that was
7 actually a great effort to get us all aligned and provide a
8 lot of clarity consistency across the agencies. So that
9 was extremely helpful.

10 The next one in terms of modifying the load shape
11 to reduce resource procurement, there you start seeing some
12 of the concerns that the renewable penetration was causing
13 the system. And there, there has been a lot of effort in
14 recent years, especially with the default time-of-use rates
15 for the IOUs coming up. There's a lot of discussion about
16 well what should those default time-of-use rates look like.
17 So there was a big collaborative effort between the CPUC
18 and the CAISO to make sure that the CAISO provided its
19 operational information into the CPUC Proceeding, so that
20 all parties would have that record.

21 There has also been a lot work on the CEC side in
22 getting the funding correct and looking at the duck curve.
23 And making sure that we understand things like over-
24 generation and our ramping concerns. So that effort has
25 been socialized through the agencies, through stakeholders.

1 It's kind of a well-known concern and there are a lot of
2 efforts being put towards resolving that.

3 The third goal is clarifying ISO needs for DR and
4 EE. And that has been a great evolution, because from DR
5 and EE that was a little bit of a step away from the
6 planning process. It's much more imbedded today. So for
7 example, the energy efficiency is foundational to the
8 transmission planning process. Demand response and working
9 very closely with the CPUC we do have the Bifurcation
10 Decision, so that more DR will become part of the ISO
11 market. So the deadline for that is 2018.

12 So we we've already seen a large amount of
13 megawatts in the CAISO market. It has helped us. Like for
14 example on the May 3rd event we did trigger our emergency
15 demand response and a hundreds of megawatts responded to
16 that. And so we're looking forward through the completion
17 of bifurcation when we get all of the IOU DR programs that
18 are meant for the supply side to be active in the CAISO
19 market.

20 So we feel like that's a huge progress that's
21 been made. We've also worked very closely, talking about
22 flexibility needs, so our initiative of FRACMOO as we call
23 it. And also recognizing flexible capacity at the CPUC,
24 that's been a huge collaborative effort to address those
25 ramping needs caused by renewable penetration.

1 On the fourth point, ensuring resources are
2 procured, that also has been very foundational for the IEPR
3 in terms of data collection. And we really need that
4 granularity, because as we do more granular planning, not
5 only at the ISO for our Transmission Plan, but as the PUC
6 has talked about their distribution planning, really
7 needing to understand where those resources are down to the
8 circuit level. That sort of data collection, understanding
9 where the energy efficiency is, down to the bus level, all
10 of that work that the CEC has been doing has been
11 incredibly useful to the CPUC and the ISO as well. So we
12 feel that that's a great collaborative effort between the
13 agencies to understand where the system is evolving to.

14 The last one, the goal is to increase DR program
15 and pilot participation. We've had a lot of piloting, but
16 I think maybe in addition to some of the piloting this is a
17 more technical goal. So we've simplified our metering and
18 telemetry requirements trying to understand sort of more
19 interesting use cases.

20 I would say the lion's share of it probably is
21 being dealt with in Goal 3, where we're putting more and
22 more of the DR into the market. But to the extent that
23 there are additional cases that we need to clarify, Goal
24 Number 5 has been useful in kind of testing out those use
25 cases. But I think an important one is ultimately working

1 with the PUC and the CEC on trying to get those rules
2 simplified. And as Rachel mentioned on the storage side,
3 the multi-use application is a great example of that.
4 Maybe not for DR and EE, but I think the lessons learned
5 from that storage proceeding could actually be expanded to
6 other resources.

7 So I'll close out with my last slide to talk a
8 little bit about next steps. So we want to continue to
9 collaborate. So there are many proceedings and avenues
10 where we can do that, but really we want to kind of think
11 about the next generation of demand response. So it maybe
12 to go to where Chair Weisenmiller's last question is,
13 "Where do we see the most important aspects of DR and EE?"

14 And I would say it's really, especially on the DR
15 side, is how do we operationalize that in the market? So
16 now we have DR participating in the CAISO market. We've
17 called it a few times, but can we keep relying on it over
18 and over again as we do with conventional resources?

19 And my second point is as we get more DR in the
20 system, it will replace conventional resources. So we want
21 to be able to rely on the demand response as well as we
22 rely on the conventional. So I think putting that on equal
23 footing of not just saying well, there's DR programs, but
24 really having that part and parcel of our planning regime
25 is going to be very important.

1 So the last part is going to be related to our
2 future grid needs, when we look at what we need for
3 flexibility, for ramping, where the Grid might go, more
4 distributed resources so that we'll have to have a stronger
5 relationship between the transmission and the distribution
6 side. I think that speaks very clearly for you know
7 increased collaboration with PUC and CEC in those regards.
8 So thank you.

9 CHAIRMAN WEISENMILLER: Yeah, so in terms of
10 following up for a second, I think -- remember back when
11 there was a FERC PUC or the FERC event on passing markets?
12 And I think the thing that got everyone's attention,
13 particularly the PUC commissioners, was looking at the PGM
14 DR, compared to the California DR.

15 And that got lost in some side tracks about how
16 much that was basically some sort of backup engine type of
17 thing, although I think the PGM market monitors said on
18 the record there was 70 percent of it wasn't that. But
19 again it just was really striking that while being a real
20 leader in demand response, say back in the first Brown
21 Administration, we weren't at this stage.

22 And there seemed to be very clear message from
23 the Commissioners that they really wanted to up the game.
24 I remember that one business meeting where the PUC
25 Commissioner was saying, "Wait a minute. You're talking

1 about a schedule here, which was longer than all of World
2 War II to get any action here."

3 And the questions is where are we, number-wise?
4 Are we really making progress? Again, it's great to be
5 having the conversations, but at the end of the day how do
6 we get more megawatts in the demand response programs and
7 being able to use those more frequently and not just those
8 old interruptible deals the PUC did, which basically you
9 never get interrupted, but you got a rate discount.

10 I mean again how -- where are we in making
11 progress here?

12 MS. HOU: Sure, so right now, so it is still more
13 focused on the CAISO side. In the CAISO market the DR is
14 still more focused on the reliability aspect of it, so
15 there's over 1,000 megawatts of the reliability demand
16 response. And that is based on a trigger when we need it
17 for an emergency purpose. But we are seeing increasing
18 megawatts, hundreds of megawatts on the economic demand
19 response. So I think that's going to be the DR that really
20 participates in the market, helps us reduce our demand
21 needs.

22 And we're hoping that through efforts like DRAM,
23 which is procuring a lot of this on the PUC side and then
24 offering that into the CAISO market, that's a good
25 relationship. So that we do see increasing penetrations of

1 that, but based on economics and it's not being held back
2 for reliability.

3 MR. CASEY: Chair Weisenmiller, if I might?

4 CHAIRMAN WEISENMILLER: Yes.

5 MR. CASEY: You know, I kind of -- your comments
6 resonated with me, because when I look at where we are at
7 with DR today it largely looks like the DR programs we had
8 20 years ago when the ISO started. There are some new
9 programs coming in and I certainly agree with Delphine,
10 we're integrating more of them into our market, and that's
11 a good thing.

12 But really that next generation that she's
13 talking about is demand response that we can call on every
14 day that is helping us with the integration needs on the
15 system, helping us with the duck curve. And that requires
16 a demand response that's seamless to the customer. It's
17 really leveraging the latent flexibility that large
18 consumers have or aggregations of consumers have.

19 And I've seen some very interesting applications
20 of that in Europe, where I think they're far more advanced.
21 It was like the Tesla DR in terms of the control systems
22 they put in large commercial industrial operations where
23 basically it's invisible to the customer, And they just
24 say, "I don't want you to impact my business. You figure
25 out what my latent capability is and you manage it. And if

1 you can reduce my energy costs, great."

2 So the technology, the capability exists there.
3 I think the frustration is California has not really
4 availed itself to really tap into that. And I'm not sure
5 what the answer is in terms of how we do, but it sounds
6 like Delphine has it.

7 MS. HOU: I don't have the answer to everything,
8 but I did want to add -- so Keith when you bring that up, I
9 do want to add that we are seeing more and more storage
10 resources participate as proxy demand response. So maybe a
11 storage resource would have that capability for daily
12 bidding into our market to provide demand-response there.
13 So that would be a way for consumers to take advantage of
14 that, but they don't necessarily see the impact of that on
15 their day-to-day operations.

16 CHAIRMAN WEISENMILLER: Again, and I know this is
17 something that Andrew's passionate about and will come up
18 with more in July, but the thing that really hit everyone
19 at that workshop was that here's PGM, it's 10,000
20 megawatts. The only difference is size, there is
21 California; 2,000 megawatts sort of where we have been
22 historically. And we weren't using that much. And we
23 weren't sure how much, if we asked anyone to do anything,
24 they'd actually do it. So we seem to have ramped up the
25 program, so we at least have some comfort that is there.

1 But trying to get to the -- ideally, as we have more and
2 more variable renewable resources, it would be good to have
3 more and more variable load to match that. So that gives
4 you a scale again.

5 If we can get to say 10,000 instead of a couple
6 of thousand, it's really a game changer for us. And again,
7 I think as we go forward, I think that's certainly where I
8 believe talking across with President Picker, Steve, I mean
9 that's where people want to get to is more that level as
10 opposed to the current couple thousand.

11 You know, I mean certainly the May 3rd event
12 should have been a wake-up call for all of us that as you
13 get into these evening hours and you have solar dropping
14 off fast and you have load going up fast, you could have
15 problems if anything trips off or doesn't show up. And at
16 that point, we would much rather have load that you have
17 set up to drop, as opposed to just dropping load because
18 you have to.

19 So again, I think there's been a consistent
20 message from all three agencies to the staffs is that
21 they've got to really start thinking outside the box to
22 move the needle there. And again, it's not just more of
23 the same, but how do we really take the quantum jump?

24 And I do agree it's very good that we've also,
25 having said that are moving away from saying, "Here's the

1 box storage. Here's the box demand response. Here's the
2 box energy efficiency." But looking at more combinations
3 of stuff. Yeah.

4 MR. BAKER: I certainly appreciate the comments
5 and I think the PUC is grappling with these same issues.
6 Just a couple of things, one is on the PGM versus
7 California and this question of how real is the demand
8 response and to what extent might fossil fuel backup
9 generation be contributing to that? And so the PUC took
10 some pretty major steps recently to implement a new
11 prohibited resources policy for demand response programs,
12 and implement a variety of detailed implementation rules to
13 enforce those as well.

14 So I think we'll be seeing to the extent that
15 there were any of those resources in our demand response,
16 going away. Delphine mentioned as well the demand response
17 auction mechanism, which is in some ways that's the PUC's
18 effort to try and jump start this effort towards
19 bifurcation in getting all of the demand response resources
20 bid into CAISO markets. And that's providing us a real
21 opportunity for learnings about how the operational impacts
22 work.

23 But to Keith's point we're well aware that
24 there's a need for this next generation of DR to be figured
25 out somehow. So that was one of the reasons why we did

1 this potential study with the Lawrence Berkeley National
2 Labs that some of you may be aware. And one of the
3 opportunities that they really identified is -- they call
4 it "shift DR". So in essence that's either through pricing
5 strategies or perhaps through wholesale markets, finding
6 ways for pre-cooling or other scheduling of manufacturing,
7 storage or course, to shift loads to address the duck
8 curve.

9 And for my part I think the real key top that is
10 as you said, Keith, is to make the DR basically invisible
11 to customers. And so how do we get DR built into buildings
12 and then aggregate it over large enough areas where very
13 small quantities of DR in buildings aggregated over large
14 areas have a big impact on the system, but have virtually
15 imperceptible impact to the customer? And I think that's
16 really this coordination with the Energy Commission in your
17 code process and some of the control strategies that you
18 guys now have coming into your Title 24 process.

19 I think there's a lot that we can continue to
20 collaborate on there to more effectively bring that to the
21 marketplace, ensure that that's actually getting deals out
22 there in the marketplace. And we'd be open to further
23 conversation about how the PUC can be helpful in that space
24 as well.

25 CHAIRMAN WEISENMILLER: I should (indiscernible)

1 there were rumors at the Clean Energy Ministerial in
2 Beijing. I was on a panel on basically digitalization and
3 the Internet of things and how that can effect energy
4 efficiency. And I guess in a way that's the next big
5 thing, or at least outside of the Trump sphere of the next
6 big thing in DC is that sort of chatter. And so certainly
7 there's a paper coming out from Amory's folks and the X.
8 MacKenzie (phonetic) guy in about two months that basically
9 is saying maybe 20 percent savings if you do a digital
10 connection.

11 I was sort of the skunk at the picnic since I was
12 raising the question if you put everything online all the
13 time, how much are you drawing in vampire load, which has
14 been certainly one of our concerns here. And again people
15 didn't want to think about that as much as the technology.
16 But again the technology option is coming there, which
17 could again enhance the demand response.

18 And people, having said that again echoing
19 Andrew's concern about how do we make all of our buildings
20 basically part of the solution by building in more
21 flexibility there? But again we can't just continue doing
22 more of what we're doing and somehow claim that demand
23 response is going to be the solution.

24 MS. BROOK: Right, so this is Martha Brook. I
25 have two things. One I wanted to respond to Simon and you

1 the Chair. Absolutely buildings need to be part of the
2 solution and part of the market. One of the issues we have
3 in the Building Code is you have to prove that any
4 investment in the building is cost effective. And so it's
5 sort of like the cart before the horse, in a way. It's
6 sort of like there has to be a market for us to be able to
7 say it's cost effective to add control functionality and
8 demand response functionality to buildings because that way
9 they can play in the market, right?

10 So it's almost like you can't, as a mandatory
11 Building Code, put assets into those buildings that may
12 become stranded because there's no persistent market. And
13 that's the issue we need to all work on together. It's how
14 do you have a sustainable persistent market and therefore
15 you can justify many more demand responsive technologies in
16 Building Code. So that's one thing I think we need to work
17 on together is how do we prove there's a market, so that we
18 can make that justification in the regulation for the
19 Building Code to add that functionality into buildings?

20 CHAIRMAN WEISENMILLER: I think the other thing
21 we need to do, which we talked about in the SONGS context,
22 but because of what I would say are jurisdictional issues
23 never happened is whenever we've done a solicitation for
24 something, be it generating resources, being it storage or
25 anything, I'm always amazed by the response, the price and

1 the quantity. And so in the SONGS context, the idea was
2 okay ISO, somebody just go out and just do an auction and
3 see how much demand response we can get.

4 And we still stay what's sort of our
5 characterized more utility-centric programs of doing it as
6 opposed to saying somebody, PUC, ISO, somebody just go out
7 and say here it is. How much demand response will you give
8 us and really harness that innovative capability in Silicon
9 Valley and elsewhere to see if that's part of the quantum
10 jump.

11 MR. BAKER: Yeah, and I think that's one of the
12 reasons why the Commission authorized the Demand Response
13 Auction Mechanism Pilot, which is a third-party demand
14 response program, on the hopes that the third-party
15 marketplace could perhaps help to grow the DR marketplace.
16 And so we've now authorized the third solicitation for the
17 2018 auction and -- was that a bird?

18 MS. BROOK: I thought I heard a bird. I thought
19 it was somebody's phone, but it might just be a -- yeah,
20 oh! (Laughter.)

21 MR. BAKER: And we will be evaluating that
22 program in 2019. And certainly the Commission has high
23 hopes for that.

24 CHAIRMAN WEISENMILLER: Great.

25 MS. BROOK: Can I ask one more question of staff?

1 So this is kind of in the weeds, but I went to the workshop
2 on the roadmaps. And having heard you again today, I'm
3 really curious about -- in my opinion, in order to scale
4 efficiency and demand resource as resources, we need to
5 tackle that measurement of savings issue.

6 And so I'm wondering, have you already solved
7 that? Is that getting solved in the proceeding or are we
8 also still working on it and we're just not talking about
9 it?

10 MS. HOU: I'm not going to be able to speak to
11 the measurement of savings, but for energy efficiency the
12 way the CAISO looks at it is that we have our agreement
13 between the Joint Agency Steering Committee to have a
14 certain amount of energy efficiency embedded in our
15 transmission planning. So we just assume it will be there,
16 so that's how we address it. I don't know if other folks
17 wanted to respond?

18 MS. BROOK: Yeah, I guess I was thinking about
19 when you said that one of your primary goals is to
20 operationalize efficiency in demand response, it seems to
21 me that you have to have the ability to measure it.

22 MS. HOU: Oh, I see.

23 MS. BROOK: And since we have AMI meters now and
24 we have very granular data, so you could do "before and
25 after" types of savings. Is that in your plans or do you

1 think you already have it figured out?

2 MS. HOU: So for energy efficiency, that's a good
3 clarification. Let me split the two. So for energy
4 efficiency, we just assume that as part of the demand
5 forecast that we receive through the IEPR process.

6 On the demand response side, because they
7 participate in our market, we do have measurements. So we
8 would give them an award and say, "We expect you to drop
9 load, five megawatts tomorrow." And then we can look to
10 see if they actually provided that response.

11 One of the things that we've been working on is
12 -- that sounds very simple, but one of the things that we
13 worked on are more collaborative discussions with the PUC
14 and with a lot of the DR providers -- in how to establish
15 baselines. What that looks like if you're establishing a
16 baseline for, let's say more traditional demand response,
17 like industrial load dropping or if you're a battery. And
18 actually that starts to flow into the multi-use application
19 discussion, because it will be a collaborative effort,
20 because the battery might be used for the wholesale market.
21 But it could be used elsewhere for, let's just say behind-
22 the-meter usage or maybe there's a distribution need. So
23 those are the things that we're trying to map out.

24 Today, the more simple answer is we provide a
25 schedule, we're expecting a certain amount of load drop,

1 and then we measure to see if that occurred.

2 MR. GRAVELY: Thank you, sir.

3 We'll go to the third panel. Noel, one second
4 we'll get your presentation up. Go ahead, Noel.

5 MR. CRISOSTOMO: Good morning, everyone. Thank
6 you for having me. My name is Noel Crisostomo. I'm an Air
7 Pollution Specialist in the Fuels and Transportation
8 Division of the California Energy Commission. And I'll be
9 providing an update to our progress on the Vehicle-Grid
10 Integration Roadmap.

11 For those of you who are unfamiliar with the
12 concept of vehicle-grid integration, it is the use of
13 vehicle and charging intelligence to control and reduce the
14 cost of electrification by doing smart charging and
15 eventually vehicle to grid. There are key aspects to
16 enabling the cost reductions.

17 First reducing the cost of customers to fuel
18 their electric vehicle; reducing the infrastructure demand
19 on the distribution system to minimize impacts; to improve
20 system visibility and to charging and mobility
21 requirements, so that we can absorb and dispatch vehicles
22 to absorb renewable energy. And again the ultimate goal of
23 this concept is to reduce the cost to customers and society
24 to accelerate the adoption of EVs using clean energy.

25 In the context of the VGI Roadmap, we started

1 this process through workshops among the three agencies:
2 the CEC, PUC and ISO, beginning in 2012. And it'll be
3 helpful for me to contextualize why we started this.

4 This was a response to the Governor's ZEV Action
5 Plan and his executive order requesting infrastructure to
6 support one million zero emission vehicles by the year
7 2020.

8 Back then, there were only a handful of vehicles
9 including the Chevy Volt and Nissan Leaf. Those only went
10 20 to 80 miles on electric-only range. And now we have
11 more than 30 coming now or in the next few years, which can
12 go up to over 200 miles and are much more affordable in the
13 mass market.

14 Furthermore, our charging networks were not as
15 diverse as they are today. And there was not a standard
16 for the American and European cars for DC fast charging at
17 that point, the combined charging system. Essentially, we
18 can charge seven times as fast as when we were planning for
19 VGI back then.

20 In addition, when we started the roadmapping
21 process there were limitations on the utility roles in
22 deployment to charging infrastructure. In 2014, the PUC
23 had removed a prohibition on the utility investment and
24 ownership of charging systems. And in 2016, the PUC
25 approved 12.5 thousand charging stations to be deployed

1 through the first phase of Y2D infrastructure programs. Of
2 course, charging infrastructure is a necessary component to
3 achieve grid integration and dispatchability of our
4 electric vehicles as storage devices.

5 In addition, in 2012 the EPIC Program was still
6 in process among both of the agencies. And EPIC and the DR
7 pilots that have now been concluding were critical elements
8 to inform our validation of the EVs as grid resources.

9 We now have more than a dozen key pilots that are
10 informing our use and technology designs in order to
11 incorporate this into both vehicles and charging systems
12 and upstream to the utility use and ISO.

13 Yet another key aspect that was not available and
14 was a key request in the roadmap was understanding the
15 value in markets for vehicle-grid integration and demand
16 response and smart charging. As Martha was saying, we need
17 both the cart and a horse to send a signal to automakers,
18 charging providers and everyone planning around those
19 loads, what is the economics that will drive investment and
20 planning in our devices.

21 So CAISO had not yet started the Metering and
22 Telemetry Initiative, or the DERP aggregation processes,
23 which are now completed and submitted through recent FERC
24 tariff approvals. In addition, the PUC had not yet started
25 its efforts in distribution resource planning, integrated

1 distributed energy resources, or most recently per SB 350,
2 the integrated resource planning process. So all of those
3 are complementary efforts that provide a market for the use
4 of EVs as grid resources.

5 And then finally, the policy developments
6 surrounding SB 350, and the April confirmation by the ARB
7 finding that the Advanced Clean Cars Mandate will continue
8 on its course. And beyond, in a 2025 and forward program,
9 is critical to showing that we will maintain our deployment
10 at increasing levels of electric vehicles and hydrogen fuel
11 cell vehicles to meet our climate and clean air goals.

12 And one thing was not included in the VGI
13 Roadmap, which primarily looks at light-duty vehicles, but
14 has increasing importance per some of our testimony during
15 the April workshop, was that medium and heavy vehicles are
16 viable today. And especially in the bus and short-haul
17 delivery use cases. Considering the potentially orders of
18 magnitude of greater load in order to serve the duty cycles
19 with those high-power uses and heavy-weight uses, that
20 improves the need to understand how to manage this
21 resource.

22 So how did we set forth on solving these
23 problems? The three agencies work together in a
24 collaborative process to address three major areas. First,
25 to determine the value and potential of grid integration by

1 examining use cases, the impacts to the electric grid, and
2 the market potential and finding those over time in order
3 for us to understand how to characterize the load.

4 Second, to develop enabling policies, regulations
5 and business processes, in order accommodate them through
6 rates or procurement programs or infrastructure deployment
7 and dispatchability into the markets, both utility side and
8 the ISO.

9 And then third, to support both Tracks 1 and 2
10 through developing the new technologies that are needed to
11 ensure interoperability, higher accuracy in measurement,
12 and improvement in the performance of these as actors in
13 our grid system.

14 I won't go into the detail that we previously
15 discussed during the June 13th workshop, but specific
16 activities and progress are outlined in the agenda over
17 four slides. So next slide, please.

18 Here I characterize party feedback from our
19 previous workshop, suggesting how we might continue on the
20 VGI Roadmap with timely progress, while also incorporating
21 all of the policy, technology and other learnings that has
22 happened in the past five years since we started this
23 effort.

24 The first point is to make sure that our rate of
25 vehicle adoption and charging infrastructure deployments

1 accelerate beyond current rates, in order for us to meet
2 our ZEV Mandate goals. We would have to increase the rate
3 of adoption several times over in order for us to meet
4 CARB's eventual midterm requirement of 4.2 million zero
5 emission vehicles by 2030. Right now, we are approaching
6 the 300,000th electric vehicle and so 13 years is not too
7 much time to bring that curve up. So we want to make sure
8 that our VGI efforts are complementary to that and do not
9 slow that down.

10 Second, we have to ensure customer simplicity, so
11 that we aren't confusing the customer when we serve dynamic
12 rates that might change on the hour or the day of, so that
13 they don't have a negative charging experience. We also
14 need to understand how third parties can work together with
15 utilities to bring these resources into the market to
16 potentially simplify this process for them.

17 Third, we have to use our data collected through
18 pilots and not only our data, but data through national
19 labs and the automakers and other jurisdictions throughout
20 the nation to inform our infrastructure deployments and
21 designs.

22 Fourth, an unanswered question that I'd alluded
23 to before is the need to understand and inform the value of
24 grid integration, so that automakers, charging providers
25 and utilities can design programs, products and equipment

1 and put them into service altogether. And actually code
2 design-integrated circuits and software systems to put
3 these all together.

4 Another point that was raised during the workshop
5 was the need to modify the Electric Utility Rule 21, which
6 regards interconnection of distributed generators onto the
7 distribution system. Right now, the Rule 21 requirements
8 are designed specifically for stationary devices. And of
9 course vehicles are not stationary devices, nor do they
10 usually get UL certification. But there are potentially
11 equivalent human safety and electrical protection
12 requirements that are designed through the automotive
13 regulatory and certification bodies.

14 This is needed in order for us to realize a
15 vision where vehicle to grid is possible, wherein some
16 research has shown that if vehicles are adopted at the
17 levels that CARB has outlined for us, in their highly
18 renewable penetrated world, vehicle to grid could replace
19 the need for stationary devices.

20 And lastly, a comment from Lawrence Livermore
21 National Lab highlighted the need for the VGI Roadmap to
22 address the potential internet protocol-based attacks on
23 electric vehicles and cyber-attacks from men in the middle
24 or external forces that are trying to control our loads and
25 hack the grid. So cyber security needs to be a future

1 addition into our progress on the roadmap.

2 So in response to these, and this is just a staff
3 proposal at this point, there is a need to update the VGI
4 Roadmap to accept and incorporate all of the progress that
5 we've made in the past five years. First, it should
6 reflect the new 2016 ZEV Action Plan and new laws under
7 transportation electrification for SB 350, which includes
8 markets and also the progress in market designs, utility
9 procurements and incentives.

10 Second, we have to synthesize our prior research
11 that has been completed through EPIC and other resources,
12 in order to coalesce the industry, so that we can scale.

13 Third, we have to align our updated charging
14 infrastructure demand modeling, which is a successor to the
15 NREL 2014 Report. It's called EVI-Pro. My Colleagues in
16 Fuels and Transport are working on that right now. And to
17 align it with our deployment strategy according to those
18 models.

19 Fourth, we have to consider the outputs of an
20 ongoing interagency VGI communications protocol working
21 group, which is trying to understand the ins and outs of
22 implementing different standards to ensure interoperability
23 for our systems.

24 And fourth, we'll need to coordinate with R&D
25 staff on a forthcoming technology roadmap related to

1 transportation.

2 To Chair Weisenmiller's request for three points
3 about the most important things that we have to address,
4 first is the need to establish interoperability, so that
5 our vehicle resources in any situation, can be certified as
6 a demand response or eventually storage device. This could
7 be detailed in at least three demands: seamless public
8 network interoperability; second, different charging
9 situations whether it be charging at home or at work or
10 fast or slow and then third, integration with larger home
11 and building energy management systems, so that they work
12 in concert as a suite of other building side or other loads
13 around it.

14 A second issue is again, value. Because
15 automakers, charging providers and utilities need to
16 develop business plans and programs in order to establish
17 what they have to build inside their charging
18 infrastructure and on board the car. This is a critical
19 element to achieve interoperability.

20 And then third, we have to synthesize our
21 technology plans in R&D with our deployment planning of
22 infrastructure. For example, we met with the ENERGY STAR
23 Program led by the federal EPA. They've recently certified
24 the first charging systems under the EVSE Certification for
25 ENERGY STAR, for reducing the vampire load and ensuring low

1 power while also allowing for optionality in DR and
2 communications connectivity requirements or voluntary
3 options for certification. So that is one potential way of
4 looking at how we coordinate both our technology design and
5 our broad deployment design.

6 Next slide, I guess is the conclusion. I look
7 forward to your questions and advancing the progress on our
8 roadmap.

9 CHAIRMAN WEISENMILLER: Great. No, I want to
10 thank you for that particularly for providing a lot of
11 leadership here. I think the challenge in part, I mean
12 beyond (indiscernible) is of the various roadmaps, this is
13 the oldest one and there's been a lot happening. And so as
14 we go through the updates, this one has to come together
15 with a lot of attention across the agencies to really move
16 this forward. And just having said that, I would point out
17 some different issues.

18 First, is one of the things that should really be
19 part of it is the Volkswagen settlement. As you know, the
20 last ZEV Action Plan sort of came out just before that was
21 put in place and how does that really affect the landscape
22 on stuff? On all or our programs it's just a lot of money.
23 It's hard to say our ARFVTP funding on some of the
24 chargers, it's like how does that fit -- I don't know --
25 with that settlement in place?

1 The other one is just to say we have two goals in
2 this area. One is greenhouse gas emissions. And generally
3 we're making a lot of progress on greenhouse gas emissions.
4 The 2015 numbers for power, you know again, we're well over
5 20 percent below the 1990 levels. Transportation is 40
6 percent and we're not making much progress there.

7 If you look at the other metric on reducing
8 petroleum by 50 percent, by 2030 we haven't touched that at
9 all. I think it's probably up in recent years, so this has
10 really got to ramp up a lot. And so I think this plan has
11 to really have that vision.

12 The two points I would make is one, we have this
13 challenge going forward, particularly on the VGI. I
14 remember we had a CC conference where it was probably one
15 of the few times you had the OEMs and the utilities in one
16 room. And the utilities were like, "Oh, these are the
17 various options you can do, so your charging. You can deal
18 with the cost if you do it at night, if you do it in duck
19 curve, you know and blah, blah, blah, blah, rate designs
20 are changing, blah, blah, blah blah."

21 And the OEMs were saying, "Oh, my god. You know,
22 our dealers have somebody come in and they say, 'Okay, do
23 you have the red Volt, versus the whatever?' Okay, these
24 are the three cars we want to sell you. We want to sell
25 the car pretty fast, so we can have it low in price.

1 So the notion that somehow we're going to say,
2 "Well, these are all the ways you control the costs of
3 charging. And if you're really smart," but we have to be
4 very careful because of the liability to say God knows what
5 the PUC's going to do on demand charges. And so this could
6 all be different. It's like there's got to be someone
7 there who just makes it easy. And not something that you
8 have to basically have you or someone from the PUC sitting
9 next to you as you're making your buying decision, right?

10 MR. CRISOSTOMO: I agree.

11 CHAIRMAN WEISENMILLER: And so on the one hand,
12 we want to integrate these resources into the mix, because
13 they're both on the charging or storage side, they're going
14 to be huge. But how do you do it in a way, which doesn't
15 just stall out the consumer acceptance? And that's a
16 challenge for you in the plan.

17 The other thing that sort of you need to think
18 about some is we're 40 percent of the U.S. market. And
19 you're talking about some of the things that are going on,
20 just standardized charging in the U.S., and some of those
21 basic issues.

22 You know, the Governor, Mary and I were in
23 Beijing. And part of President Xi's major initiatives is
24 the Blue Sky part. And if you've ever been in Beijing, you
25 know it's normally not blue skies. And so there's a real

1 push there to go to zero emission vehicles fast. You know,
2 basically at this point in tax season, Shanghai and
3 Beijing, they're going to be electric, period. Buses in
4 the cities, they're going to be electric buses. If you
5 want to buy a car in Beijing today, you can either buy an
6 electric car tomorrow or you can get in a lottery and
7 sometime in the next few years, you might be able to buy an
8 IC car.

9 So the basic question is how do you make sure, as
10 we're standardizing some of this equipment, we're
11 standardizing with the Chinese, who would love to mass
12 produce and just flood the markets at that scale. And so
13 that's something that certainly Mary came back very focused
14 on, on the China connection ZEV.

15 I was not as focused on that part of the Chinese
16 connection, but again I think you have to be thinking here
17 again, how do we use the Chinese push in this area to drive
18 the scale to reduce cost and really help us move the needle
19 here in this area? As you said, this has to -- our vision
20 on how we're going to get to 2030 in this area, again has
21 to be a quantum jump up from where we are now.

22 MR. CRISOSTOMO: Right, I can answer all
23 questions at once or --

24 (Off mic colloquy.)

25 MR. CRISOSTOMO: Sure. So agreed the Volkswagen

1 Settlement is a key complement to a number of other
2 programs, both internally at CEC with the ARFVTP and the
3 other incentives along the ARB and PUC efforts. So we are
4 in continuously engaging with interagency staff on planning
5 the different efforts to incentivize infrastructure
6 deployment.

7 You're absolutely right around the lack of
8 progress on the petroleum reduction goal. I would also
9 note the air quality mandates in the South Coast and San
10 Joaquin Valley requiring 80 percent reductions in NOx
11 emissions by 2023. So essentially our 2030 target has been
12 cut in half for those areas. And in order for us to
13 seamlessly have high deployments without confusing the
14 customer you are right around the need for a potentially
15 third intermediary between the end use customer and the
16 utility to supply rates.

17 The way that SDG&E had plans for that in their
18 Vehicle-To-Grid Integration Pilot now called "Power Your
19 Drive," in which they're serving an hourly CAISO rate to
20 individual customers that actually flexes on a day of,
21 based on forecast error -- and is differentiated to the
22 circuit level for an individual customer -- is by having
23 EVSP qualify to accept that rate, to simplify it in the
24 actual service that they're providing to the end user.

25 And then related to the U.S. market share,

1 California is the largest American segment. But agreed the
2 implication as I'm looking at China for VGI and California
3 is twofold: both the need for coordination among what is
4 being built across the United States and across Europe and
5 potentially Asia for standardization. And the potential
6 effect of the Chinese market to blow out the bottom of the
7 floor for the cost of batteries, similar as what they did
8 to the solar market in 2010-2011.

9 So that potential effect of non-linear increases
10 in the rate of vehicle adoption is a good hope. It's an
11 upside risk. But if we are not ready in our distribution
12 systems to accept the power that we are giving away for
13 free, or paying other people to take right now, we have to
14 make sure that our infrastructure is interoperable with
15 cars in a way that accepts all that power without confusing
16 the customer. At a rate much faster than we're expecting
17 right now, so yes I agree with all of your points.

18 CHAIRMAN WEISENMILLER: Again, GM sells more cars
19 globally in China than in the U.S. So again certainly
20 California is a big part of the market they have to deal
21 with in this area, but they've got to deal with China too.
22 That's the bottom line.

23 COMMISSIONER HOCHSCHILD: Do you have anything
24 further or can I jump in? Okay. Yeah, so first of all,
25 Noel, let me just thank you personally for your work and

1 your team's work on this issue. It's really welcome. And
2 you're experience at the PUC is really appreciated as well.

3 You know, if you go back and look, you made some
4 solar costs consultant to some wind costs. It's
5 interesting, almost every government agency from the
6 International Energy Agency to the Energy Information
7 Agency and others, when they were doing price predictions
8 over the last 10-15 years, they were off by an order of
9 magnitude. They failed to predict what actually happened
10 in the market.

11 And I actually think that we're -- I see a lot of
12 the same dynamics around lithium ion battery costs. It's
13 really important to calibrate to what's happening now.
14 Because you have all of these industries from laptop
15 computers to cell phones to EVs to home energy services,
16 all pulling on the same technology basically. And that I
17 think is a real advantage as we bring down costs. And my
18 visit to the Tesla battery factory, which as you know is
19 the second largest building in the world, that they're
20 building. I mean, that's how you get costs down. You get
21 the scale. So I personally believe we're going to see some
22 very similar dynamic to lithium ion as we saw with solar
23 and wind.

24 A question for you, if you look -- one of the
25 most interesting developments in renewables, which relates

1 to this -- is the ISO study that happened this past spring.
2 Of the 300 megawatts per solar project, where they're
3 basically looked at the services that could be provided to
4 the Grid, through these inverters of voltage regulation,
5 frequency regulation, regulator ramp up and really
6 highlights what we've been talking about for a long time.

7 We want to be installing smart solar and not dumb
8 solar, but the same things goes for EVs. And right now,
9 it's basically binary. You can set your charger or your
10 car to either turn off or turn on at particular times of
11 the day. But we don't, for example have, that I have seen
12 in any app is the ability to ramp up slowly. And I guess
13 my question is how much is that needed, possible, and if
14 you do it does it need to happen at the charger or in the
15 vehicle? Those kinds of features, because obviously we
16 want to -- It's a huge investment to get a 60 kilowatt
17 battery in all of these cars and the you want to be making
18 maximum use of that to support the Grid as Keith has talked
19 about.

20 MR. CRISOSTOMO: Yes, I'll take that in two
21 parts. First on the battery costs, and second on the value
22 of intelligence.

23 The possibility of battery costs dropping much
24 faster than we're expecting is absolutely right. That
25 caused me to take a full industry forecasting kind of meta-

1 comparison. I found even on the highest end the Norwegian
2 oil company Statoil has in their renewable case, which is
3 based on advanced clean energy and climate policy, an oil
4 company found that in 2030 60 percent of car sales could be
5 EV. That is much larger than any other forecast in the
6 industry. So I do believe that we would be ill prepared if
7 we're not thinking in those terms.

8 In regards to the potential for intelligence,
9 that is an ongoing discussion among the agencies and our
10 communications protocol working group. The need for "high-
11 level communications" between different entities in the
12 charging chain, going between the utility to BEMS or
13 Building Energy Management System, to the charger, to the
14 EV at the end point, the combination of who is involved and
15 what information is sent and where is an ongoing discussion
16 with industry.

17 So we have been competing with the utilities,
18 automakers, technology providers, charging network
19 aggregators and more, in an ongoing biweekly fashion.

20 MS. RAITT: So I'll just make a quick time check.
21 We are behind schedule if we want to...

22 MR. CASEY: Well, just quickly, so we can move
23 on. I think when you look at the challenge we have with
24 just meeting the EV adoption targets, that should be I
25 think from a GHG standpoint the first and utmost priority

1 of what does it take to incentivize we're in a different
2 world than China. We have to incentivize people to do
3 things.

4 CHAIRMAN WEISENMILLER: Mary took a lot of notes.

5 MR. CASEY: So and then to the extent we can make
6 progress on EV adoption, time-of-use rates would be huge.
7 You could, from a grid integration standpoint, if we can
8 get people incentivized to charge, workplace charging,
9 middle of the day charging instead of when they come home
10 at night, that would help hugely with the duck curve and
11 the integration challenge.

12 And then the nice to have is the dispatchability.
13 But as Noel highlighted, that's complicated. And you don't
14 want to have that nice to have ultimately be an impediment
15 to getting the first thing, which is the EV adoption.

16 So I think of it much like demand response that
17 there are a lot of people that are not going to be
18 interested in demand response. But time-of-use rates could
19 incentivize shifting in consumption. And I think we should
20 be thinking of EV vehicles in much the same way.

21 And maybe target for vehicle-to-grid integration
22 sophisticated operations. You know, major companies that
23 maybe have a lot of workplace charging that could avail
24 themselves to that kind of complexity or commercial
25 operations. You know, you mentioned commercial vehicles

1 eventually being electrified? So you'd get the biggest
2 bang for the buck going after those big operations. And
3 with consumers if we can at a minimum incentivize them
4 charging at the right time of the day, it would go a long
5 ways.

6 MR. CRISOSTOMO: Right, so I'd agree. We're
7 examining the costs of intelligence. And one of the
8 benefits that I've found is that the technology needed to
9 do the high-level communications and dispatchability is the
10 same technology that is needed to let you throw away your
11 deck of different network cards to authenticate charging
12 sessions. So there is a possibility of having your cake
13 and eating it too.

14 MR. BAKER: I had a few questions, but in the
15 interests of time, I think I'll hold them and just make a
16 couple of comments. One is that we discussed the updating
17 on the roadmap and a thought came to me that we have the
18 three agencies here, but there's also the transportation
19 planning agencies, which I think would be really important
20 to bring into that. Because there's a set of expertise
21 there that our agencies don't have. So I think outreach to
22 them next time this gets updated would be a good thing.

23 And then secondly on kind of going to scale you
24 made the comment, Chair Weisenmiller, about China. And I
25 think there's some opportunities as well here in the U.S.

1 to collaborate with other states. I know the PUC recently
2 signed an MOU with other Public Utility Commissions of
3 Washington and Oregon as well. We had an inter-staff
4 meeting recently. And one of the points of collaboration
5 that was discussed there was around electrification. So to
6 the extent that multiple states can be working together to
7 go to scale on these fronts, I think that can be helpful as
8 well.

9 MR. GRAVELY: Okay, thank you.

10 And I'll thank the panel here. And we'll go
11 ahead and have Simon and Gabe come up to the panel, for the
12 second panel.

13 MR. BAKER: I'm going to put on a different hat
14 and go sit over there.

15 MS. RAITT: So our second panel is on the CPUC
16 DER Action Plan Update. And Mike Gravely will also be the
17 moderator.

18 MR. GRAVELY: Well, as we make the transition,
19 last month, the PUC did approve in May this DER Action
20 Plan. So this panel will talk about both what's in the
21 Plan and the activities that are ongoing in the future.
22 Simon will be speaking first on that and we'll get the
23 presentation up.

24 MR. BAKER: Thank you, Mike. Next slide, please?
25 So just take the opportunity to provide a brief

1 introduction about the DER action plan. And then I'll
2 follow on into some status updates in the rates and
3 tariff's area, followed by Gabe's remarks on status updates
4 for the distribution, planning and interconnection and
5 procurement area. And then I understand there's going to be
6 a series of presentations, non-PUC presenters, about issues
7 related to the third area. The third track of activity,
8 which is wholesale market integration and interconnection.
9 Next slide.

10 So just a little background on the impetus for
11 this plan. Back in late 2015 and early 2016, the
12 Commission saw multiple fronts of activity ongoing at the
13 PUC and also in our coordination with the ISO on things
14 like storage and demand response and through the EPIC
15 investment plans with the CEC. And we saw a real need to
16 kind put everything into one document and provide an
17 overall vision for where the PUC saw these DER activities
18 headed, so that we could have a target to shoot for in
19 multiple proceedings working on these activities.

20 And so over a period of time, in collaboration,
21 that came together and it was endorsed by the Commission in
22 November of 2016. It's being administered through not a
23 formalized process of Commission adoption of the document,
24 because we recognize that the plan needs to be a living
25 document. And it's really being used more for coordination

1 purposes across proceedings. So the document sets a long-
2 term vision and then identifies where the supporting
3 policies are that can support that long-term vision,
4 identifies what gaps there and then sets forth a number of
5 priority actions. And then establishes a coordinating
6 framework across the implicated proceedings. Next slide,
7 please.

8 So as I mentioned there's a number of proceedings
9 that are implicated. The current count is about 15
10 different PUC proceedings. And it's a real test of your
11 knowledge of the California regulatory landscape to be able
12 to pronounce and let alone memorize what all of those
13 proceedings are. So we recognize that for stakeholders,
14 there's real value actually in pulling this altogether into
15 one document. Believe it or not I think it only hits like
16 10 or 11 pages.

17 And we also recognize there were a couple of key
18 CAISO stakeholder initiatives that were ongoing as well.
19 And so we did incorporate those.

20 An important point to emphasize here is that this
21 document is not a decision-making document, so it doesn't
22 determine outcomes. It sets an overall vision, but then
23 the individual proceedings are where the outcomes are
24 actually determined. But it does provide a platform for
25 common understanding and direction and it stimulates this

1 coordination across multiple proceedings. And how that's
2 really being done and implemented in practice is we have an
3 internal coordinating committee across various relevant
4 sections within the Energy Division and then also within an
5 ALJ Division management.

6 And as I'm sure folks are aware, we do have
7 Bagley-Keene and important state rules that we must abide
8 by. And so this is our way of effectively working within
9 state rules and yet getting to coordinated outcomes. Next
10 slide.

11 So there are 17 overall vision elements. And
12 35 action elements within the Plan. And they're grouped
13 into these three tracks, next slide.

14 The first track has to do with rates and tariffs.
15 And there's a vision element with regard to customer
16 choice. And this really gets at the need to have multiple
17 rate options available to customers to enable consumer
18 choice and then also ensure that there's the necessary
19 education for consumers, so that they're aware of the rate
20 options and can make informed decisions.

21 The second vision element has to do with ensuring
22 that rates are marginal-cost based. And to the extent
23 possible they're time variant. Again, with consumer
24 education the goal is to ensure that customers can benefit
25 on the rates that they are on.

1 The third vision element has to do with
2 innovation in this space. And it recognizes that with the
3 introduction of distributed energy resources, customers can
4 now get on more sophisticated rates, more complex rate
5 designs. And with these technologies they can benefit from
6 those rates, while also benefitting the Grid. And so it's
7 looking to create more flexible processes for innovation in
8 this space to come forward in the PUC's process.

9 And the fourth one here has to do with just
10 traditional rate-making principles of cost causation and
11 especially with the focus on how demand charges are
12 structured.

13 And then finally ensuring that rates remain
14 affordable for all, in particular non-participating
15 ratepayers. So this really gets at the issue of the
16 ratepayer impact measure test. Next slide.

17 In the second track, related to distribution
18 planning, infrastructure interconnection and procurement,
19 there's a vision element regarding transparent planning and
20 sourcing. And this is looking at how we can integrate
21 distributed energy resources into distribution grid
22 planning in particular. And then provide mechanisms by
23 which sourcing of DERs can be done to provide non-wires
24 alternatives, in that distribution space.

25 There's another vision element here with regard

1 to aligning utility incentives with DER growth and
2 recognizing that the utility's revenue model does depend
3 on, to a great extent, on the rate of return for capital
4 investments on traditional distribution infrastructure.

5 The third vision element here has to do with
6 leveling the playing field for all distributed energy
7 resources and breaking down silos. And encouraging
8 competitive markets of technology neutral strategies to
9 provide ratepayer benefits.

10 There's a vision and element here with regard to
11 valuation. And this is always really tough nut to crack.
12 The goal is to get the value right, when it comes to
13 distributed energy resources and that includes the
14 locational benefits, both in terms of the transmission and
15 distribution deferral value. But also in terms of the
16 long-term GHG value and the renewables integration value.
17 And those are all challenging components to analytically
18 get to quantitative methodologies to be able to reflect the
19 full value of these DERs on the Grid.

20 There's a vision element related to streamlined
21 interconnection. And there are a number of ongoing efforts
22 to further encourage streamlined interconnection.

23 There's a vision element related to the
24 incorporation of DERs into the Grid, to maximize ratepayer
25 value. This is really pursuant to The Distributed Resource

1 Plan process that was set out in AB 327. And it's
2 manifesting in multiple ways, but in particular with regard
3 to a proposal for a deferral framework, whereby the
4 utility's distribution planning process would be opened up
5 to a more formalized annual review process and then
6 identification of opportunities for candidate projects that
7 could be deferred through DER alternatives.

8 And then finally, a focus on data communications
9 and cyber security.

10 Track 3 is related to the wholesale DER
11 integration space and interconnection at the wholesale
12 level. And so we have a vision element here on encouraging
13 robust participation by DERs in wholesale markets. And
14 many of the activities that are ongoing with regards to
15 demand response and bidding those resources into CAISO
16 markets as well as storage fit within here.

17 There's a vision element related to multiple
18 revenue streams. And this gets right at one of the topics
19 that was discussed earlier, about multi-use applications
20 for storage and so forth.

21 We have a vision element related to the
22 interconnection rules and market rules supportive of
23 behind-the-meter distributed energy resources. And this
24 gets to some thorny issues in terms of where the FERC
25 jurisdictional WDAT fits in versus the Rule 21

1 interconnection rules. And whether and to what extent
2 behind-the-meter resources can play in wholesale markets.

3 The fourth has to do with electric vehicle user
4 behavior and being able to better predict those and then be
5 able to fit that into grid operations.

6 And then finally, there's a vision element
7 related to non-discriminatory market rules for electric
8 vehicles.

9 So that's what I had for the initial overview
10 here. I'd be happy to take any questions at this point
11 before I proceed into the status updates on the rates
12 track.

13 CHAIRMAN WEISENMILLER: Again, I'll just ask the
14 basic question of what would you consider the three most
15 important steps here?

16 MR. BAKER: Well, I would say that probably one
17 of the more important steps is this valuation work. And
18 that's work that I'm very familiar with. And it ties in
19 closely to the Commission's anticipated revisit of the Net
20 Energy Metering Rules currently scheduled for 2019. And so
21 the Commission, in its decision adopting the successor NEM
22 tariff, said that it would revisit Net Energy Metering
23 Rules in 2019. And that it would look to the Distributed
24 Resource Plan Proceeding in its process to determine what
25 the locational value of solar resources and other NEM

1 resources is to more fully flesh out the valuation
2 framework for determining NEM policy.

3 And so that work is ongoing in DRP, but it's not
4 easy work. And so we really need to keep a close focus and
5 make sure that's moving forward apace, so that we can
6 timely have that data available for the NEM review.

7 Another area that I think is really important is
8 non-residential rate design. And this ties in very closely
9 with some of the electric vehicle strategies and some of
10 the challenges in terms of ensuring that we get this
11 balance between the customer and the ratepayer interest, in
12 terms of how rate design is structured.

13 Current non-residential rate designs with
14 coincident demand charges can be prohibitively expensive
15 for electric vehicles. And utilities do have some pilots
16 to provide some exemptions and waivers to enable that. But
17 we still don't yet have a broad based policy framework for
18 rate design that addresses some of these issues related to
19 non-residential demand charges.

20 And then I would say the third area really has to
21 do with integration with the PUC's integrated resource
22 planning process and how that then ties back into the
23 linkages with the planning at the CAISO and at the CEC with
24 the IEPR process as well. So to the extent that the IRP
25 process, for example, through its optimization analysis

1 reveals perhaps some different pathways to achieve long-
2 term GHG goals at a lower cost that have implications for
3 current DER policies. How do those then get worked through
4 the DER proceedings in an effective way?

5 CHAIRMAN WEISENMILLER: (Indiscernible)

6 MR. BAKER: All right, so I'm going to just give
7 some brief updates on the first track in the DER Action
8 Plan related to rates and tariffs. And the first has to do
9 with work that we've done to look holistically at the time
10 of use periods.

11 There was an order instituting rulemaking, which
12 was established in 2015. And this was done in close
13 partnership with the CAISO. In fact, there was some work
14 that was done in partnership with the CEC as well in the
15 IEPR process to develop a joint agency report on time-of-
16 use periods. And within that some ideas surfaced, and some
17 analysis surfaced about appropriate rate designs to help to
18 absorb excess renewables during periods, during the
19 springtime for example. And also to look at shifting peak
20 periods later during the day to address the duck curve
21 issues.

22 And so the CAISO actually had a white paper that
23 informed initiation of this proceeding. And the PUC
24 ultimately adopted a decision in 2017 that provided some
25 policy guidelines for setting TOU periods within the GRC

1 Proceeding. So this was like an overall set of guidance,
2 so that in subsequent GRC filings, as the utilities brought
3 forward analysis and as the parties engaged, there could be
4 a consistent set of principles that were applied.

5 That included some grandfathering rules to be
6 cognizant of the consumer acceptance and consumer impacts
7 of having TOU periods being frequently updated. Striking
8 that right balance between knowing that there are changes
9 that are happening on the Grid, but you need to give the
10 customer some certainty in terms of what their rate design
11 is, especially when they're making DER investments.

12 And then guidelines -- yes?

13 MR. CASEY: Sorry to interrupt, on that TOU
14 period to align with the duck curve, when you see that
15 actually taking effect with the GRCs that get filed to you?
16 Because we're not seeing it today, correct?

17 MR. BAKER: Well, it's happening now. Yeah, when
18 I get to some of these other updates, I think you'll begin
19 to see that some of this is already starting to flow
20 through. Yeah.

21 Another piece of guidance was that the Commission
22 expected the utilities in their GRC filings to come forward
23 with a menu of TOU options. And so really looking for a
24 whole spectrum of TOU rate designs to be available to the
25 customer in terms of simplicity. In terms of the peak to

1 off peak price differential. In terms of the number of
2 seasons, including more complex rate designs that would
3 include things such as super off-peak time periods perhaps
4 in a fourth season, such as during the springtime. And so
5 we're starting to see some of that play through. And I'll
6 get to that in just a little bit.

7 The second ongoing activity has to do with the
8 push towards residential default time of use, which the
9 Commission set forth the vision in 2015 in its Rate Form
10 Decision. And we've made some accomplishments with regard
11 to implementing opt in TOU pilots that are ongoing now.
12 And will be continuing through the end of this year. We're
13 starting to get some data and we'll be getting more data as
14 that continues.

15 There are also default TOU pilots that have been
16 now approved or there's one pending approval before the
17 Commission. Those will be implemented in 2018 and this is
18 all part of our preparation to default residential
19 customers to time of use in 2019.

20 Within the general rate cases there's a series of
21 actions as well. And one significant development is the
22 San Diego GRC Phase II Proposed Decision, in which the
23 Commission or I should say the ALJ has proposed approving a
24 shift in the TOU period to 3:00 to 9:00 for all customer
25 rate classes. And so that's a significant step forward.

1 Previously there had been a decision, I believe
2 it was back in 2014, where one opt-in residential rate for
3 Southern California Edison was approved to go to a late-
4 shifted peak. I forget what it was exactly, 4:00 to 9:00,
5 maybe. And so this is a pretty significant step forward.

6 There's also major changes in this decision with
7 regard to demand charges. And the ALJ proposes to shift
8 towards less collection of demand charges through non-
9 coincident peak and more towards peak. So that with the
10 use of storage technologies and what have you, some of
11 those demand charges could be more avoidable with DERs.

12 And we now also have a pending GRC for Pacific
13 Gas & Electric, which has many of these same issues that
14 are now scoped. Next slide, please.

15 So there's a whole action set related to rate
16 designs to absorb renewables. And the first has to do with
17 these residential opt-in TOU pilots that I mentioned. And
18 within that process each of the utilities are testing three
19 different rate designs. And PG&E and Edison, their rate
20 three actually looks -- they're testing a rate design which
21 has a super off-peak rate.

22 And in Edison's case there's actually a pretty
23 steep peak to off-peak price differential there. So we'll
24 be learning a lot in terms of how the residential customer
25 base on an opt-in bases responds to those rates. And

1 that'll be really important, because we have a data gap
2 right now. Nationally, there's never been any studies on
3 what the demand elasticity is in shoulder seasons. And
4 also during some of these other hours that are going into
5 the evening hours as well.

6 As I mentioned, the San Diego GRC Phase II PD is
7 now before the Commission. And it does adopt, had adopted
8 a daytime super off-peak period during the weekdays from
9 March to April for the hours of 10:00 to 2:00. So that's
10 specifically targeting that period of time when there is
11 excess renewables on the Grid.

12 There's also a demand charge exemption wait
13 option, which is provided also during that same peak period
14 window as well. So that's trying to get some of the non-
15 residential customer base to be able to begin to take up
16 some of that excess renewables through some kind of load
17 shifting patterns.

18 There's -- did you have any follow-up questions
19 on that, Keith?

20 MR. CASEY: Are those San Diego rates? These are
21 opt-in rates as well or?

22 MR. BAKER: No. Those are --

23 MR. CASEY: These are default?

24 MR. BAKER: Yeah, those are across-the-board
25 changes.

1 All right. So moving on to the net energy
2 metering successor, there's an action to specifically be
3 implementing the Disadvantaged Community Alternative, which
4 is required pursuant to AB 327. And the record has now
5 been formed in that proceeding and the Commission is
6 turning toward issuing a proposed decision, probably
7 sometime this year.

8 And then finally, I mentioned earlier one of the
9 tougher and more important challenges is we call this
10 colloquially the NEM knot. But it's sort of like this
11 Gordian knot of how do you get the value right for NEM with
12 multiple different value streams? And there's a goal in
13 the Action Plan to ensure that the analytical support
14 activities are available by 2019 when the Commission
15 revisits NEM.

16 And that work is ongoing in the DRP, where the
17 locational net benefits analysis methods, which Gabe will
18 speak about next, are under development in that proceeding.

19 Any further questions?

20 MS. BROOK: This is Martha. I have just one,
21 maybe it's a weird question, but since that super off-peak
22 matinee price pilot or it's not a pilot. It's across the
23 board and it's only for two months. Is there a
24 commensurate like education and outreach part that the
25 utilities are mandated to do? Otherwise it's like people

1 are going to blink and that time period is over, right? So
2 how do you expect to change behavior for two months, I
3 guess is the biggest question?

4 And so is it just a rate and you've got to figure
5 it out for yourself? Or is this going to be a campaign
6 across the state or at least in Southern California that
7 helps people understand the value of that?

8 MR. BAKER: That's a really good question. Is
9 there a representative from San Diego Gas & Electric that
10 can speak to that? I personally don't know, but you make a
11 good point.

12 CHAIRMAN WEISENMILLER: I was going to say I'm
13 sure Martha can double check with their rep and maybe they
14 can submit something for the docket here on that question?

15 MR. PETLIN: All right. Well, good morning
16 Commissioners. I'm Gabe Petlin a Supervisor in Grid
17 Planning and Reliability at the Energy Division of the
18 CPUC. Thank you for the invitation to speak here today.

19 I'm going to cover the first three bullets in the
20 agenda are all under the Distribution Resource Planning
21 Proceeding. And the last bullet is the Smart Inverter
22 Implementation Update, so these are effectively two
23 presentations. In the interest of time I think I'll
24 emphasize on the Distribution Resource Planning
25 presentation. And if there's time, we can get into the

1 smart inverters unless you prefer a different order.

2 So what I'm going to present on is a vision and
3 overview and status of our CPUC Distribution Resource
4 Planning Proceeding as well as Smart Inverter
5 Implementation. Distribution Resource Planning is a very
6 exciting and potentially game-changing proceeding, which
7 brings new tools, analytic approaches and investment
8 frameworks into distribution resource planning to enhance
9 the role of distributed energy resources to provide both
10 important reliability and grid services, but also provide
11 ratepayer benefits. Next slide, please.

12 So the origins of the Distribution Resource
13 Planning Proceeding come from the landmark AB 327
14 legislation in 2013, which added several sections of code
15 to the PU Code. And these are paraphrased as first
16 defining distributed energy resources as energy efficiency,
17 demand response, renewable DG, storage and electric
18 vehicles. And directing the investor owned utilities to
19 file distribution resource planning proposals that would
20 identify optimal locations for deployment of DERs.

21 And that in reviewing and approving these plans,
22 the CPUC and the utilities should seek to minimize overall
23 system costs and maximize ratepayer benefits from
24 investments in both grid infrastructure as well as DERs.

25 And where the utilities propose any spending on

1 distribution infrastructure needed to accommodate higher
2 penetrations of DERs, we should be applying the test of
3 realizing net ratepayer benefits as well as just and
4 reasonable standards that we traditionally apply in the GRC
5 context. Next slide, please.

6 In addition to those statutory requirements,
7 President Picker, in his 2015 guidance ruling on the DRP
8 applications established effectively these vision elements
9 for the DRP proceeding that can be best summed up as
10 creating a plug-and-play distribution grid for distributed
11 energy resources. With these three goals of modernizing
12 the electric distribution system to accommodate two-way
13 flows of energy and enabling services throughout the IOU
14 networks.

15 But also enabling customer choice of new
16 technologies and services that both reduce emissions and
17 improve reliability in a cost-effective manner. And also
18 animating opportunities for distributed energy resources to
19 realize benefits through the provision of grid services.

20 Next slide.

21 So as the PUC set out to implement these new code
22 requirements we made the decision to structure these
23 requirements into two sister parallel proceedings, which
24 are very closely coordinated, but they are separate
25 dockets. And so one that I help oversee is the

1 Distribution of Resource Planning Proceeding. And other is
2 the Integrated Distributed Energy Resource Proceeding. And
3 so this slide attempts to help you understand how these two
4 sister proceedings are divvying up the goals of the DRP.

5 So the DRP is focused on evaluating locational
6 benefits and costs of DERs. And the IDR proceeding is
7 primarily concerned with the sourcing of DERs in those
8 optimal locations identified through the DRP. And so that
9 includes the development of standards, tariffs and
10 potentially new rates that address DERs and the incentives.
11 And so the DRPs also focused on reviewing utility spending
12 proposals necessary to integrate distributed energy
13 resources. So at a very high level, that's how the two
14 proceedings are working very closely together. Next slide,
15 please.

16 So how the DRP Proceeding is structured is in
17 three tracks. And I'm going to focus today a little bit on
18 Track 1 and Track 3. Track 1 is primarily concerned with
19 new tools, methodological issues including integration
20 capacity analysis and locational benefits analysis. And
21 Track 3 is primarily concerned with new policy issues and
22 process alignment issues, including growth and load
23 forecasting of DERs, grid modernization and distribution
24 investment deferral. Next slide, please.

25 So for all those issues I mentioned I'm going to

1 go into a little more detail now. So the first new key
2 analytic tool for the Distribution Resource Plan is
3 integration capacity analysis. What this is, is the
4 utilities implementing a method of calculating all
5 available circuit hosting capacity to accommodate
6 additional DRs without grid upgrades. And then publishing
7 these results in an online heat map and data base that is
8 regularly updated and publicly available.

9 And so the three primary use cases of this
10 integration capacity analysis is to help identify for DER
11 developers the grid locations where DERs can interconnect
12 without system upgrades. And then to help inform the PUC
13 to streamline, potentially even automate the Rule 21
14 interconnection process to make it more efficient. And
15 then to also continue inform annual distribution planning.

16 So for example if it identifies proactively where
17 grid upgrades are needed on a proactive basis to
18 accommodate expected autonomous DER growth, as opposed to
19 waiting the DERs to come apply through the Rule 21 process.

20 And the status is that we expect to have full
21 system roll-out of ICA by the second half of next year.
22 The utilities have implemented this on a pilot basis in two
23 distribution planning areas. And then by next year, it's
24 going to be fully rolled out. Next slide, please.

25 So the next major analytic tool in DRP is

1 Location Net Benefit Analysis, which is trying to determine
2 optimal locations for DER deployment based on the
3 opportunity for DERs to cost effectively defer or avoid
4 traditional distribution and transmission system
5 investments. So the results are going to be published,
6 again, in an online LNBA tool and circuit heat map of value
7 on the Grid of avoided cost. And inform candidate DER
8 deferral opportunities for competitive solicitation
9 processes, which are being first piloted in the IDR
10 Proceeding, but will then eventually become an annual
11 process through the DRP.

12 And it could also help inform some of the new
13 rates and tariffs and a future NEM 3.0 policy, as Simon
14 already mentioned in his presentation.

15 And the status here is we also are expecting a
16 full system rollout by the middle of next year. We also
17 did a pilot this with the utilities in two distribution
18 planning areas thus far. Next slide.

19 And finally, another important tool in the
20 Distribution Planning Proceeding is DER growth and load
21 forecasting. And this is not quite as new as the other
22 ones, because as the CEC is well aware, there is an annual
23 IEPR load and DER forecast on an annual basis. But the
24 challenge for the DRP is to take a statewide forecast and
25 disaggregate it down to a very granular level at the

1 distribution circuit level, so that we can better inform
2 distribution planning.

3 And this is a key input into the DRP, because
4 once we have a growth scenario forecasted, then this can
5 inform the integrated capacity analysis as well as LNBA
6 determination of optimal DR locations. And it can help
7 inform distribution deferral opportunities, so it really
8 requires some important process alignment between the IEPR,
9 between --

10 CHAIRMAN WEISENMILLER: I would just note that
11 President Picker asked me a couple of years ago that we
12 really do more disaggregation in the forecast, so it could
13 be the bases for your distribution planning. That's why
14 we've had this huge effort on disaggregating and more
15 granularity on demand forecast.

16 MR. PETLIN: Certainly, and then all the needs to
17 have this aligned between IOU methods IEPR methods, IRP as
18 well as LTTP. So next slide, please.

19 So some of the key agency alignment issues around
20 adoption of DRP growth scenarios is that, as I said DRPs
21 primarily concerned with how do you take a forecast and
22 disaggregate it down to the circuit level to inform
23 distribution planning? Each year there's going to be a
24 growth scenario adopted in the DRP to inform the annual
25 ongoing distribution planning and how do we best align the

1 timing of that?

2 So there are, for example, in the 2017 proposed
3 growth scenario by the utilities, some differences. These
4 are 2017 --

5 CHAIRMAN WEISENMILLER: But I think President
6 Picker wants the utilities to use the Energy Commission's
7 adopted forecast as does the Legislature, so keep that in
8 mind.

9 MR. PETLIN: We certainly will. What I'm trying
10 illuminate here is that we're encountering timing
11 challenges, where information could be --

12 CHAIRMAN WEISENMILLER: We're having enormous
13 challenges disaggregating, frankly. So when you get to the
14 -- we've always done some degree of disaggregation, but the
15 question is how do you make that public and transparent and
16 which needs data?

17 MR. PETLIN: Right.

18 CHAIRMAN WEISENMILLER: So I'm just saying you do
19 not want to go to the Legislature and explain why you're
20 using a different forecast than we are, that we've adopted.

21 MR. PETLIN: Yes, so we're encountering some
22 challenges in the timing difference between when an IEPR
23 forecast is available and when it actually gets put into
24 place to inform actual investments on the ground. And
25 while we would like to align with the IEPR forecast, that's

1 our intent, the question is how to do that and still have
2 accurate forecasts of distribution planning.

3 CHAIRMAN WEISENMILLER: Thank you. And I've
4 certainly talked to President Picker about that a lot. I'm
5 sure we'll continue to talk and I'm sure we will stay
6 consistent. And there are times that you would have to
7 deal with the realities of what is a reasonable forecast
8 and how to develop a new transparent process, as opposed to
9 what's the latest one that someone pops out.

10 MR. PETLIN: Thank you. Next slide please.

11 So just to give you an idea of a timeline of DRP
12 growth scenario development in June, in fact yesterday the
13 utilities filed their updated assumption and framework
14 documents proposing their growth scenario methodology for
15 the 2018. This would be -- it's a 2017 growth scenario
16 that informs the 2017-2018 planning cycle.

17 So there's a July comment period, a key
18 opportunity for agency input on alignment, and then
19 expected ruling later in July. And then that will cover
20 the 2017 growth scenario.

21 The 2018 growth scenario will be worked out in a
22 decision later in this year. And again, it will be a key
23 input opportunity when that process kicks off in the fall.

24 But the idea is that the IOUs will produce growth
25 scenarios each year based on the guidance. And that will

1 inform the distribution planning on an ongoing basis. And
2 the goal is to have this as aligned as possible with all
3 the different state agency planning processes underway.
4 Next slide.

5 So another key output of the distribution
6 resource planning process is distribution investment
7 deferral. So this is really one of the most important
8 elements of DRP, is where the value comes of identifying
9 candidate-planned distribution investments. And deferring
10 them through non-wires alternatives through sourcing of
11 DERs that meet the same reliability and grid needs at a
12 lower cost. And this is a -- we expect a staff proposal
13 any day now to come out on this. And the first year this
14 is being piloted in the IDR Proceeding and we expect a
15 solicitation process this fall for the first group of
16 deferral candidate projects, but by next year we expect
17 this to be an ongoing and regular process that will occur
18 every year. Next slide, please.

19 So some of the key elements of the distribution
20 deferral framework are envisioned as an annual grid needs
21 assessment that the IOUs will produce. A stakeholder
22 process that we're proposing as the Distribution Planning
23 Advisory Group to help vet the candidate deferral
24 opportunities. And then a competitive solicitation that
25 will result in procurement of DERs. Next slide, please.

1 And then finally, one of our last frameworks,
2 from our longer-term framework is grid modernization
3 investment. As we move toward a higher penetration world
4 of DERs, the need for new advanced technology to help
5 manage the Grid and to help integrate the resources to help
6 with sensing management, switching. It requires a new set
7 of technologies that haven't traditionally been deployed,
8 but also raises new questions about the appropriate cost
9 and reasonableness of these technologies.

10 And so what we're doing in this track is
11 developing some model guidance to help inform the GRC
12 process, where rate funding gets approved. So that that
13 process can have a much better basis on which to evaluate
14 these proposals for new investments and new technologies.
15 We want to avoid the possibility of what we call gold-
16 plating the grid, over investing in technologies that are
17 not needed, but at the same time make sure we understand
18 what's really going to produce value for ratepayers, in
19 terms of new technologies.

20 So we have already issued a staff proposal on
21 grid modernization and the comment period is underway. So
22 you can expect by the fourth quarter of this year a
23 decision from the PUC adopting hopefully some guidance
24 around grid modernization in the DRP. Next slide, please.

25 So I won't read you the candidate. This is just

1 a draft definition of grid modernization from our paper,
2 because it could be revised through the comment process,
3 but just to give you an idea that it's there. It's
4 primarily about which parts of these concentric circles are
5 we talking about? Are we talking about primarily
6 technologies that enable DER-related investments, or are we
7 talking about traditional safety and reliability. And then
8 the overlap where you achieve all three of those goals.
9 Next slide, please.

10 So that's the end of the DRP portion of the
11 presentation. I do have some slides on the Smart Inverter
12 Implementation Plan and I'm happy to continue or save it
13 for after lunch or if we're just short on time.

14 CHAIRMAN WEISENMILLER: So if I were to give you
15 five minutes, could you cover it?

16 MR. PETLIN: Yeah, I could condense.

17 CHAIRMAN WEISENMILLER: Then why don't you do
18 that? Yeah.

19 MR. PETLIN: Okay.

20 CHAIRMAN WEISENMILLER: We're going to squeeze
21 the lunch a little bit to get back on schedule.

22 MR. PETLIN: Okay. So as part of the Rule 21
23 Interconnection Docket, we have a track to develop
24 technical standards for implementing smart inverter
25 capabilities into the interconnection process. Next slide,

1 please.

2 So just at a very high level, a smart inverter,
3 what is it trying to solve? It helps to mitigate many of
4 the traditional concerns associated with variable DER
5 generation, enables greater penetration of DERs and
6 enhances DER value by enabling grid services. Next slide,
7 please.

8 And a smart inverter does more than what a
9 traditional inverter does, which is to convert DC to AC
10 power by enabling autonomous response to grid conditions,
11 bidirectional communication for monitoring and control, and
12 advanced functionality for DER dispatch. Next slide,
13 please.

14 So I think I've mentioned these benefits. What I
15 wanted to go to the next slide is to give you an idea of
16 the implementation plan, so next slide.

17 So here, you can see how the smart inverter work
18 is organized around three phases of functionality. And
19 this has been a lot of coordination with the CEC and thanks
20 for your support. We've had a technical consultant who's
21 been very instrumental in helping to facilitate a technical
22 working group that's been working for years to develop
23 these standards.

24 So in Phase 1, what we call autonomous functions,
25 these are functions that will be always on not and subject

1 to control. They will just simply improve the function of
2 DERs on the Grid and they are actually going to be
3 mandatory as of September this year. Any new DER getting
4 permission to operate on the Grid, interconnecting through
5 Rule 21 will be required to have a certified smart inverter
6 with the autonomous function capability.

7 The next phase is the advanced communications to
8 enable more advanced functionality. And we expect that
9 this will become required. It'll be either the later of
10 March 2018, or nine months following a test standard. So
11 the working group has developed this recommendation and it
12 has been adopted into Rule 21.

13 And then we're several weeks away. Later this
14 summer, we expect to see the investor owned utilities file
15 their proposed tariff revisions for the advanced functions,
16 which are really the ones that involve two-way
17 communication and different control settings. And can be
18 more responsive to grid conditions. And we expect a
19 similar late 2019 at the latest, functionality of those
20 standards, also tied to a certification standard and very
21 much coordinated with IEEE standards on smart inverters.

22 So there's a lot more slides I could cover, but I
23 think that kind of gives you a very quick overview of where
24 we are.

25 CHAIRMAN WEISENMILLER: Yeah, that's good, so one

1 comment and one question. So back when you talked about
2 basically advanced technologies for the Grid, it would be
3 useful to get your needs into the Microgrid Roadmap
4 development and also the summer research planning.

5 And the other thing I wanted to say on the
6 inverters, do the requirements for smarter inverters apply
7 for replacement inverters of someone who's been
8 interconnected before?

9 MR. PETLIN: Yeah, that's a great question.
10 We're currently looking at that right now. I don't have
11 the outcome, but we are looking at what we're calling end-
12 of-life inverters.

13 So for example, some inverters are under warranty
14 and so the supplier may not be required to go to a smart
15 inverter. But if it is at the end of life, that's another
16 question and so we're looking at that right now. I expect
17 that we would be trying to get some relatively quick
18 decision on that pretty soon, because we don't want to lose
19 the opportunity to upgrade to smart inverters where
20 traditional inverters are failing or just being replaced.
21 But we're actively looking at that right now.

22 CHAIRMAN WEISENMILLER: Yeah, and that's
23 important right now. I've talked to different solar
24 companies who have said that they -- in other states they
25 use smart all the time. In California, where it wasn't

1 that they're doing a replacement it's not necessarily
2 smart. So unless you require it, you're probably not going
3 to get it.

4 MR. PETLIN: Yeah. I agree that that's
5 definitely an opportunity that we should try to make sure
6 we don't miss.

7 CHAIRMAN WEISENMILLER: Great, okay. All right,
8 so thank you.

9 So let's do lunch. Let's get back by 1:00

10 (Off the record at 12:09 p.m.)

11 (On the record at 1:06 p.m.)

12 MS. RAITT: We'll resume our workshop on
13 Integrated Distributed Energy Resources, integrating them
14 into the California Grid. And so our panel is on
15 Transmission and Distribution DER Activities and Tom Flynn
16 from the Energy Commission is the moderator.

17 MR. FLYNN: Thank you, Heather.

18 Good afternoon, Chairman Weisenmiller and others
19 on the dais. I'm Tom Flynn, a Senior Electrical Engineer
20 in the CEC's Transmission Planning and Corridor Designation
21 Office. Given that DERs or DER in general uses both the
22 transmission and distribution systems, this next panel is
23 going take a look at DER from that perspective, from the
24 perspective of the transmission and distribution systems.

25 This panel will discuss the challenges as well as

1 the opportunities that DER presents to transmission and
2 distribution operations and planning. Our first panel
3 member is Delphine Hou. She's a Manager of State
4 Regulatory Relations at the CAISO. She's going to discuss
5 DER in the wholesale market, what the ISO has accomplished
6 thus far to facilitate the participation of DER in the
7 wholesale and what work remains and what the next steps are
8 on that going forward.

9 Our second panelist is Mark Esguerra. He's a
10 Director of Integrated Grid Planning, Grid Integration and
11 Innovation at PG&E. And I think he's also, and you can
12 correct me if I'm wrong, here on behalf of More Than Smart
13 as well to present some very interesting work that More
14 Than Smart has been doing in the area of real-time
15 operations. And discuss how the desire of DER to maximize
16 the use of their assets is driving operational challenges
17 on both the distribution system and the transmission
18 systems. And is exposing the need for coordination,
19 operational coordination between those two systems. And
20 I'll add that that's coordination that up to this point
21 hasn't needed to exist. And didn't exist and has been
22 identified as something that needs to be established and
23 put into place.

24 And our third panelist is Jeff Billinton. He's
25 the manager of Regional Transmission North at the CAISO.

1 And Jeff's going to focus on transmission planning and
2 discuss both the challenges and opportunities that DER
3 presents for both transmission reliability concerns and
4 future transmission needs.

5 So Delphine, you can begin.

6 MS. HOU: Thank you, Tom. I'm back. Don't
7 worry, I don't have another presentation after this. I'm
8 here to present the models that exist in the California ISO
9 as of today. And I want to talk a little bit more about
10 how even that has evolved.

11 So the earlier models are focused on demand
12 response and that's our proxy demand response as well as
13 our reliability demand response resources. I think I
14 mentioned in my earlier presentation this morning, is the
15 vast majority of the megawatts that we have in the ISO
16 market today are the reliability and they're triggered on a
17 warning.

18 So that's about 1,300 megawatts in our market,
19 but what we're seeing is that a growing number of
20 megawatts, especially coming through the CPUC's demand
21 response auction mechanism is going to be focused in the
22 proxy demand response bucket. And so today I think the
23 most recent numbers I have is just shy of 200 megawatts,
24 but we do expect those to grow.

25 Our third model is the non-generator resource

1 model. And that one we developed more specifically for
2 storage resources, because of its unique capability to
3 charge and discharge, so consume and produce energy. So we
4 wanted to have a different model to represent their
5 capabilities and we continue to refine those.

6 And you can imagine that that's the kind of model
7 that could be a good fit, not only for large stationary
8 storage, but as Noel was talking about maybe in the future
9 looking at vehicle-to-grid integration maybe there is some
10 scope there for that usage.

11 And the very last model is our DER, the
12 Distributed Energy Resource Provider. So that is actually
13 a great model to end on, because as you look at these
14 models it really shows you the evolution of CAISO's
15 thinking as we work with stakeholders. So we started off
16 with a sort of you have DR, we will create a model for
17 demand response. But now I think we've evolved to a point
18 where we're saying, well now you can have an aggregation of
19 different kinds of distributed energy resources.

20 Within that aggregation you could have solar
21 panels, you could have storage, you could have a number of
22 things in there. And that actually provides from the
23 feedback we've gotten, a lot more flexibility to
24 stakeholders in order to be more creative and provide
25 services rather than being pegged to necessarily being

1 labeled as this resource is a DR provider. Therefore it
2 needs to use the DR model.

3 But after even creating the DER provider we're
4 still finding even more ways in which our older models are
5 still evolving. So as I mentioned earlier this morning,
6 there's a significant amount of interest from storage
7 providers to become proxy demand resources. And we think
8 that's very interesting as well, so if they're able to use
9 that model effectively then that is an avenue for them to
10 pursue. Or they can be NGR or they can be part of a DER
11 provider.

12 So let me talk a little bit more about the DER
13 provider in the context of being the first ISO in the
14 nation to really have this structure, to really recognize
15 that if DERs participate it will be an aggregation of
16 probably different kinds of resources. And so right now we
17 have the tariff process already approved, as Noel mentioned
18 earlier this morning. And we have I think at least four
19 aggregators that are interested in applying for this, but
20 also this model requires a relationship with the
21 distribution utility as well.

22 So I think that's another part of the discussion
23 and as I move into the initiatives I want to talk about, I
24 wanted to also relate back to the work that we're doing
25 with the PUC in terms of working out a lot of the

1 regulatory questions, potential barriers that both agencies
2 can work together to sort out. So let me move on to the
3 next slide.

4 So the way CAISO approaches a lot of these models
5 is through a stakeholder initiative. So we get the
6 stakeholders together to talk about what is needed in terms
7 of market design changes and improvements. So we've had a
8 series of stakeholder initiatives, which are not listed
9 here. But they're more technical and they were sort of the
10 simplification of metering and telemetry requirements that
11 actually were part of the DR and the Energy Efficiency
12 Roadmap.

13 So now that that sort of groundwork has been done
14 in terms of simplifying ways for smaller resources to
15 participate in the market, both of these initiatives -- the
16 Energy Storage and DER initiatives Phase 1 and 2 and every
17 soon Phase 3, is sort of the evolution of that. So now
18 we've come to a point where we have some basic groundwork
19 laid out, but we want to think about well what's the next
20 step in removing barriers for DER participation?

21 So I won't go through every sub-bullet. But
22 you'll see the sub-bullets listed there is a mix of
23 technical as well as sort of higher level regulatory or
24 market design changes. So I'll give you an example,
25 enhancement's the non-generator resource model. There we

1 found sort of a very technical issue that we needed to
2 attract the state of charge of batteries. So that was a
3 very technical fix that stakeholders really rallied around
4 and said that would be a great improvement for our
5 resources to operate in the market.

6 On the other hand, the last sub-bullet point
7 under Phase 1 is clarification to rules for non-RA
8 multiple-use applications. There you get into a lot more
9 complicated discussion about how agencies work together,
10 what does it mean to be resource adequacy? And that
11 actually was a springboard for us to start discussing the
12 multiple-use applications that Rachel talked about in the
13 storage proceeding. So you can see that from these
14 initiatives it is very much based on stakeholders coming
15 together. They rank priorities, but also it's a compromise
16 of looking at the industry and what are the low-hanging
17 fruit issues we can address immediately. But what are the
18 bigger picture issues that we really need to start rallying
19 around and discussing?

20 And so out of the first phase of ESDER is where
21 we started coordinating with the PUC to talk about well
22 what are the multiple-use applications? So just as a
23 footnote, when Rachel talks about the multiple-use
24 applications in the storage proceeding at the PUC the
25 companion at the ISO is ESDER. So that's where we've been

1 housing that discussion.

2 So we moved on to Phase 2, so what we like to do
3 is if we get a suite of market-design changes or fixes that
4 we think are good to go we can take that to our Board of
5 Governors and take that to FERC. We want to close that out
6 and move those along, so we've opened up a second phase,
7 which we're at the end of that we will close out very soon.
8 A big issue under Phase 2 is sort of the more engaged
9 effort on multiple-use applications. There wasn't a lot
10 for the CAISO to enact on that, but there was a lot of
11 discussion at the PUC. So we're looking forward to the
12 Storage Proceeding decision that comes out of that
13 proceeding.

14 But here again, it's a combination of technical
15 changes that the stakeholders can rally around. But also
16 longer term discussions about how we want our models or how
17 we want the markets and the regulatory rules to evolve in
18 order to accommodate and remove barriers for the DERs.

19 With that I'll close.

20 MR. FLYNN: Any questions for Delphine?

21 (No audible response.)

22 Okay. Next up is Mark Esguerra from PG&E who's
23 going to talk about the need for operational coordination
24 at the transmission distribution interface.

25 MR. ESGUERRA: Thank you, Tom. And thank you

1 Delphine, and good afternoon.

2 So what I'm going to go over is work that was
3 performed with More Than Smart, the California ISO and the
4 three utilities in California. And essentially, we've put
5 together some work in terms and summarize it in the form of
6 a white paper, a coordination of transmission and
7 distribution operations in a high electric resource grid.
8 Next slide.

9 And so when we start to think about this space,
10 we did want to provide some context. And so a lot of folks
11 here are familiar with the changing power mix in
12 California. What we're seeing with potentially moving to a
13 higher penetration of DER market is potentially less
14 reliance on this utility scale generation. And an
15 increased reliance on distributed energy resources.

16 This shows up in many of the different
17 proceedings that are going on at the PUC. We heard a
18 little update on smart inverters and a lot of the
19 functionality that's being proposed and be implemented
20 would be to help provide more support on to the Grid.

21 There's also the look for additional electric
22 vehicles and so more adoption in the Grid is becoming more
23 decentralized. And what we're seeing here is there's a lot
24 of opportunity for DER owners that are interested in
25 maximizing a lot of these opportunities in terms of

1 providing multiple services to multiple entities in the
2 ISO, the distribution companies, as well as the end-use
3 customers. Next slide.

4 And so Delphine touched on some of this here and
5 I'll touch a little more, because it comes into play in my
6 conversation here about this. But there's a lot of efforts
7 going on in terms of lowering barriers for DERs. At the
8 PUC there's initiatives on developing non-wires
9 alternatives. And the process for that as well as the
10 multiple-use applications as Delphine touched on earlier.

11 And with the ISO there's a lot of work going on
12 in terms of distributed energy resources, particularly the
13 DER provider tariff. There was work performed where the
14 ISO worked with stakeholders to develop this platform. In
15 March of last year, they filed a tariff with FERC,
16 essentially identifying that there's an opportunity for
17 aggregations of half a megawatt or greater to participate
18 in the ISO's energy and ancillary services market. FERC
19 approved the platform in June of 2016. Next slide.

20 And so when the utilities got together working
21 with More Than Smart and the ISO, we started discussing
22 what are some of the operational challenges that we would
23 face under this high DER penetration world, particularly
24 these DERs providing services to the ISO market. And so
25 currently, what we're seeing is a lot of these dispatches

1 that the ISO would be looking towards for DERs, they would
2 not necessarily would know the impact or if they were
3 feasible on the distribution system. And currently, there
4 isn't very robust methods of forecasting how these DERs are
5 actually going to impact the net load at particularly what
6 we're defining is at the transmission and distribution
7 interface.

8 The other operational item that the distribution
9 companies are pointing out is that in terms of the
10 visibility and control and situation awareness of a lot of
11 these DERs that are behind-the-meter, we don't have the
12 same level as the ISO does on transmission-connected
13 generators. And so what we're finding is that as
14 penetration increases and as participation in these markets
15 increase, that the challenges will only increase. And so
16 we're finding out there's more need for a coordination at
17 the transmission and distribution interface. Next slide.

18 And so when we look at this here, DERs, they use
19 both the T-D systems. And specifically, they're using both
20 the transmission and distributions systems if they're
21 participating in the ISO market, or they're operating
22 autonomously and making sales to the end user or providing
23 services to the distribution company. But it's important
24 to point out, and this white paper gets into, that there
25 are differences on the transmission and distribution grid.

1 They're designed differently. They actually serve
2 different functions.

3 And what we're defining here for the parties to
4 review is that the T-D interfaces we're defining as the
5 substations that connect transmission and distribution
6 where historically, power typically flowed from one
7 direction from transmission down to the end users. And
8 when we're seeing higher months of penetration,
9 particularly with these DERs responding to signals, you can
10 start to see the power flow in different direction, which
11 will cause challenges for operating and planning. Next
12 slide.

13 And so this slide here is just to kind of discuss
14 and provide a picture of what a local transmission system
15 will look like. And essentially the familiarity with this
16 is that the transmission systems are designed as a more of
17 a mesh network to transmit bulk power from generation to
18 distribution substations, typically from cities to
19 counties, counties to counties, and vice versa here. Next
20 slide.

21 When you layer on the distribution system with
22 the complexity you can see that there's a lot more going on
23 underneath that transmission system. Although the
24 distribution system is radial in nature, there's a lot of
25 distribution equipment out in the field. And it requires

1 different levels of review when you do the planning,
2 different granular levels of review. You know, not just
3 what's going on at the substation, what's going on at the
4 head of the feeder, but there's different connections,
5 different tap lines that can feed customers. And DERs can
6 cause different types of behavior on there and so how do
7 you capture that when you start thinking about these
8 opportunities for DERs? Next slide.

9 And so what the paper gets into, it talks about
10 some of the situations that the utilities need to think
11 more about as well as others, more to educate folks. And
12 the differences between T-D in terms of the availability,
13 so there's the distribution system tends to experience more
14 outages. It has a lot more exposure to these outages. As
15 we mentioned they are radial in design, however when you
16 really look at the distribution system they have many
17 connections to other feeders. And so although it's radial
18 in nature there could be different types of combinations of
19 switching that can change the topology of the distribution
20 circuit.

21 And these outages will create what we'll call an
22 abnormal configuration and these abnormal configurations,
23 depending on DERs and how they're connected, if they're
24 aggregated could create different constraints on the
25 distribution side, which could affect the DERs ability to

1 participate in the ISO's market. Next slide.

2 The other item here, and I think we've heard some
3 of it, is forecasting. You know, forecasting more from the
4 short-term perspective and the impact that these DERs on
5 gross and net load. And so the ISO and the distribution
6 companies, we need accurate short-term forecast to better
7 operate reliably and for the ISO to be able to run the
8 real-time wholesale market. Most of the DERs today behind-
9 the-meter do not participate in these markets as supply
10 resources, but more as load modifiers, which again alter
11 the load shape.

12 And so the point here is that the ISO and the
13 distribution companies, we tend to have less certainty
14 about whether there's going to be sufficient resources
15 available to serve load, because of this changing amount.
16 This could lead to over-commitment of different supply
17 resources. Next slide.

18 Another item here is just the lack of visibility,
19 situational awareness, and control. The distribution
20 operator and the ISO do not have the same visibility
21 situational awareness with a lot of these DERs that are
22 behind-the-meter. I mean, there's pilots that we're
23 visiting to take a closer look at and a lot of the
24 visibility we have is more on a net basis. But it's not
25 there today.

1 The DERs themselves, they don't have the
2 visibility on the distribution system to understand are
3 they going to be impacted, right? And the DOs, the
4 distribution companies, need better visibility into their
5 own system so that they can better predict the DERs
6 behavior. The real-time effects on what these DERs are
7 doing to the Grid, as well as to be able to better
8 forecast. Next slide.

9 And then finally, this gets into more of the
10 distribution design itself. Just the distribution system
11 may have phase balancing and voltage regulation issues, so
12 balancing loads between the different phases can become
13 more challenging as you get higher and higher penetration.
14 Particularly if they're aggregated and responding to
15 signals in a different behavior than we originally had
16 intended them to.

17 So you must consider what those effects are and
18 how it affects the system. So we definitely see that
19 there's opportunities to take a closer look in the planning
20 perspective of how do you capture this? You know, can we
21 understand how these systems are going to interconnect?
22 What phases are going to interconnect? So obviously
23 there'll be a lot more review of the planning process in
24 being able to capture that. So next slide.

25 So how does it work today in terms of

1 coordination between the transmission and distribution
2 operator? And what we have here is just more illustrative
3 of how it works for demand response today. Essentially, on
4 this chart you'll have utility demand response and non-
5 utility demand response here on the diagram. The ISO will
6 issue a signal to dispatch. Today the ISO communicates
7 with the utility transmission operator for that.

8 And one insight that we've identified is that the
9 ISO and the distribution operator, today they do not
10 coordinate. They do not actually talk. This communication
11 occurs with the transmission operator. And so that's
12 something there that we want to consider is are there other
13 methods, or other opportunities of how this information can
14 flow? Next slide.

15 And so when we looked at the work that we've
16 prepared here under this white paper the questions were
17 being asked like, what are the new coordination activities?
18 Do we believe or need it? And so we felt that it was
19 really important to distinguish the time of this, because
20 we can talk about how we want this all to look way out into
21 the future. But we also are looking at implementation of
22 the tariff today. So we wanted to consider two timeframes:
23 you know, more of a near-term look like what's happening
24 now as well as a mid-term. And eventually a further,
25 longer-term outlook, which gets into other consideration.

1 And so whereas we looked at that we thought of
2 different scenarios to help frame our thinking. And those
3 scenarios are essentially today if you have a single DER
4 that's participating in the market, what does the
5 coordination framework look like? The other condition here
6 is you have a single DER that it's not providing services
7 to the ISO, but is providing services to the utility.

8 And then the last item here is gets more into the
9 multiple-use application. So you have a DER provider
10 that's actually looking to provide both services. Next
11 slide.

12 And so when we were going through this analysis
13 we also wanted to make sure we kept this in mind about the
14 multiple use aspect. And how DERs are really seeking to
15 provide these services and earn revenues at multiple system
16 levels. And so when we thought about this we wanted to
17 make sure we understood from a behind-the-meter perspective
18 what are the different services that they were looking at
19 there: time of day load shifting, demand charge management,
20 service resiliency.

21 And then from a utility perspective, what are the
22 distribution services? This gets into the non-wires
23 alternative, the deferral of new infrastructure. And some
24 of these services are distribution capacity relief, voltage
25 management, power quality. And then moving down at the

1 wholesale side, the transmission side, wholesale market
2 participation, resources adequacy. And as well as
3 potentially serving as non-wires alternative for
4 transmission. So the vehicles to do that, would be in some
5 form of bilateral contracts with the DOs and the load-
6 serving entities. Next slide.

7 And so the objectives of each of the entities and
8 responsibilities drive different tools, information flows
9 and procedures. And what we've summarized here is the
10 ISO's primary DR concern at the T-D interface is more
11 predictability. Being able to have confidence that if
12 they're going to send a dispatch signal to these DER
13 providers what they're going to get and their confidence
14 that they will get it. As well as being able to better
15 forecast from a short-term perspective on what they're
16 going to see at the T-D interface.

17 And then also information to inform their
18 planning efforts, more on the long-term side. What type of
19 DER growth are they expecting? So this starts to weave in
20 a lot of the work that we were talking in the earlier
21 panels about, continued with the coordination with the
22 IEPR, the IRP, the TPP and the DPP. You know, really
23 ensuring that we have good coordination with the forecast
24 and that we're all aligning from a similar set of
25 assumptions.

1 From the distribution company the concerns are
2 largely with reliability. We want to make sure that with
3 DERs participating in the market that we're still providing
4 safe reliable service and affordable service to our
5 customers. Part of that is really having good visibility
6 into what the DERs are actually performing. As well as
7 being able to have the ability, if there is going to be
8 something that's going to impact reliability at least the
9 ability to modify or at least address some of those
10 behaviors from the DER.

11 And then similar to the point I mention on
12 planning, the long-term look for DER growth. You know,
13 making sure that we are factoring that in our distribution
14 and transmission planning. For the DER provider and the
15 aggregator, they're really concerned about ensuring they
16 have a good business model. So their ability to
17 participate in essentially all markets that they're
18 required. That they have the required performance
19 capabilities as well as their ability to optimize their
20 choice of their market optimization and manage the risks.
21 So those are some of the key things that we wanted to draw
22 out. Next slide.

23 And so finally it's a close, so there's near-term
24 recommendations that we've identified here. And a lot of
25 these here are really looking at piloting and some of these

1 methods. One of them is the distribution operator should
2 be able to communicate advisory information about their
3 distribution grid to DER providers. So that they have
4 better awareness about what they're capable of providing to
5 the ISO market. So this would allow them to modify their
6 bids.

7 The ISO should provide day-ahead DER schedules
8 to the DO. So this will allow the distribution operators
9 to be able to take that information and really look to try
10 to pilot developing processes to assess the feasibility of
11 those dispatch. And the complexity is, as we mentioned in
12 my previous slides, a distribution grid can go through
13 numerous switching configurations based on planned
14 maintenance and forced outages. So being able to have some
15 of that upfront information to be able to plan ahead would
16 greatly help.

17 And the DER provider, as well should be able to
18 communicate its constraints on its resources as well. You
19 know, based on feedback and issues that they may have on
20 their end or information from the distribution operator,
21 would be able to communicate that back to the ISO.

22 And in closing, one other item here that we've
23 identified is that when we look at this there was one area
24 that we felt we wanted to fill in terms of an opportunity.
25 That there should be some sort of agreement between the

1 distribution company and the DER providers. We've coined
2 it as an integration agreement, so a lot of these DERs
3 already have an individual interconnection agreement with
4 their utilities.

5 However, when they operate in aggregate they may
6 operate slightly differently. And so really having an
7 integration agreement that really sets out the rolls,
8 responsibilities and obligations between the DER provider
9 and the utility, we felt was something that could help
10 further improve this process.

11 So I'll paus there, so Tom?

12 MR. FLYNN: Thank you, Mark.

13 Any questions for Mark from the dais?

14 CHAIRMAN WEISENMILLER: Yeah, a couple of
15 questions, one of them is trying to -- obviously this is a
16 transformation about how the distribution system has been
17 designed, built and operated. What are the three major
18 things, again trying to keep it simple that really needs to
19 be done with your infrastructure to enable this type of
20 operation?

21 MR. ESGUERRA: Yeah, that's a really good
22 question. Before I get into infrastructure, I was thinking
23 about your questions when you posed it earlier. And I
24 think one of the more immediate items here is really
25 fleshing out these coordination procedures between the

1 transmission and distribution operator.

2 Today we have very limited amounts and it's
3 manageable through manual processes. In the future, as far
4 as infrastructure it one, will have to develop the
5 coordination procedures. But from the infrastructure
6 perspective if we ever get to a point where there's very,
7 very high penetrations of DERs participating in markets
8 that are deep into the distribution grid with multiple
9 aggregators, I can see that in order to communicate a lot
10 of this advisory information there would have to be some
11 sort of infrastructure, IT, software design setup on the
12 distribution side, to be able to assess the availability of
13 distribution feeder. And to be able to make some of that
14 information available. So I think from that perspective.

15 But as building up to that, I think the utilities
16 would say that we would need a lot more ability for adding
17 additional visibility and control. And there's work that
18 we're doing in terms of piloting some of this work. One of
19 the areas that PG&E is looking at, is in its distribution
20 energy resource management system, we're piloting DERMs.
21 We believe that that can inform us a lot about the ability
22 to visually see what's happening with DERs, have a good
23 forecast, as well as potentially have opportunities for
24 control.

25 So those are two types of investments that I

1 think that we would be closely looking at. Or essentially
2 it was three: the ability to provide availability of the
3 distribution grid, more visibility in control and
4 potentially some sort of control for aggregated DERs.

5 CHAIRMAN WEISENMILLER: Yeah, my last question is
6 just certainly when a generator hooks into the transmission
7 system there's a lot of control. You know, the
8 interconnection process goes through a lot and you know,
9 dealing with potentially queues and stuff. And also the
10 communication requirements are pretty stringent.

11 Now, as you go on the distribution sub-level,
12 particularly interconnecting in communication, again how do
13 we not end up with -- I don't know how many applications
14 you have now for interconnecting to the queue, but I
15 remember there were times it was like 70,000 or something
16 absolutely absurd. And yeah, you obviously had to put in
17 place a queue system to manage that. But again, this has
18 got to be simple on the one hand, but effective on both
19 communication and that. And also dealing with queuing.
20 What have you guys thought about that so far?

21 MR. ESGUERRA: So, in terms of that this is where
22 if you take a look at what our current practice is for most
23 of the utilities, when it comes to like visibility,
24 telemetry, I believe most of the utilities are very
25 consistent. There is actually a threshold of when it would

1 be required and that threshold was around 1 megawatt.

2 And what we're seeing here is that you may have
3 multiple units here that are going to be aggregating to get
4 you up to a half a megawatt. And so really looking at how
5 do we think about this when we develop this integration
6 agreement. The last point I mentioned, part of that
7 integration is to spell out working with these DER
8 providers on what type of visibility they have that they
9 can provide to demonstrate that they're meeting the half-a-
10 megawatt requirement.

11 I think there's still work to be done in that
12 area on better defining it. To not make it overly
13 complicated by not making it too simple that it doesn't
14 provide the right level of visibility. So there's going to
15 be some balance there that we have to work out with
16 stakeholders.

17 CHAIRMAN WEISENMILLER: Yeah, and again just back
18 to -- I think as people get more and more familiar with
19 where the sweets spots are on your system as opposed to the
20 complicated ones, you would not deal with some queue
21 management process for people trying to find that right
22 spot with high value.

23 MR. ESGUERRA: Correct.

24 CHAIRMAN WEISENMILLER: You know, how do you just
25 go through that? And certainly on a transmission side,

1 everything is interconnected in some fashion. So as the
2 queue changed we ended up trying to deal with that issue.

3 MR. ESGUERRA: Right. So the way we're setting
4 it up right now, at least how we're thinking it through for
5 we do have wholesale distribution interconnections. And
6 the large retail interconnections, and in the large retail
7 interconnections they are all currently queued. So they
8 have a way of managing that. But if there's a huge flood,
9 we've got to reevaluate our process to see are we still
10 effective in that.

11 For a lot of the behind-the-meter items like net
12 energy metering we've done a lot of work here to try and
13 streamline. And you actually can hear -- you've heard that
14 in the PUC's comments about streamlining the
15 interconnection process. PG&E, right now we're very proud.
16 We have about a three-day turnaround for most of that. But
17 when you start to look at aggregation, it's one thing to
18 interconnect them individually. I think we have pretty
19 good processes on that.

20 But we also have to start planning out where do
21 we expect the growth to occur? And then this would cross
22 over into the CPUC's world on integration capacity analysis
23 of really identifying what are the potential upgrades that
24 we may want to invest ahead of time if we have a very good
25 understanding that there's high value and there's a lack of

1 capacity. I think some of those items will help streamline
2 the process.

3 As far as the aggregation piece, I envision that
4 there will be eventually some form of queue if we end up
5 seeing a large influx of them coming in through the
6 utilities.

7 MR. CASEY: Yeah, I just wanted to commend Mark
8 and the utilities as well as the ISO, but especially the
9 utilities for their collaborative work on this. When we
10 introduced the market concept of distributed resources
11 participating in the wholesale market there was a lot of
12 understandable concern from utilities about how do we make
13 that work? And they really stepped up to the plate. No
14 one forced them to join this collaboration. They did it
15 voluntarily and had been working together to really
16 pragmatically think about the nuts and bolts of how we make
17 this work operationally.

18 And I think it's a very good example of kind of a
19 bottom up approach to a very complicated problem where
20 other areas like New York, I think have taken more of a top
21 down kind of a moonshot of what we want the end state to
22 be, but no clear indication of how you're really going to
23 get there. So I really applaud this effort

24 There's obviously a lot more work to be done.
25 We're just scratching the surface in terms of how we're

1 going to make all this work, but I think we have an
2 excellent framework. And I'm glad to see it finally become
3 public now, so we can get other people's perspective on
4 this. But I really think you're on the right direction.

5 MR. BAKER: Yeah, I just had a big picture
6 question I guess, kind of related to your comment their
7 Keith, which is sort of where is California relative to
8 other states and jurisdictions in terms of examining these
9 issues and learning about these issues?

10 We know that distributed energy resources do
11 participate in some wholesale markets and eastern markets.
12 So, you know, sort of how out on the cutting edge are we
13 here and what, if anything can we learn from other
14 jurisdictions in their experience?

15 MS. HOU: Well, actually maybe just a
16 clarification, Simon in terms of DERs did you mean
17 aggregations of DERs or just DERs in general?

18 MR. BAKER: DERs generally, I understand that
19 this aggregation proposal is something -- it's the first of
20 its kind, correct?

21 MR. CASEY: Yeah, I was going to say I think
22 we're once again leading the country in terms of advancing
23 this concept. And I think FERC is really looking to the
24 other ISOs and RTOs to come up with similar proposals to
25 enable what we did with our DERP proposal. So once again

1 we'll be on the cutting edge.

2 MR. FLYNN: Does anyone have anything else to
3 add? Okay. And I just want a last check, any other
4 questions for Mark?

5 (No audible response.)

6 Okay. Next up is Jeff Billinton from the ISO
7 whose going to discuss transmission implications of this
8 shift to DER. Jeff?

9 MR. BILLINTON: Yeah, thank you very much. You
10 can go to the next slide.

11 So looking at the transmission system comprised
12 of say the 500 components of the 500 components of the 230
13 kV, which make up the bulk electric system. And the
14 (indiscernible) ties to the outside of California and parts
15 of the 230, 115, 60 and 70 kV, which is really for a lot of
16 the local transmission with the interfaces between the
17 transmission and distribution system as we're looking at it
18 throughout California here. Next slide, please.

19 So as we're looking and really from the
20 transmission perspective, we've -- with the agencies a lot
21 of coordination. In particular, looking at so that we have
22 from the forecast component the procurement and the
23 transmission planning and alignment. And utilizing the CEC
24 forecast, which has the consumption load as well as the
25 load modifiers. I included within the forecast, which

1 includes the behind-the-meter generation that we've been
2 discussing or components of the DERs as we look at it, as
3 well as the additional achievable energy efficiency.

4 And then with the supply side with the Utilities
5 Commission with regards to the scenarios and assumptions
6 from the old LTTP and as we move into the IRP, the
7 assumptions for those. And the need and emphasis, and I
8 think it was earlier, of making sure that we stay
9 coordinated with regards to those key assumptions is
10 critical as we move forward.

11 In particular, with the load forecast, which we
12 use at the next slide, using in terms of the forecast for
13 our planning, using the latest forecast of the IEPR
14 forecast as well as differences between the bulk and
15 electric is primarily just the nature in terms of the
16 uncertainties as we get to the locational issues. And at
17 the location or in the local areas, utilizing the AAEE
18 difference in 1-in-10 load forecast in the next slide, as
19 we move.

20 One of the things in this, like I say in working
21 collaboratively is as the increase in distributed resources
22 continued to increase, and particularly in the 2015 with
23 the levels significantly increasing as we're working with
24 those. The historical time period of when that peak was
25 occurring as well as what is the output of the distributed

1 generation. At that time we started seeing and working
2 with and in the 2016 update identifying a sensitivity to
3 the baseline forecast to take into account the peak shift
4 where as you increase the distributed generation it shifts
5 then, the peak. Particularly as with regards to it being
6 solar, the peak out to the say 7:00, 8:00 o'clock time
7 period when the solar is decreasing.

8 And so in the planning cycle, as we're looking at
9 it utilizing the base forecast as our base as well as the
10 sensitivity to assess, so that we're not looking as that
11 level of distributed generation increases, that we're not
12 looking to see projects that potentially could be canceled
13 or not. That are actually needed for that later peak and
14 utilizing it from that aspect.

15 And with regards to this as well is the work that
16 the CEC is doing with the 2017 for the hourly forecast and
17 the hourly load modifiers will take into this consideration
18 of what is the peak time period. And it is a significant
19 effort in working with that, so that's as we move forward
20 then the sensitivity becomes part of the base as we're
21 moving forward based upon the hourly with respect to those.
22 Next slide.

23 Now, as we look at it from the system perspective
24 with regards to the duck curve and challenges, as we're
25 looking forward. When (indiscernible) duck curve in terms

1 of the (indiscernible) at a forecasted time period we see
2 in terms of already -- and with the blue bubble that's
3 there -- we've hit lower loads as to the net load, which is
4 really the ISO gross load minus the transmission connected
5 wind and solar. We basically had hit a lower than what was
6 originally envisioned from the duck curve.

7 One of the contributing factors to that is the
8 increased level of distributed generation that has
9 occurred, or not occurred, has developed on the system as
10 we move forward. We're in the order of around the 6,000
11 megawatts of installed distributed connected generation,
12 which has an impact. And if we look at the next slide,
13 this is looking at the orange line being what was a gross
14 load in January of 2013 and a profile as we look at it
15 where you had a later peak. When we look in terms of the
16 gray line this the gross load, so the load's really at the
17 transmission and distribution interface in 2017 in January.
18 And you can see in terms of the profile changing where
19 you're starting and you've got a belly kind of on the gross
20 load developing by itself, of what the distribution load or
21 the transmission and distribution interface type load is.

22 And that's attributed as we look at the
23 distributed generation increasing, as we look in time, and
24 expected to grow. And in some -- as we look at some
25 locational areas in an analysis that we did last year, an

1 example of being the Fresno area, which has had a
2 significant penetration of distributed generation -- we
3 already see the PV peak shift or the peak shift occurring
4 in the Fresno area to the 7:00 o'clock to the 8:00 o'clock
5 at the peak time periods. And we see in terms of a
6 significant belly in the off-peak of just the transmission
7 and distribution loads in that area. And at some of the
8 buses we're getting, or at some of the interfaces, close to
9 where it could be a net zero or a (indiscernible) or a
10 reversal of flows at those locations.

11 And so those are things as we're looking at in
12 the analysis and -- or as the system and how is the system
13 changing as we plan for the increased growth. The next
14 slide.

15 As we started -- in last year's transmission
16 planning cycle we started to discretely model the
17 distributed generation based upon the levels that were
18 identified in the IEPR forecast. So we started to model
19 the (indiscernible) distributed generation, the gross load
20 as well as the distributed generation separately to reflect
21 that in our models.

22 The locational, we've been working with the
23 utilities with regards to the forecast from their DRP as
24 well as in the update of the 2016 IEPR. The granularity as
25 was identified, is working to try to lower or get it in

1 terms of closer to the bus, takes into consideration from
2 the system. But also on a climate zone basis what is the
3 installed amounts and those are helpful to try to work
4 towards where that location is.

5 And then the output is based upon the case that
6 we're looking at it being a peak or an off-peak. A peak
7 being now looking on the historical or the peak shift,
8 being at the 7:00 o'clock time period or an off-peak being
9 at the middle of the day on a Saturday. Having to look at
10 the profiles of what the distributed generation is with
11 respect to output in relation to the consumption load or
12 the gross load of the system.

13 And then in terms of working to the issue of when
14 we're modeling on the transmission system we're modeling
15 more of a larger discreet individual generator that you get
16 the characteristics of, working with the modeling of
17 aggregating a whole bunch of small that have different
18 characteristics. And at those levels what is the
19 characteristics of those generators as we aggregate them?
20 And so those are things that we're working with as we go
21 forward.

22 The next slide shows in terms of the levels based
23 upon the CEC forecast that we're using in our forecast.
24 And as you can see in terms of 2018 an installed of around
25 6,000 with a growth of that up to around almost 13,000

1 megawatts of distributed generation being included in our
2 transmission planning models to make sure that we're
3 accounting for in the studies that we're doing.

4 The next slide reiterates in terms of a point
5 that we'd talked about previously, and like you say the
6 using and making sure of it in terms of our planning, the
7 CEC's forecast is the input of the load forecast. And then
8 getting that down to our busbar level, which is effectively
9 at the station level or the transmission and distribution
10 interface level.

11 As we are working the CEC's forecast has some
12 granularity in it. As we're looking in the 2017 IEPR,
13 looking probably of the hourly being more at the system
14 level with plans to move that down to a more granular level
15 as in the 2019 IEPR. But then using basically a bottom up
16 from where is the loads and the load modifiers? At that
17 busbar level we work a lot with the distribution utilities
18 and the transmission owners as to what is the loading
19 levels at that.

20 And that highlights the point that we talked
21 about, the (indiscernible) of the alignment meeting as
22 we're planning what assumptions are for the distribution
23 system are rolling, to what is the transmission system.
24 And is consistent with the IEPR forecast that's there as
25 well as then what is being procured in making sure that

1 those are consistent, is a critical component as we move
2 forward. Next slide.

3 As we're working on terms of the transmission,
4 and this from a planning, but it also has from an
5 operational as we look at it in some degrees, is the
6 planning the locational is a critical. Because as you get
7 down the uncertainty gets will it develop? When does it
8 develop? Does it develop to the magnitudes forecast right
9 at the more granular you get down?

10 The other is of the uncertainty comes some of the
11 output with the locational. The output will vary depending
12 upon or the profiles will vary depending on the areas. So
13 if we're looking at coastal versus inland versus in the
14 south areas as well, the profiles are different. So having
15 to work with those as well as some environmental impacts as
16 we're looking at it as to cloud cover. What's the impacts
17 of that as to assumptions to use for planning or monsoonal
18 type heatwaves where you have high temperatures and you end
19 up with high loads of that time period, but cloud cover.
20 And having to make sure in terms of as we're doing the
21 planning making sure that we have the resources or
22 transmission facilities to be able to accommodate those
23 types of conditions as well that may occur in time.

24 Other aspects that we have -- and I think Mark
25 may have touched a bit on the distribution or the

1 transmission as well as voltage regulation issues -- as we
2 change or as the profile even on a daily basis typically
3 you'd have a lot of changes beyond a seasonal. But as
4 you're getting in terms of on a daily basis where the
5 loading may go down in the middle of the day. It still has
6 a high peak, making sure in terms of the voltage levels
7 we're already seeing in terms of some of the areas high
8 voltage occurring as we have those lower loads,
9 particularly in the off-peak time periods.

10 The peak load shift is one as well in terms of
11 from the planning to make sure just that we're accurately
12 reflecting as that load is changing what does that do for
13 other otherings, other resources at those times as well?

14 And then what it does do is with the changing and
15 the profiles changing, increases the number of studies that
16 we need to do particularly in off-peak time periods to
17 assess what is critical system conditions? When you have
18 the distributed generation that's there it's not the same
19 as when you have energy efficiency where the load has
20 actually disappeared and not there. You actually have the
21 gross load that is connected to the system, you just have a
22 different generation source that is supplying for it that
23 has different characteristics of the conventional
24 generation that was supplying.

25 So what kinds of impacts under where we would see

1 on a low load on the transmission and distribution
2 interface, but still a high load. Making sure things like
3 frequency response, voltage regulation, transient stability
4 under those conditions drives a significant amount more of
5 studies that need to be done to identify what are those
6 critical system conditions to ensure the system is
7 (indiscernible) and operates in a reliable fashion
8 throughout those different operating conditions.

9 And then the last really thing when we look at it
10 is when we talked about it is as we modeled them. And it
11 comes to the discussion of the smart inverters -- how do we
12 do modeling of the distributed generation or the
13 aggregation of a number of small generators into something
14 that's reflecting how they're going to operate is the
15 challenge as we move forward as well.

16 So that covers in terms of the presentation if
17 there's any questions.

18 CHAIRMAN WEISENMILLER: Yeah, if you go back to
19 the duck curve for a minute?

20 MR. BILLINTON: Yep.

21 CHAIRMAN WEISENMILLER: I just wanted to make
22 sure people -- go back to that. The interesting thing as
23 you can see is we got down to 8507, I guess it actually may
24 have been 80 or somewhat lower after that, 83 or something.
25 But when you look at the growth a couple of slides later on

1 behind-the-meter knowing the additional renewables, it's
2 easy to see that number go negative ten years from now,
3 which certainly has a lot of fundamental implications.

4 But again if you just take that number and then
5 you flip back to the slide on the growth of behind-the-
6 meter and look at the delta -- yeah, that one. You know,
7 you're actually doing the large-scale solar or other
8 things, demand, energy efficiency, you name it that we're
9 going to do, that could basically drop. Your minimum load
10 could be negative, which certainly is sort of a new
11 operational issue at that stage.

12 But having said all that, I guess the thing to
13 ask you is obviously we talked about the distribution
14 planning. You're looking more at the transmission and
15 wholesale. Obviously we've been told the substation's
16 where everything comes together. Again, what are the new
17 issues we're going to come up with as the T affects the D
18 and vice versa?

19 So I'm just trying to figure out as we make these
20 big changes on the distribution side, what are some of the
21 implications for the transmission system as we're operating
22 it?.

23 MR. BILLINTON: Well I think, I think

24 CHAIRMAN WEISENMILLER: I think some visibility
25 of what the distributed generation is, the forecasting, one

1 from a planning but from the operational in particular,
2 what those implications are.

3 MR. BILLINTON: The things around the voltage
4 control? As you start changing flow direction, as you
5 start changing how does that change things like voltage
6 profiles or also the directional flow on lines, which has
7 implications to protection systems as well, needing to look
8 at it from those perspectives.

9 CHAIRMAN WEISENMILLER: Obviously, one of the
10 things ERCOT worried about a lot recently has been inertia.
11 Although I think they've talked themselves off that getting
12 too panicky about it. But again, as we go through these
13 changes what sort of studies do you need if any on inertia?

14 MR. BILLINTON: Well, actually we did some
15 studies on inertia and two years ago, we were more focused
16 in terms of as we looked at with the renewable on the
17 transmission side. That's one of the keys, is we look at
18 the uncertainties of the modeling of the distributed
19 generation to make sure that we're getting realistic
20 characteristics into the models. To be able to understand
21 and find ways to address or mitigate concerns that may
22 arise from the transient stability type or a frequency
23 response, which is where you're getting the inertia.

24 Because like I said the load is still there, but
25 it's being provided locally by generation that have

1 different characteristics than what has conventionally
2 been. Or also in terms of as was referenced in on the
3 transmission connected where you may be able to have the
4 larger ones with controls on them providing some of those
5 services. When you have a lot of small ones spread out in
6 an aggregation how do you get that kind of same
7 characteristic response to provide that same kind of
8 service?

9 And that's the purpose of why we've gone down the
10 path to discretely model them and work to that to get so
11 that we're making sure that we characterize these as we
12 grow the level of generation.

13 CHAIRMAN WEISENMILLER: Yeah, I think that's why
14 as we go into enhance -- as we go into more granularity
15 that we have to enhance the granularity of our data. And
16 that also means we have to reach out to some new entities
17 like on vehicle to grid issues. You know, it's like who is
18 running charging? How many of the sales are where?

19 So one of the things that is going to be critical
20 for all three of us is that as we add more clean tech
21 resources is to know where it is, how it's operating, and
22 make sure that it's being incorporated in the forecast
23 correctly. So that we're not missing any peak affects.

24 MR. BAKER: Yeah, kind of on that point is a
25 question I guess perhaps to you, Mark. Setting aside the

1 need for better forecasting of distributed energy
2 aggregations, which was referenced in the earlier
3 presentation, looking to the DRP process and the DER growth
4 forecasts that are being developed there I'm aware that
5 PG&E made some strides I think in their DRP filing. To try
6 and develop some methodologies to produce more granular
7 forecasts at the circuit level for DER growth using things
8 like Beta on-air (phonetic) connection queues, economic
9 demographic data where you might expect to see uptake of
10 electric vehicles and PVs on your system, for example.

11 What's the current state of play of that? How do
12 you actually get to a more certain forecast by using those
13 more sophisticated methods? Or is it just piling
14 uncertainty on top of uncertainty?

15 MR. ESGUERRA: That's a good question. Forecasts
16 are forecasts and we're still working on how to -- part of
17 it is trending back and looking at here's what we said and
18 what did we learn? And how does it compare with reality?
19 I think all of the efforts we're doing are trying to give
20 us greater certainty, but at the end of the day we're still
21 learning about what are all the different factors that are
22 going to change. So I'd like to tell you that I can give
23 you a firm number of how confident we are on these other
24 items in terms of how the DERs are going to show up, but I
25 will say that I believe everything we're doing is giving us

1 more certainty.

2 But we also know that it may change with some of
3 the concepts that are being kicked around in the
4 proceeding. Is, "Well, can we bracket the possibilities of
5 change? Do you need to adopt more scenarios that are book
6 ends?" And so I can leave you with that, that we are
7 coming up with our trajectory forecast but there's the
8 discussions and cons about developing other trajectory
9 scenarios. And really trying to put some probabilities
10 behind it.

11 And when you start planning out your grid to
12 understand what are the different levels of investments you
13 need depending on what bracket of forecast. And being able
14 to track this growth as it goes and materializes. And
15 hopefully that the framework for improving investments is
16 nimble enough that we can make certain changes or at least
17 put in building blocks of investments that will be no
18 regrets regardless of if growth changes or not.

19 CHAIRMAN WEISENMILLER: Yeah. That's good. I
20 would say if you were here in January we had a workshop on
21 econ demo and obviously we're pushing for more granularity.
22 And if you look at the standard forecasters, it's more
23 statewide you might something say for the Bay Area. But if
24 you're really trying to find econ demo forecast really down
25 to a very granular level statewide you (indiscernible)

1 problem.

2 So if PG&E or anyone finds any better, please
3 submit fast.

4 COMMISSIONER DOUGLAS: So just a quick follow-up
5 question on that, what are some of the action steps that
6 would be needed to get more granularity and be able to make
7 more location-specific planning decisions?

8 MR. ESGUERRA: Well, I think it starts with data.
9 I mean, I think there's just we talked about this, about
10 access to more data about these others. But being able to
11 trend back, I think one of the things we were thinking
12 about here in terms of -- this is again for PG&E -- is
13 being able to share some of that information, you know?
14 And how does it feed into the IEPR process, particularly.

15 We know that there's a pretty firm schedule on --
16 and I can't remember which one -- the even year or odd year
17 where there's one that's developed. Well, I think the
18 utilities may have more information that have happened in
19 between some of those off-cycle years. And being able to
20 feed that in and to see how that could actually be
21 reflected in maybe an update to the forecast. And I don't
22 know all the details behind that, but that's the feedback I
23 get from my forecasting team. Is that we'd love to be able
24 to share more information that happens during these off-
25 cycle IEPR years and see how it could be reflected in the

1 forecast.

2 MR. CASEY: I just want to go back to the
3 challenges Jeff raised in his last slide in terms of the
4 planning complexity. Because I just want to underscore
5 what a radically different planning environment it is
6 compared to the old days -- that was two years ago.

7 In the old days you planned for your system peak
8 and if you were confident you could meet that system peak,
9 you had an adequate planning reserve margin, you were
10 pretty confident you'd get through the entire year. And
11 that paradigm is going away.

12 What's really more challenging now are these
13 seasonal, what used to be off-peak shoulder seasons, where
14 some of the operational challenges are greatest. And how
15 we evolve our planning process to make sure we capture
16 those most challenging seasonal conditions is a work in
17 progress as Jeff's highlighted. And the behind-the-meter
18 solar plays big into that, because you're seeing 6,000
19 today. It's going to double in ten years.

20 And what do you assume about that in terms of
21 even in a seasonal assessment? Do you assume the worst-
22 case scenario with a one-in-ten heatwave with monsoonal
23 cloud cover? And if you can survive that you're confident
24 that you can get through the season. Well, some people
25 would say that's overly conservative, so what's the right

1 answer there? And I don't think -- and I'll put it to Jeff
2 or the other panelists if they think differently -- but I
3 don't think we have a good answer to that. But it's
4 something we're ultimately going to have to answer.

5 CHAIRMAN WEISENMILLER: Well, for the record I
6 should point for those of you who are real data nerds,
7 you're welcome to join Andrew and I as we're going through
8 and expanding our data requirements. Which I would have to
9 say has not been that warmly received by the utilities, but
10 we're trying to deal with the granularity needs. But
11 again, that's sort of a separate proceeding that's coming
12 before the Commission. The first phase soon, and then
13 second phase next year.

14 MR. FLYNN: Okay. I think personally for me that
15 was an extremely informative panel discussion and great
16 questions from the dais as well to help with that
17 discussion. I'd like to thank Delphine and Mark and Jeff
18 for joining us today and providing us with a lot of good
19 information.

20 MS. RAITT: All right, thank you.

21 So we'll move on to the next panel, Publicly
22 Owned Utility DER and Energy Storage Activities Update.

23 John Mathias from the Energy Commission is the
24 Moderator. You can go ahead and get started.

25 MR. MATHIAS: Thanks, I'm John Mathias with the

1 Energy Commission's Distributed Generation Unit in the
2 Energy Assessments Division.

3 For this next panel we have three presentations
4 on what California's publicly owned utilities are doing in
5 relation to distributed energy resources and energy
6 storage. We have speakers from the Northern California
7 Power Agency, Imperial Irrigation Districts and Los Angeles
8 Department of Power and Water. So the first presentation
9 will be Jonathan Changus from the NCPA. Jonathan is the
10 Member Services Manager and also responsible for Regulatory
11 Affairs at NCPA. He's going to provide an update on what
12 the POU's are doing on energy storage as it relates to AB
13 2514.

14 And Energy Commission staff we've been
15 coordinating with NCPA and other POU's regarding this,
16 because a lot of the requirements of AB 2514 require report
17 submittal to the Energy Commission. And we plan to
18 continue coordination with them as we go forward, so
19 Jonathan?

20 MR. CHANGUS: Great. Thank you and it's a
21 pleasure to be here speaking on behalf of NCPA first and
22 foremost, but I do frequently play in the same policy
23 sandbox with a lot of the other POU's. So there's some
24 information I can share as well regarding AB 2514 on a
25 joint effort in particular with SCPA that has just

1 completed this previous year.

2 I do want to note that my comments will be
3 probably be probably more biased towards the smaller
4 Northern California power agency members, as far as what
5 their concerns and their considerations are. And I will do
6 my best to speak to some of the other non-NCPA member
7 issues and what I've learned over the years as far as their
8 concerns.

9 And then finally, we will be submitting updated
10 target information to the CEC by October 1st as required by
11 statute. And with that I think we'll just get started.

12 Not to do too much of an overview, because I
13 think most folks in the room are familiar with the
14 requirements of AB 2514 with regards to publicly owned
15 utilities. Their local governing boards were directed to
16 evaluate energy storage technologies and to determine what
17 if any appropriate procurement targets might be that are
18 cost effective and feasible.

19 The initial targets were adopted by October 1,
20 2014, which is what triggered this three-year reevaluation
21 of 2017, and then we will also do another in October of
22 2020.

23 And I'd be remiss if I didn't note that that's
24 what we're primarily addressing in October is going to be
25 the 2514 requirements. But with the passage of SB 350 and

1 integrated resourcing planning, energy storage is becoming
2 more of a feature in those larger resource planning
3 activities coming down the line as well. And so the
4 October reports really speak to I believe what they
5 determined to be prudent for 2018 through 2021. But I
6 anticipate that as we go through the IRP process too, this
7 is a really rapidly evolving area and there could be some
8 changes down the line. Next slide.

9 So last fall, NCPA and SCPPA contracted for a
10 joint evaluation of energy storage technologies. And we
11 were really looking for storage interests in common to POUs
12 across the board. And so that was primarily focused on
13 technologies and services that they could provide at the
14 distribution grid level.

15 For smaller utilities that are not a balancing
16 authority (phonetic) it's very different math in many cases
17 as far as what the role and value potentially could be to
18 the utility regarding storage. And so we know that a lot
19 has changed since 2014, but for the IOUs and in the energy
20 storage market in general. And so we were seeking kind of
21 a third-party review of what the technologies were now
22 capable of, what some of the cost trends were, what some of
23 the applications might be. And part of that was, in
24 particular a review of the work that'd been done by the
25 CPUC for the IOUs. And what was motivating some of the

1 investor owned utility procurements and solicitations,
2 especially in Southern California.

3 In addition to that joint report, which we
4 received earlier this year and has now been distributed to
5 members, SCPPA has also contracted with Navigant for some
6 additional kind of member-specific modeling. What we were
7 seeking and what we received from DNV GL wasn't a utility-
8 by-utility target setting or information like we do for
9 energy efficiency. It was more case studies, use studies,
10 of storage technologies and different applications. And
11 what some of the cost numbers look like with a recognition
12 that for any individual utility, the conditions as far as
13 their grid and their needs, would dictate and inform what
14 some of the applications were.

15 So we had some reference cases included. We had
16 some review of the technical capabilities and some cost
17 data. And it was designed and meant to inform additional
18 work by the utilities, not to essentially set the potential
19 goals or studies like we do for energy efficiency. So
20 SCPPA has a separate contract going with Navigant to do
21 some more specific modeling for individual members.

22 And in addition, independent of the joint NCPA
23 and SCPPA report, is also Lazard Levelized Cost of Storage
24 Analysis 2.0, which came out in December 2016. And does, I
25 think, a pretty excellent job of kind of going through a

1 number of the similar questions we were asking DNV GL but
2 for a broader range of technologies. And that is also
3 something that members will be looking to as they try and
4 evaluate their future resource needs. Next slide.

5 So in particular, in January we provided an
6 update to the CEC about kind of the interest areas when it
7 comes to publicly owned utilities with regards to energy
8 storage. And I think there's potentially a misconception,
9 which is on our part is the public power to kind of correct
10 the records as far as engagement and interest when it comes
11 to energy storage. Because as everyone knows, most POU's
12 did not adopt energy storage targets in 2014. But that
13 does not mean that there was not energy storage activity.

14 And so these interest areas are kind of a
15 reiteration of kind of where we've been and what we're
16 looking to going forward. Even if it's not necessarily
17 with formally adopted procurement targets there's still
18 going to be some activity.

19 So the first area of interest and activity that's
20 been around for a number of years is RD&D pilot programs.
21 LADWP and SMUD being the largest POU's have the more robust
22 programs. I believe since 2008, SMUD has invested
23 something around the lines of \$30 million of internal,
24 external funds into storage research. SCPPA sent me notes
25 to make sure I got this on the record, has a current

1 thermal energy pilot program in which three of their
2 utilities: Azusa, Colton and another one -- Riverside --
3 are participating in to demonstrate thermal energy storage.
4 Alameda, an NCPA member, has a very small kind of fly-wheel
5 research program demonstration project going on as well.
6 And so there's a hodgepodge of these types of activities,
7 which I'm happy to explain in greater detail if that's of
8 interest.

9 And then we also participate in a number of
10 research institutions and organizations that do research.
11 Many small POU's are not going to have a robust RD&D program
12 of their own. But we participate in things like the APPA
13 DEED Program, the SEPA has done a variety of webinars and
14 research papers as well as EPRI and E-Source. And so we
15 rely a great deal on some of those sources of information
16 to help keep us abreast of what's going on and new
17 considerations that we might want to consider.

18 The second major area is renewable and storage
19 procurement. And in particular, being informed by now the
20 integrated resource planning process. And so NCPA and
21 SCPPA have already kind of initiated joint RPS-eligible
22 project with storage as an option. I believe at this time
23 it was not included, but it's something like EV chargers in
24 your garage. We wanted to make sure that the sight and
25 location is capable of adding storage if that is desirable

1 at some other point.

2 And that's a feature as well, of upcoming
3 communities, solar programs, and projects that POU's are
4 considering. Roseville, (phonetic) I know has a thought at
5 this point that energy storage might be appropriate to co-
6 locate at their proposed community solar program. But
7 that's still coming down the pipe a little bit.

8 And the RPS plus storage procurement too, has
9 also learned a great deal from the IOU solicitations. And
10 we've had some folks come in and speak and so it's very
11 much, "What are we doing ourselves, really?" We tend to be
12 second adopters at the NCPA level at least, as far as some
13 of these major changes. And learning from others is
14 critical to our steps forward.

15 The next step, which does not necessarily speak
16 as much to NCPA members as it does to some of the
17 activities going on in the state, is with SONGS and Aliso
18 Canyon and once-through cooling issues. That we're all
19 aware of the impacts of those kind of very sudden changes
20 in grid infrastructure changed the dynamics, at least for
21 some of the Southern California utilities. And I know
22 those are issues that are under consideration and will be
23 more thoroughly addressed, I believe in the October filings
24 as far as whether or not to adopt procurement targets.

25 And then finally one of the major issues in areas

1 of factors that goes into decisions with regards to
2 procurement, is the market conditions. In particular
3 within the CAISO and we've had other presentations about
4 trying to overcome some of the barriers to allow energy
5 storage and other DERs to participate more fully. And
6 we're getting there, progress is definitely being made and
7 we're trying to understand what those opportunities might
8 actually look like.

9 But I will note that there is some question about
10 stranded assets and (indiscernible) is created with
11 regionalization as most folks view energy storage as a way
12 to help address the over-generation and optimization of our
13 renewable resources. Regionalization, if it were to move
14 forward, also addresses a lot of those same challenges.
15 And as we're seeing stranded asset issues already with
16 utility investments, there is I would say some caution
17 about moving forward in trying to understand just exactly
18 what the opportunity is going to be for a more wholesale or
19 large POU investments in more central station energy
20 storage.

21 I think I can say with some confidence that a
22 number of the smaller, mid-size POUs are really focusing on
23 energy storage as a distribution and kind of a behind-the-
24 meter resource as that's where the most appetite may be, in
25 their service territories.

1 And so that's what I have for energy storage. I
2 also handle transportation electrification, energy
3 efficiency, and distributed solar. So if you have other
4 DER questions I'm happy to answer.

5 CHAIRMAN WEISENMILLER: Just on your last point,
6 which I'd probably characterize as a Lodi point, I would
7 point you to Rainer Baake before he became the Energy head
8 in Germany. He was with Agora, one of their leading think
9 tanks, and he wrote a marvelous paper a number of years
10 ago. "Twelve Ways and Twelve Truths."

11 And on storage he basically ranked things as, you
12 know, technologies have changed, but anyway the cheapest
13 way to store is in the Grid. Basically for Germany, that
14 turned into regional with the interconnect. Obviously,
15 with Poland and France etcetera and also connecting to
16 Denmark. So in fact, the first time I met him he'd just
17 come back from -- (indiscernible) trying to say, "Okay, can
18 we store our surplus solar in your hydro system?"

19 And then the second rank from his perspective was
20 thermal. You know, again a no-brainer, it was very cost
21 effective. He was not as enthusiastic on batteries, so
22 other things have come along in sort of the top of his list
23 in terms of cost or issues was power to gas.

24 But anyway so as you look at stuff, the sort of
25 regional storing stuff in the Grid, dealing with diversity

1 and thermal should be no-brainers on some level.

2 Yeah, now as I said I know you have a particular
3 asset you're struggling with, but at some point you've got
4 to deal with the facts as they are. You know, you can't be
5 K. Kanut, trying to prop up something which is stranded.

6 MR. CHANGUS: Absolutely. And I think just in
7 response to thermal too, I know Redding has completed a
8 five-year program with thermal energy storage. And the
9 assumptions and the conditions there as well had changed
10 dramatically, of course from when they started. And for
11 some of their applications where they were looking at
12 working with schools and trying to shift that load from
13 12:00 to 5:00, that load now has a very different economic
14 piece.

15 And so I absolutely agree that thermal is proven.
16 It is what the SCPPA project is looking at right now and
17 there's still a lot of opportunity.

18 CHAIRMAN WEISENMILLER: Okay. Anyone else?

19 (No audible response.)

20 MR. MATHIAS: Thanks, Jonathan.

21 The next panelist is Chris Beltran. Chris is a
22 General Superintendent in the Energy Department as Imperial
23 Irrigation District. And he's here to present on Imperial
24 Irrigation District's 20 Megawatt Battery Energy Storage
25 System.

1 MR. BELTRAN: I'd like to say thank you to the
2 Commission for letting me come here. When I got the invite
3 I was like, "Wow, I get to go to Sacramento. I've never
4 been there." This presentation, I've learned a lot from
5 the other ones, but this one is pretty how we started to
6 where we are now with our batteries. So at least we'll
7 start, next please?

8 Imperial Irrigation District, or IID, is a
9 publicly owned utility that provides water and power to
10 more than 140,000 customers in Imperial County and portions
11 of South Riverside and San Diego counties. And IID was
12 formed as an irrigation district in 1911, so we're
13 servicing nearly 500,000 acres of farmland before expanding
14 into the power industry in 1936. IID is now the 6th
15 largest electric utility in California and one of the five
16 balancing authorities in the state. Next, please?

17 For over a century, the expanse of farmland and
18 crops have benefited from 309 average days of sunshine.
19 IID's energy portfolio has more recently capitalized on
20 this available solar energy. And now provides 25 percent
21 of its power from renewables and expects this number to
22 rise at 35 percent within the next few years. However,
23 this increase in renewable resources have resulted in
24 fluctuations not previously experienced by IID. Next
25 please?

1 In the case of the solar energy production, the
2 famous duck curve has become more apparent lately as solar
3 energy sources drive down demand during sunlight hours.
4 Additionally, scattered clouds have ability to change load
5 demand quicker than conventional generators are able to
6 respond. IID's concerns with this, with the renewables and
7 other system reliability concerns were addressed with the
8 first battery energy storage system or BESS. Next, please?

9 IID first researched existing best projects
10 already in operation, and ultimately teamed up with Power
11 Engineers to design their system. Some of the research and
12 best projects in operation were primarily used for spinning
13 reserve capacity. However, IID desired a best system that
14 would primarily help smooth out the energy fluctuations
15 from solar energy sources. Next, please?

16 Next a load study was conducted, and a model was
17 created to determine how the BESS may affect the nearby
18 transmission systems. This study with modeling concluded
19 that a 30 megawatt system capable of 20 megawatt hours of
20 storage would be the most appropriate sized system located
21 in El Centro Generation Station in El Centro, California
22 120 miles east of San Diego. Next, please?

23 The next step involved determining various design
24 characteristics that best suited IID's needs. Excuse me,
25 5,032 Samsung American lithium ion batteries were selected

1 for the IIDs BESS as they were completely sealed. And do
2 not require electrolyte maintenance that is common with
3 nickel cadmium batteries. Each weighs about 100 pounds,
4 about the size of a computer, desktop computer and they say
5 the life expected of 18-to-20 years. But I'm sure it's
6 going to degrade over the time, but we'll find that out
7 pretty soon.

8 IID elected to have the BESS built onsite as
9 opposed to having modular units built offsite and
10 delivered, therefore avoiding the need of having individual
11 HVAC units on each module. Coachella Energy Storage
12 Partners was contracted to completed engineering
13 construction, while GE was selected to deliver the
14 components necessary to build the best.

15 ZGLOBAL, Tri-Technic and Chula Vista Electric
16 Company also played important roles through the design,
17 construction, and testing phase. I know that almost
18 sounded like a little sales pitch, but I'm sorry. Next,
19 please?

20 Construction of the BESS commenced November 2015
21 and avoided the 110 degree heat we usually have in the
22 Valley. Last week, last Tuesday, it was 122 and it was --
23 but that was a good test for the batteries in the HVAC
24 system. The 110 heat, that's normally during the summer
25 months in Pearl Valley, these cooler conditions also aided

1 to the proper concrete curing of 300 cement trucks loads
2 required for the project.

3 The building is constructed on a concrete pad,
4 occupies about 8,000 square feet that houses the batteries
5 and control room. Cooling the building requires 220 tons
6 of HVAC to maintain the building at 78 degrees. Next,
7 please.

8 The BESS is designed with reliability in mind as
9 evident of the 30 individual banks that operate in parallel
10 each consisting of a set of batteries, inverter, and
11 transformer. This redundancy allows for continuous BESS
12 operation in case a bank requires maintenance. Each of
13 these banks is then connected to a main transformer and
14 finally routed through a '92 kV substation connected to the
15 Grid.

16 So if there was a problem with one strings, you
17 could just isolate one of the strings. And you would not
18 lose your capacity of the BESS, instead of shutting down
19 the whole thing. Next, please.

20 The BESS became fully operational in October of
21 2016 and provides several operational modes, which include
22 spinning reserve, solar following, e-con, area control air,
23 which is called "ACE," frequency response black-start and
24 manual override.

25 Initially the BESS was operated in econ mode

1 based on economic factors. However, it was difficult to
2 determine the set points and it didn't result in frequent
3 charge and discharge cycles. Next, please.

4 IID has found most beneficial to operate the ACE
5 control mode to smooth out the fluctuations from the solar
6 energy sources. Operation in this mode has also supported
7 NERC Balancing Authority ACE limit or BAL events and
8 contributed to a reduction in BAL exceedance. A key
9 advantage to the BESS over conventional generating units is
10 that it's able to respond a lot faster in as little as a
11 couple of cycles. Next, please.

12 Some of the other advantages IID has recognized
13 from the BESS include benefit of shutting down conventional
14 combined cycle units by allowing the BESS to serve as spin
15 reserves. It's also beneficial that BESS operates at a
16 plus or minus 30 megawatt, providing a 16 megawatt dynamic
17 range. Gas turbines have also been avoided through the use
18 of the BESS -- starts, excuse me, next please.

19 In summary, IID finds the BESS is best suited for
20 scenarios where fast response is needed over a short
21 duration. At a maximum discharge rate of 30 megawatts and
22 fully charged state of 20 megawatt hours, the BESS can
23 operate for 40 minutes.

24 May 10th, 2017 IID successfully black-started
25 Unit 32 at the El Centro Generating Station using the

1 batteries, providing additional system reliability. I was
2 told it was the first time it's ever been done. I don't
3 know. You probably know more. Next, please?

4 Finally, the BESS is configured to allow for five
5 additional Hunt 1.25 MVA battery banks. The success in
6 savings IID has recognized with the BESS has already
7 generated interest in expanding it to five additional
8 slots.

9 I'd like to say thank you for letting me share my
10 story.

11 CHAIRMAN WEISENMILLER: No, thanks. I mean, we
12 appreciate you coming. Certainly it's an interesting story
13 here. I guess I was just trying to understand, first of
14 all I mean in terms of the cost of this, was it on time, on
15 budget or you know, I mean I understand this is more of a
16 FERC settlement, but --

17 MR. BELTRAN: Yes, sir. It was on time. I
18 didn't know the budget, but it cost \$38 million. I know
19 the FERC, after that problem we had it was like we had to
20 spend \$9 million and our people decided, "Let's do this."
21 It was above my pay grade.

22 CHAIRMAN WEISENMILLER: Yeah, no (indiscernible).
23 Yeah, but I certainly encourage the POUs to visit and kick
24 the tires there. Not necessarily in the summer, but
25 anyway. (Laughter.)

1 MR. BELTRAN: I've given tours at least twice a
2 week. You can't imagine the people that want to come down
3 and see it, still. It's unreal and they're coming down
4 when it's 110 degrees.

5 CHAIRMAN WEISENMILLER: That's good. That's
6 good. What in terms of we hear a lot from the ISO about
7 the duck curve, we hear a lot about their ramp, as you had
8 more solar what's going on with you in terms of minimum gen
9 ramp? I mean, is this the solution or do you have more?

10 MR. BELTRAN: Well, they're planning on maybe
11 another battery storage. I know that our older units, our
12 fleet, they can't back down as fast. And these batteries,
13 they're like that. Especially with all the solar coming
14 in, in the morning and our combined cycle units trying to
15 back down, well they're not running as many of them as
16 much. And so -- or their peak units or something, excuse
17 me.

18 CHAIRMAN WEISENMILLER: Yeah.

19 MR. BELTRAN: And they're using the battery for
20 grid support, pretty much. And they'll put a set point on
21 the ACE like 15 megawatts plus and of 15 megawatts minus.
22 So it just comes in, in cycles all day long. But that's
23 SOC. That's dispatch's little toy. Now me, I'm just over
24 at the plant. We just make sure it doesn't catch on fire
25 and give tours.

1 CHAIRMAN WEISENMILLER: There's (indiscernible)

2 MR. BELTRAN: Right, yeah.

3 CHAIRMAN WEISENMILLER: Yeah, there was the A123
4 battery that burned down the one farm in Hawaii. But
5 anyway, so stay on your toes.

6 But yeah, I was going to say on the variability,
7 I mean when I look at Keith's stuff he's looking at solar
8 over a much broader geographical area than you are. So
9 there's got to be a fair amount of volatility there, the
10 same on distributed resource mixes. Much more concentrated
11 and fewer wind farms or whatever.

12 MR. BELTRAN: We do have some wind farms, but
13 it's challenging and our engineers and our system ops, well
14 it's affecting everybody. And they're just trying to
15 figure out how they best can use the best to our advantage
16 for this problem.

17 CHAIRMAN WEISENMILLER: Yeah, one of the things I
18 know certainly in talking to some of the German scientists
19 and here, you come back to as we change, what are the basic
20 metrics we should be following on balancing authorities?
21 You know, and the sort of classic reliability, what's your
22 reserves or stuff like that, just things are changing fast.
23 So just how to operate.

24 MR. BELTRAN: It's an interesting time.

25 CHAIRMAN WEISENMILLER: Yeah, certainly. That's

1 good, thanks.

2 Anyone?

3 (No audible response.)

4 Good, next please.

5 MR. MATHIAS: Thanks, Chris.

6 The next two panelists are from the Los Angeles
7 Department of Power and Water. We have James Barner who is
8 the Engineering Supervisor of Integrated Resource Planning
9 and Jason Rondou, the Engineering Supervisor of DER
10 Programs. And their presentation on LADWP's Distributed
11 Energy Resource Planning and Programs.

12 MR. BARNER: Hi, I'm James Barner. I'm here with
13 Jason Rondou who's in charge of our DER programs. I'd just
14 like to give you an overview, next slide please, our IRP
15 overview to let you know how we incorporate DER into our
16 planning process. And then we'll talk about our system
17 studies and research that we've done recently. And then
18 Jason will talk more about the distributed energy resource
19 programs that are parts of our DER Program. Next slide.

20 So LADWP, this last past IRP cycle, we do it
21 every year annually, we've been including DER programs in
22 our planning process, in our modeling for our IRP since
23 2010. In the future, we're going to be going to very high
24 levels of renewables, 65 percent by 2036 and 55 percent by
25 2030. This is all while achieving 15 percent energy

1 efficiency by 2020. And we're doing a new potential study
2 to look beyond that point of implementing more energy
3 efficiency on our system. We recognize that these
4 distributed resources system add a lot of diversity to our
5 renewable portfolio. It takes the pressure off of our
6 transmission lines and the different programs that we've
7 have: energy efficiency, rooftop PV, local solar, demand
8 response, electrification of EVs. Next slide?

9 So this latest IRP adopted a goal of 1,500
10 megawatts of distributed solar by 2036. When we first
11 started the IRP process we were looking at somewhere around
12 300 megawatts and we didn't believe we could go higher than
13 that on our distribution system. And since then we've done
14 several studies that have shown otherwise. And we believe
15 we can go to a higher level of 1,500 megawatts of
16 distributed solar on our system.

17 That also includes energy storage, a portion of
18 which would be on our distribution system. We now have
19 adopted 404 megawatts as our aspirational goal for energy
20 storage by 2030. About 44 megawatts of that will be on the
21 distribution system and I'm not sure how much will be on
22 the customer side versus the distribution station side.
23 But that's to be determined.

24 Right now, as you can see, local solar is a big
25 part of our overall solar program and it does take a big

1 portion of our renewable program costs to implement local
2 solar. It's more expensive than other types of renewables
3 on our system, but does have benefits on our grid. The
4 next slide?

5 So we conducted a Maximum Distribution Renewable
6 Energy Penetration Study. This is similar to the
7 Integration Capacity Analysis that the IOUs did. And we
8 looked at evaluating our circuits. We have 1,600 4.8 kV
9 circuits and 600 34.5 kV circuits and we kind of have a
10 dual voltage distribution grid. The 34.5 kV system is
11 heavily networked and we model that with the power flow
12 when we have a good data from that system. The 4.8 kV
13 circuits, they're radial circuits. They're usually shorter
14 in length.

15 And what we found from the study was that
16 basically we can manage this interconnection process. If
17 we manage it properly and look at not exceeding certain
18 limits on each one of these feeders, that we could actually
19 put a lot more distributed resources on our system than we
20 originally thought. Some circuits can take up to 60
21 percent penetration, some can only take 15 percent. So
22 managing that and understanding and having the data
23 available we found was very important. And we understood
24 from the study, that we really need to do more work on our
25 4.8 kV system. And modeling that and modeling all the

1 components of each one of those feeder networks. We did
2 model 18 of those in detail in this study.

3 And then I'd like to turn it over to Jason. He's
4 going to talk about a DERIS Study that we recently had,
5 recognizing that we needed to integrate our programs
6 together. A lot of our effort in IRP was to accelerate
7 these programs and increase the budgeting and the staffing
8 for these programs. Get them off the ground. And so to
9 manage those programs we did a DERIS study recently and
10 Jason will take over.

11 MR. RONDOU: All right, thank you.

12 My name is Jason Rondou. I manage our newly
13 created DER Program Office and so to follow on to the
14 Maximum Renewal Penetration Study, last year we launched a
15 DER Integration Study. And what that really did is it took
16 a look at what our future is going to look like. The graph
17 on the left is really similar to what a lot of utilities
18 will probably experience in the 2030 timeframe.

19 Particularly in the spring months where it's nice and cool
20 and we've got significant solar generation. And so you've
21 got the large ramp and potential over-generation scenario.

22 So what it did is it looked at our programs, our
23 processes, as well as our organizational structure. And
24 made a series of recommendations for the Department to
25 implement different changes to existing and future

1 programs. Next slide, please?

2 And so as a result of the DER integration study
3 we actually started to begin to implement some of these
4 preliminary findings such as creating some tools for our
5 distribution planners to update their processes by which
6 they integrate solar and other DERs.

7 We've also started to begin to implement some of
8 the organizational changes. As I mentioned we recently
9 created our DER Program Office in our Planning Division.
10 And so that will likely be the first of many organizational
11 changes that we make to better plan and better manage and
12 better incorporate distributed resources. Next slide,
13 please.

14 So as James mentioned a moment ago, a significant
15 portion of our renewable portfolio is solar. And a
16 significant portion of that is local solar and so that will
17 likely be comprised of the four existing programs that we
18 have today. Most of which are customer-focused. Next
19 slide, please.

20 So we still have a Solar Incentive Program, which
21 is our version of the California Solar Initiative. We
22 launched that in 2007, but we actually predated that launch
23 with incentives back starting as early as 1999. And so at
24 the end of 2015, rather than closing the program we
25 continued it to fully expand the remaining incentives. And

1 so we've got probably about \$10 million of incentives to
2 date. A number of things that happened recently, back in
3 2015 we made the commitment to incorporate behind-the-meter
4 solar to levels that would be consistent with the 5 percent
5 non-coincident peak that the investor owned utilities have
6 adopted. And we don't really have a cap, but we sorted of
7 committed to not changing the terms prior to reaching that
8 level.

9 So today we've got over \$300 million paid.
10 Another notable fact here is that we had to, back in 2007,
11 offered a pretty significantly higher incentives than a lot
12 of the rest of the state. And that was in large part due
13 to electric rates being relatively cheaper and making the
14 solar payback for customers a little bit longer and a
15 little bit further out than the rest of the state. And so
16 that actually did help ramp up pretty significantly, and we
17 actually ended up seeing a pretty significant spike a
18 number of years ago that required us to make substantial
19 changes organizationally in order to actually get service
20 levels to an acceptable level.

21 So we were at almost two months to get customers
22 integrated back in our worst backlogged times. And now
23 we're down to days and it's actually a little bit more
24 difficult for us to do that relative to a lot of the
25 investor owned utilities and some POU's that have a fully

1 deployed AMI deployment. And so we actually still have to
2 go install net capable meters, so that's it make a little
3 bit more rigorous. But we've still been able to manage to
4 do that actually in a number of days, so we're very proud
5 of that. Next slide, please.

6 So complementing our Solar Incentive Program and
7 Net Metering Program is our Feed-in Tariff Program, which
8 is generally more geared towards large and mid-sized
9 commercial. And the major difference between this and net
10 metering is that it's grid connected, so we purchase under
11 power purchase agreements 100 percent of the energy for 20
12 years for a set rate.

13 There's a state mandate to do that at a 75
14 megawatt program level and we doubled that a number of
15 years ago. And as of today we're probably a little bit
16 less than 50 percent adoption rate. And tomorrow we are
17 making available the remaining about 65 megawatts of that
18 program, so we're pretty optimistic to see a pretty high
19 adoption of that over the coming six months or so. Next
20 slide, please.

21 So this is a recently completed rooftop
22 distributed solar project in our service territory down by
23 the Port of Los Angeles. It's 15 megawatts AC. It's
24 actually comprised of a number of individual 3 megawatt
25 projects that are individually metered, but 100 percent of

1 that energy is being purchased by LADWP. We're able to
2 contribute this towards our renewable portfolio standard.
3 Next slide, please.

4 At the residential level we've also recently
5 launched a rooftop program where we would actually install
6 residential solar and lease the customer's roof and provide
7 an incentive of \$360 per year. And a little bit later this
8 year we intend to launch a shared solar program where
9 customers could subscribe to shares of solar that would be
10 located either locally in our distribution grid or
11 potentially offsite as well. Next slide.

12 And we touched on this a little bit earlier with
13 a previous presentation, but we do have 175 megawatt
14 target, which a little bit further out -- 2035 or 2030
15 we've increased to 400 megawatts of energy storage. To
16 date, we've got obviously our Castaic-pumped storage, but
17 we're going to be going forward with a 20 megawatt battery
18 storage facility co-located at our Beacon Solar 250
19 megawatt solar project out in the Mojave Desert. So we're
20 very, very excited about that project as well.

21 And what we've also been doing lately is
22 assessing the feasibility of doing solar storage resiliency
23 projects on city and LADWP facilities, particularly
24 critical facilities. And so on the next slide you'll see
25 the first of those, which will go live later this month.

1 This fire station will have about 50 kilowatts of solar in
2 a storage system as well. This happens to -- not happens,
3 but it's located in close proximity to the Aliso Canyon
4 Storage Facility. So the significance of this is really
5 making it sort of a statement project that signals our
6 commitment to adopting this type of technology and actually
7 expanding this to, as I mentioned other critical city
8 facilities. And also gaining sort of knowledge of the
9 engineering and construction and interconnection of these
10 types of systems. So while it's a small system it has a
11 pretty large significance for us. Next slide.

12 Historically on the DR front we haven't had a
13 significant and robust DR program, in part because we
14 hadn't quite needed that. But with obviously very, very
15 high levels of renewable integration and the continued
16 option of DERs, we do project to see a big need for demand
17 response in the future.

18 And so as it stands today we've got a plan for
19 500 megawatts by 2036. But as a result of the DER
20 Integration Study that will be completed later this year,
21 we expect that this target may get dialed up. And sort of
22 those findings will get fed into our Integrated Resource
23 Plan and that'll get updated as part of that.

24 So a couple of recent updates on this is we are
25 developing and hoping to launch and have in place by next

1 summer, a residential program. We have a C&I program
2 currently in operation although it's very young. And last
3 summer we launched what we called the SummerShift program,
4 where we encouraged through rate incentives our very, very
5 large customers to shift their load due to a variety of
6 different ways that would be most suited for them. And so
7 that was a successful program that we piloted last summer
8 and will be continuing this summer as well. Next slide.

9 We also have a fairly ambitious Electric Vehicle
10 Program. We hope to have 145,000 electric vehicle
11 equivalent in Los Angeles over the next five years. We
12 have residential incentive, \$500 per charger, and \$4,000
13 for commercial chargers. We also are pretty aggressively
14 doing direct install on LADWP and City of Los Angeles
15 facilities as well where we actually will deploy those
16 charges. And very often will deploy the Level 3 chargers
17 as well.

18 There is a growing desire to see our EV ambitions
19 grow significantly. So that will be something that we will
20 be studying very closely and very soon. Next slide,
21 please?

22 This is just a few pictures of some EV pole
23 chargers. I think we were the first utility to have one of
24 those. On the right side, you can see a very sleek one
25 that's attached to a utility pole, which is particularly

1 important in Los Angeles given our demographics and how
2 sort of spread out we are and how many opportunities we
3 have for something like this. Next slide.

4 And finally, as James Barner mentioned earlier,
5 we've got a 15 percent energy efficiency goal, which is a
6 very, very significant goal. So as of last fiscal we were
7 ahead of target to meet those goals. And it requires a
8 pretty substantial investment to deploy those, so we've got
9 a very robust portfolio of the energy efficiency programs
10 from direct install to incentives for customers as well.

11 So I think with that I'd be happy to answer any
12 questions that you may have.

13 CHAIRMAN WEISENMILLER: Again, I thank both of
14 your for being here. I would note that actually on Aliso
15 Canyon, the one good news was getting the opportunity to
16 work with Marcie Edwards pretty closely on stuff. And
17 actually to really deepen the relationship between the
18 Energy Commission and CAISO and the PUC with LADWP,
19 confronting the issues down there.

20 But with that in mind, there's sort of one thing,
21 which we've really had to emphasize as we were going
22 through the reliability studies, is really enhanced energy
23 efficiency and demand response. You know, particularly in
24 the summer when we got lucky recently. If you look at the
25 weather charts, although it 125 in Blythe, Santa Monica,

1 San Jose and San Diego never quite all went above 95, which
2 would certainly make all of us pretty nervous. And so
3 actually Sacramento's pretty miserable, but at least the
4 major load centers were not hitting really high
5 temperatures. So we weren't really -- things were a lot
6 better than they could have been.

7 But again, I think as President Picker said last
8 year at our Aliso meeting FLEX is not a good policy. So
9 short-term we have to really step up what we can do on the
10 demand response. What we can do on energy efficiency.
11 Obviously Edison's already stepped forward a lot on
12 storage, so certainly if in any of the storage you're
13 thinking of if you can do it sooner rather than later that
14 would be good.

15 And then certainly the PUCs, we know that
16 assigned Commissioner ordered recently a new OIR on Aliso
17 and made clear that the PUC is taking it pretty seriously
18 in a legislative direction to figure out if there's a way
19 to basically move away from it as a facility. And that
20 would certainly have implications for you as a generator
21 and so again it's important to factor that into your
22 planning also.

23 MR. RONDOU: Yes, absolutely. And we, last
24 summer, accelerated a number of our projects and programs.
25 Our C&I DR program, we doubled based on previous targets

1 for that year. We intend to continue to aggressively push
2 forward with that and that will be a driver for our
3 planning going forward as well.

4 CHAIRMAN WEISENMILLER: I guess the one question
5 I'm trying to understand a little bit, is you heard a lot
6 from the prior panel about the various working that they're
7 doing with More Than Smart. I don't know if LADWP or even
8 NCPA is (indiscernible) them. You had the long list of who
9 you were following on some of the storage stuff, but in
10 terms of participation in that process.

11 MR. CHANGUS: Yeah, NCPA is a member of More Than
12 Smart and I would say probably in the last four months was
13 more actively engaged. But the Annual Energy Efficiency
14 Report and the Solar Report take up a lot of my time as
15 well. But yes it's something that we very much think that
16 the partnership, and the work product and the great deal of
17 effort that's gone in there has really helped advance our
18 knowledge as well as well as far as distributed energy
19 resources in the future had. So it's something that we're
20 very mindful of them paying close attention to.

21 CHAIRMAN WEISENMILLER: Yeah, again and a lot of
22 this originally came out from basically Cal Tech, so it's
23 certainly an entity, which is you guys rely upon on some
24 level. So certainly I encourage you to at least look at it
25 and figure out whether it adds value.

1 Anyone else?

2 MS. BROOK: May I?

3 CHAIRMAN WEISENMILLER: Sure, yeah.

4 MS. BROOK: So I was interested in your Community
5 Solar Shares Program. One of the issues that we have for
6 our Building Standards where we want to require some amount
7 of onsite generation, we wanted to have a community solar
8 option. But our concern is that a customer can sign up
9 with you or SMUD or another utility for a community share
10 program, but there's no obligation for that relationship to
11 continue.

12 Do you offer or would you consider offering like
13 a long-term contract where there would be an obligation for
14 them to stay buying into that program for say 10 to 15
15 years?

16 MR. RONDOU: So the framework of what we had
17 anticipated launching, and the details are not firm, but we
18 intended to do something flexible that was something that a
19 customer could withdraw from if they chose to do. So as is
20 currently envisioned, it would not be a long-term
21 commitment. But that is absolutely something that we can
22 look into, perhaps there would be a version of a program.
23 Maybe there'd be a portfolio of something or a subset or an
24 option to do that, but that's something that we could look
25 into. But it's currently not envisioned to be.

1 MR. CHANGUS: And I would note Plymouth Sierra
2 (phonetic) is actually the first of the NCPA family to be
3 moving forward with the community solar program. It should
4 go live here later this year and their model envisions a 5,
5 10, or 20-year subscription. And it's one of the major
6 topics that we're discussing is not wanting to discourage
7 participation by requiring a long-term commitment.

8 But just if you don't have that long-term
9 commitment then it shifts additional risks to the utility.
10 So the pros and cons of both, and that's very much one of
11 the key concerns that folks are working through.

12 MR. MATHIAS: Thanks to panelists for taking --

13 CHAIRMAN WEISENMILLER: Thanks, a lot. Let's go
14 on to the last panel.

15 MS. RAITT: Great. So our next panel, the last
16 panel of the day, is on Stakeholder Perspectives on the
17 Implementation of DER Action Plan. Matthew Tisdale is the
18 Moderator.

19 MR. TISDALE: Should we begin?

20 MS. RAITT: Yeah.

21 MR. TISDALE: Great. Good afternoon. My name is
22 Matthew Tisdale. I'm the Executive Director with More Than
23 Smart. It's great to be here and I appreciate you inviting
24 me to moderate this panel. I also appreciate how full the
25 dais has been today and how full the whole room has been.

1 Indeed, the whole discussion has been quite one might say,
2 teeming with interesting issues and progress. And for
3 those of us who have been working at this for a while, it's
4 a very gratifying to see that momentum and that interest.
5 So thank you for your attention and ongoing support.

6 More Than Smart is a nonprofit organization.
7 We're based in Oakland, California. Our mission is to
8 support the integration of distributed energy resources
9 into the Grid. And we believe at the core of that mission
10 that doing so will make the grids cleaner, more reliable,
11 and more affordable.

12 And one of the ways we do that to support that
13 mission is by supporting working groups. One of the
14 working group products was referenced and presented earlier
15 by Mark Esguerra in the T-D Coordination Operations. We're
16 very excited about that and thank you, Mark, for being here
17 to present it.

18 Other members of this panel are active
19 participants in our working group as are other members of
20 the audience today. So we acknowledge them and thank them
21 for their participation, because it's really the life blood
22 of what More Than Smart does.

23 The objective of our panel here today is to sort
24 of maybe accomplish two objectives. One, season what we've
25 heard here so far this afternoon with some outsider

1 perspective, perhaps some disrupter perspective. And two,
2 to ensure the imperative of serving customers remains at
3 the front and center of this discussion. And we do have
4 some folks here who have customer satisfaction for
5 breakfast. And so we want to make sure that their
6 perspective is well represented.

7 The panelists who are joining me, they need no
8 introduction. So I'll just give you their names and then
9 let them dive into their perspective: Mark Esguerra, from
10 the Pacific Gas and Electric Company, to my right; Damon
11 Franz from Tesla; Jim Baak from Vote Solar and Carmen
12 Garralaga from SMA Smart Inverters.

13 So thank you all for agreeing to participate here
14 today. And with that I will turn it over to Mark.

15 MR. ESGUERRA: All right, thank you. Good
16 afternoon. And I will just clarify that I am just
17 representing PG&E. I know the earlier agenda had joined
18 IOUs, but my thoughts and my responses are more from PG&E's
19 perspectives only.

20 So specifically within PG&E, the team I lead is
21 focused on Integrated Grid Planning. And essentially a lot
22 of the work that we're doing in Integrated Grid Planning
23 deals with distributed energy resources, the Distribution
24 Resources Plan, as well as the Distribution Energy Resource
25 Provider Tariff. So from the DER Action Plan, there's

1 three distinct tracks as you heard Simon go over this
2 morning. One was focused on rates, the second was on
3 Distribution Grid Infrastructure Planning, and the third
4 was on wholesale markets.

5 A lot of the focus in the work that my team does,
6 and the perspectives I have, are really more around the
7 distribution grid infrastructure planning as well as the
8 interconnection process for wholesale participation for
9 DERs.

10 So some of the perspective we have on the
11 implementation efforts, we talked a lot about the efforts
12 of data and I'll use the framework of the overall planning
13 process. So the planning process essentially starts and is
14 grounded for the load forecast and DER forecast. And
15 PG&E's perspective is that we very much want to -- we can
16 continue to align and adopt the forecasts that are set
17 forward by the CEC, which are then adopted and utilized in
18 the transmission planning studies.

19 And so PG&E believes in utilizing those same
20 forecasts. To the extent that there are, let's say
21 differences or there's huge changes, we'd want to take a
22 closer look. Is there a reason to adapt, which goes into
23 some of my earlier comments about being able to provide
24 more updates during off-cycle IEPR years. Is there an
25 opportunity to provide new information if the utilities

1 have something that's showing we're seeing different levels
2 of growth.

3 Some other interactions we have out there is that
4 we are leveraging a lot of work that's coming out of EPIC.
5 So we've done some work in terms of being able to pull the
6 smart meter data at the end user and being able to
7 interface that into our planning models. And what we're
8 seeing there is giving us a more better depiction of our
9 overall planning.

10 And in the other work that you heard referenced
11 is once you've done some of the forecasting improvements,
12 we've also been working on trying to understand what
13 impacts DERs are going have on the Grid. And since we've
14 done a lot of work on developing a methodology on hosting
15 capacity, More Than Smart has been facilitating a lot of
16 those working groups. It's been moving long, relatively
17 well. We believe we're going to come to a good place where
18 there's a methodology that the utilities can work behind.

19 And then the last item here is we're really
20 focused on the Locational Net Benefits Analysis. So More
21 Than Smart is facilitating a lot of work in that area. We
22 believe we're moving the needle in that space to better
23 understand what the net benefits are.

24 One point that PG&E would add, as potentially
25 something to consider in the net benefits, is really the

1 articulation or somehow how do you factor the actual cost
2 or costs of DERs in order to really understand the true net
3 benefit for ratepayers? So being able to make sure that we
4 don't separate those two items when we're developing any of
5 their tools and methodologies. So I'll pause there.

6 MR. TISDALE: Thank you, Mark.

7 Damon?

8 MR. FRANZ: Sure. Hi, my name is Damon Franz.
9 I'm a Policy Manager at Tesla. I'd like to thank the
10 Commissioners and staff for holding this hearing today. I
11 think this topic is working towards a generational shift in
12 how we think about electricity from the very monopolistic
13 centrally-planned electricity grid to one that relies much
14 more on distributed resources owned by customers, supplied
15 in a competitive market.

16 And I think if it's done correctly, it will
17 produce a grid that is not only cleaner and addresses a lot
18 of climate and pollution issues, but also mitigates a lot
19 of local impacts for large infrastructure projects on water
20 and wildlife. And hopefully creates a more efficient and
21 low-cost grid, so I'd like to thank you for holding this
22 hearing.

23 I'd like to address one comment that Chair
24 Weisenmiller made earlier, that the Grid is the most cost-
25 effective storage resource followed by thermal and then

1 batteries. And I think if you think of storage or you
2 think of a battery as just something that absorbs energy at
3 one time and releases it later, that might be true. But
4 the way we look at a battery is that it provides a whole
5 range of services and values to the customer who owns it,
6 also to the Grid and to other customers. And if you stack
7 all those values, you actually get a very cost-effective
8 resource that can actually do a lot of things.

9 For example, a lot of the batteries that we
10 deploy and have deployed to date, customers are buying just
11 for backup power. So in areas where there's not great
12 reliability they value that battery just for backup power.

13 We also deploy a lot for demand charge
14 management, for commercial customers. And so those are
15 basically just two value streams out of probably 13 or 15
16 that have been identified by groups like Rocky Mountain
17 Institute. And I think the task of the grid integration
18 folks that are working on it is to unlock a lot of those
19 other value streams meant to create a resource that can do
20 things like manage the duck curve, manage intermittency on
21 the Grid, control voltage and frequency regulation. And
22 potentially can avoid transmission lines and distribution
23 system upgrades.

24 So I'm just going to focus on a couple of things
25 that we would like to see as what I think are fairly simple

1 changes that the State could address to unlock some of
2 these values. The first one is there's this idea that we
3 have about the customer grid interface, where a battery
4 located behind the customer meter can really only be used
5 to reduce the customer load. If you're participating in a
6 Demand Response Program, you can only use the capacity in
7 that battery up to the load that the customer is using.

8 So if you have a battery that's capable of
9 discharging 5 kilowatts and the Grid really needs energy at
10 that particular time, but the customer is only using 1
11 kilowatt, you've basically got four kilowatts of wasted
12 capacity. And as we deploy more and more of these
13 distributed batteries, that's a lot of capacity that we
14 could be using to replace power plants and transmission
15 lines that we're not using.

16 So we would like to see sort of the state
17 agencies get together and think about what is the
18 limitation that prevents a battery from participating in,
19 for example, the demand response option mechanism. And not
20 being able to get credit if it discharges energy past the
21 meter.

22 The second thing I think we'd like to address is
23 simply interconnection. There needs to be a lot more
24 streamlining. So in cases where a customer deploys a
25 battery that's configured not to discharge, and we can do

1 that with the switches and relays, we really think
2 interconnection should be no more complex than simply
3 deploying a device or a hot tub or something that consumes
4 energy behind the customer meter.

5 And then finally I'll just mention the importance
6 of data. So as I mentioned, batteries can do a ton of
7 things that can help utilities manage their distribution
8 grids. But we really need access to data on what those
9 needs are. And for it to be transparent and provided them
10 machinery (indiscernible) of a format that third-party
11 providers can look at and see if we can provide a less
12 expensive solution.

13 So with that, I'll conclude and go to Jim.

14 MR. TISDALE: And let me pause you just for one
15 second. Did you all want to ask Daman any questions before
16 we move on?

17 CHAIRMAN WEISENMILLER: I'll just follow up with
18 one. I was holding things generally, because I have some
19 others. Yeah, actually it basically is just showing the
20 numbers. If Tesla has data on the various value streams
21 and the cost, let's put it in the record.

22 MR. FRANZ: Certainly, we can do that.

23 CHAIRMAN WEISENMILLER: I mean, yeah. Again,
24 obviously there's been a long list of value streams and
25 people have done different studies, but if you've got real

1 data that would be fantastic.

2 MR. FRANZ: Yeah. We can do that.

3 CHAIRMAN WEISENMILLER: The other question was
4 just to the extent we've heard about the ISO's DER Program,
5 do you guys participate in that or why not if not?

6 MR. FRANZ: You're talking about the DERP? We're
7 participating in the rulemaking, if that's what you mean,
8 the regulatory process?

9 CHAIRMAN WEISENMILLER: Actually, I'm hoping
10 people actually get into the market. Start selling
11 something into it, as opposed to just being the rulemaking.
12 I realize the rulemaking sets the foundation and you can
13 participate, but --

14 MR. FRANZ: So this is one of those areas where
15 the obstacle I mentioned earlier about not being able to
16 export past the meter, a lot of the batteries that we've
17 deployed so far are paired with solar PV systems. And so
18 even if the customer actually has load and we have a
19 battery and we could do load draw. Because the PV is
20 exporting -- and it may overlap with times when you might
21 have a capacity event called -- we're worried about
22 basically being disqualified.

23 And so for products like PDR and some of the
24 wholesale market capacity products that we might otherwise
25 participate in, we're sort of reluctant. But we are

1 participating in those programs with some of our own
2 facilities just to kind of get practice and get experience.
3 But it'd be had for us to roll them out wider to customers
4 without some of these rules being addressed.

5 MR. CASEY: Yeah, Damon. I'd welcome having
6 further discussions with you about that concern. Because
7 at a minimum I would think there would be a way to manage
8 what you provide and how it's dispatched around that
9 constraint. I realize ultimately you'd like to see that
10 constraint go away, but if it can't why can't the batteries
11 be managed around that constraint?

12 So we don't have to solve it here, but I would
13 really encourage further discussions with our DERP team and
14 you to see what can be done there.

15 MR. FRANZ: Yeah. I think we would love to come
16 up and meet with you guys, and talk about it.

17 MR. TISDALE: Should we continue? Great. Thank
18 you.

19 Jim?

20 MR. BAAK: Great. My name is Jim Baak. I'm the
21 Program Director for Grid Integration for Vote Solar, at
22 least through the end of next week. And after which I'm
23 going to be joining STEM's regulatory team. But my
24 comments today are on behalf of Vote Solar.

25 I wanted to talk a little bit about the vision

1 for distributed energy resources. And my concern is that
2 the vision is somewhat myopic in that it's looking a lot at
3 process, rather than what do we hope to achieve with
4 distributed energy resources. There's a lot of alignment
5 of proceedings and there's a lot of focus on some of the
6 specific issues of integration, hosting capacity and
7 locational net benefits. Those are all very good and I
8 don't want to diminish the work that's been going on the
9 working groups, which I think has been extremely valuable.

10 Between the stakeholders, the IOUs, the
11 Commission and More Than Smart, I think we've done a lot of
12 progress particularly on the Integration Capacity Analysis.
13 We've made some progress on locational net benefits,
14 although not to the extent that we think is necessary in
15 order to really inform sourcing options.

16 But really what we're lacking, in my mind, is
17 what do we really hope to achieve with distributed
18 resources as resources to help California achieve its
19 policy goals? I think if you look at it from that
20 perspective, the barriers or the obstacles really start to
21 come out in higher detail. And that is right now, and I
22 think you mentioned this Chairman Weisenmiller, is that the
23 utilities have a strong incentive to invest capital in this
24 grid, based on the current regulatory framework.

25 So that's at odds with these policy goals where

1 we're asking the utilities to forego making capital
2 investments and instead procure third-party DER services.
3 And that's something that's not in the interest of their
4 shareholders. And I think until we really start to look at
5 aligning their financial goals and objectives with the
6 policy objectives, we're going to be increasing our
7 regulatory oversight requirement.

8 And what I mean by that is if you look at
9 Southern California Edison and all the IOUs' general rate
10 cases you're seeing a lot of investment proposals for
11 significant amount of grid modernization investments.
12 Southern California Edison's Phase 1 general rate case,
13 we've hired a consultant to take a look at it, a former
14 utility distribution engineer. And we've identified about
15 \$4 billion worth of grid modernization investments that are
16 related to facilitating the deployment of distributed
17 energy resources in one form or another.

18 Now our analysis shows that about 2.7 billion of
19 that 4 billion is not justified, currently. And we think
20 it's not justified, because we don't think there's enough
21 emphasis or process put in place to evaluate how can we
22 deploy distributed resources in a manner to avoid those
23 investments?

24 So instead of looking at and putting in
25 bidirectional switches throughout the Grid, how can we

1 deploy distributed energy resources to meet that need? If
2 you've got a high potential growth of electric vehicles in
3 an area that may be driving capacity increase on a
4 distribution grid. Or if you've got a lot of solar PV
5 coming in that may drive backflow across a switch, can you
6 instead deploy energy storage? Either utility owned or
7 third-party owned via incentives.

8 How can we really maximize the amount of non-
9 wires DER alternatives? And there's sort of two different
10 types of DER deployment that we're talking about. The
11 directed DER deployment, which is really the focus of the
12 DRP proceeding. And the autonomous growth of DER, which
13 hasn't been getting as much attention. And how do we
14 facilitate that in a manner that benefits the Grid or
15 minimizes the impacts of that, without making a lot of grid
16 investments? Because the more investments we make into
17 grid infrastructure, then that creates a high revenue
18 requirement, more fixed costs that have to be recovered
19 from the ratepayers.

20 So you have a potential where you're going to
21 have more customers self-supplying. But you're going to
22 put more capital into the rate base that needs to be
23 recovered. So that's going to result in higher fixed
24 costs. Higher fixed costs that can't be avoided by DER,
25 meaning that you're destroying the economics of DER. So

1 instead of having a utility death spiral you have a DER
2 death spiral.

3 That's my concern, is that we're going to have so
4 much over-investment potential in the Grid that it will
5 impact the economics of distributed energy resources in a
6 negative way. And that's largely driven by the fact that
7 the utilities still have a significant motivation to invest
8 capital in the Grid in order to create shareholder value.

9 And if we look at this again from stepping back
10 into what's the vision for DER, how do we want to deploy
11 that, to me that comes into striking focus of this is
12 something we need to address. Because the pace, in my mind
13 of the market deployment of DER -- in other words customers
14 buying electric vehicles, rooftop solar and battery storage
15 systems -- is outpacing our ability to create and implement
16 regulations to really cost effectively optimize the
17 deployment of that DER.

18 So we kind of have a mismatch of timing and a
19 mismatch of financial incentives and sort of policy goals.
20 And I think that what we should be looking at are, and what
21 we're not doing a lot of yet, is looking at other sourcing
22 options. And sourcing options that may include a
23 distribution market for DER.

24 We've done a lot in distribution deferral, using
25 competitive solicitations. That's been a big focus of what

1 we're doing in the efforts at the DRP, but there's limits
2 to that. It takes a long time. And there's a long process
3 to go through that. So if needs change it's harder to go
4 through the regulatory process no matter how much we
5 streamline that, to be able to act quickly enough to meet
6 those needs in the most cost effective manner.

7 So other sourcing options, whether its tariffs or
8 incentives or potentially market mechanisms need better and
9 more detailed, more granular information. Like a
10 distributional marginal cost instead of locational net
11 benefits, which really is just intended to be indicative
12 value to guide DER deployment for DER developers.

13 But we've heard the utilities say time and time
14 again in the working group meetings that the LNBA should
15 not be used to inform tariffs or sourcing mechanisms. And
16 we need to get to the point where we can actually develop
17 that type of information and the data platform to be able
18 to get access to that information in a timely manner to
19 inform DER deployment, to inform DER developers, who can
20 then deploy those resources.

21 And then you don't have as much of a concern for
22 contingency. If you signed a PPO with somebody and they
23 don't show up what happens then? Well, do you go with the
24 traditional utility investment or do you go back to the
25 market? Do you have enough time to go back to the market?

1 As opposed to having a distribution market where you have a
2 price that's transparent and it's published whoever the
3 lowest bidder is. And just like an ISO or are RTO you have
4 somebody bidding in for that. It's much more dynamic and
5 it supports more DER.

6 And again if the goal is to animate the market
7 for DER, deploy DER in a cost-effective manner, create
8 customer choice then I think the approach that we're taking
9 now is very limited. And it doesn't have that bigger,
10 longer-term vision that I think we need to have in order to
11 really achieve what I believe is truly animating the market
12 for DER and leveraging these resources to meet the State's
13 very ambitious climate goals.

14 And so with that, I'll leave it to --

15 CHAIRMAN WEISENMILLER: No, that was good. I was
16 going to say you got the -- my answer to you was going to
17 be, hey look, we're all focused on greenhouse gas
18 emissions. We're focused on the climate goals. If this is
19 a tool to address those it gets interesting. If it's just
20 a hobby -- you know, it's got to focus back on that.
21 Climate is, as the Governor says, the existential problem
22 of the day.

23 Now having said that you also have to look at the
24 utility structure, and if you look at again going back to
25 the en banc it's the same thing as I said there.

1 I mean, the good news is we're not a rate case.
2 We're not doing rate cases, so that's not my headache. But
3 having said that it's back to Alfred Kahn, what's the
4 utility function? It's where there are economies of scale.
5 And where are the competitive markets is where there's not
6 economies of scale. So I mean you have to look at that
7 philosophical how does that fit in?

8 And obviously, one of the things that
9 (indiscernible) initially, utilities are not necessarily
10 known as innovative entities. But having said so trying to
11 get some innovative entities, trying to get some other
12 sources of capital in. But as I said, it's something which
13 has to connect back to climate change. You could really
14 get me interested in it.

15 MR. BAAK: And that's an element of the
16 evaluation of is the DER solution, or the alternative, how
17 does that impact our climate goals? And that has to be
18 part of that evaluation.

19 And I look at what's going on in New York and
20 they've created a vision that really establishes a role for
21 utilities. And that same thing I think we're lacking here
22 is that regulatory certainty. And I don't fault the
23 utilities, because they need that regulatory certainty of
24 what is the role of the utilities moving forward? And how
25 do they actually ensure that they are providing value to

1 their shareholders? I think we have to have that
2 discussion. We have to have that evaluation.

3 You know, what they lack in New York is a lot of
4 what we're doing in California. They don't have the AMI
5 data. They don't have a lot of the software tools. They
6 don't have a lot of the data that we have here. And we've
7 got I think a world-leading effort to try and get that very
8 granular locational data. And combine it to inform this
9 process, but we sort of lack that longer-term bigger,
10 broader vision of where do we go with this? What is the
11 role for utilities? What is the role for third-party
12 aggregators? What is the role for consumers in this?

13 That to me is very cloudy. And I think we need
14 to have more policy certainty for all players in order to
15 really maximize net benefits. Otherwise, we're going to
16 continue to just be trying to catch up with the autonomous
17 growth of DER and we're never going to be able to do that
18 by trying to get regulations to match the pace of market
19 evolution.

20 MR. TISDALE: May I make a suggestion?

21 MR. BAAK: Sure.

22 MR. TISDALE: I bet that everybody at this panel
23 has something to say about the clarity of the vision for
24 DER and the impact of the vision statements and the
25 roadmaps that we have on investor certainty and on the

1 company's bottom line.

2 I was going to suggest that let's hear from
3 Carmen. And then come back and ask an overarching question
4 of all the panelists about the clarity of the vision as
5 we've heard here in the documents today. And then the in
6 ongoing action plan and have a little bit broader
7 conversation on the regs.

8 CHAIRMAN WEISENMILLER: That's really good.

9 I guess the other thing I'd want to throw out is
10 at least Ron Nichols, I believe in January, threw out the
11 notion that Edison wanted to become the Distribution System
12 Operator. I've no idea where PG&E is on that or how anyone
13 at the piano would react, but that would be another piece
14 I'd like to hear.

15 MR. TISDALE: Indeed.

16 Carmen, thank you. And I think we have some
17 slides for Carmen. Great, they're coming up.

18 MS. GARRALAGA: Okay. Good afternoon. My name
19 is Carmen Garralaga. I work for SMA America and my
20 presentation today is about Role of the Smart Inverters in
21 DER Integration. So next slide, please.

22 So for those who don't know SMA, we are a solar
23 inverter manufacturer. Our headquarters are based in
24 Germany, so we are German engineering in solar inverters.
25 The headquarters in the U.S. are located near Sacramento,

1 in Rocklin. And we are represented in 20 countries, but we
2 have inverters installed worldwide. So we have over 55
3 gigawatts of solar inverters worldwide. We provide all
4 sorts of solar inverters from utility scale, commercial,
5 residential and also for storage systems. In North America
6 we have over 10 gigawatts installed and a large part is in
7 California.

8 So we have been recognized many times for
9 different organizations. Recently, we were awarded with
10 the Inter Solar Award. And one of the key things is that
11 we operate the largest PV monitoring database, because we
12 can monitor all these inverters. So next slide.

13 So why use smart inverters. Well, inverters are
14 basically the interface to the Grid, so they will convert
15 the DC power from the solar system into AC power. And
16 initially they were just doing these conversions of DC to
17 AC. But now with the high integration with renewal
18 energies, we need to have more functionalities. So solar
19 inverters can have functions for grid management, so that
20 they can support the Grid by changing their configuration.
21 They can react on the different grid situations like they
22 can reduce the active power. They can provide reactive
23 power, active power.

24 Also they work -- like in residential systems
25 they can have energy management functionalities. So you

1 can see from your smart phone if you have good energy
2 production from your solar system. And you can switch on
3 some loads for instance: the dishwasher, the washing
4 machine. So the consumer can really check what is going on
5 in the solar system.

6 They also, in residential systems and also in the
7 utility scale systems, we can also provide storage. So we
8 can put battery systems connected to the inverters and they
9 can also react depending on the grid conditions. Last, but
10 not least, they can monitor all the plants. They can
11 monitor the batteries.

12 And also you can remotely control them. So like
13 in some cases, in some utilities are also in control of the
14 solar inverters. They can send commands. They can send
15 curtailing commands to reduce active power. They can
16 change the power factor, reactive power, so depending on
17 the utility requirements.

18 Here, we also see another example for utility
19 scale systems. They can also receive commands externally.
20 And the inverters are really fast, so they can react
21 quickly in a matter of milliseconds or seconds they can
22 change quickly the active or reactive power they can
23 provide. Next slide.

24 So how we are participating in this Action Plan?
25 We have been working for many years in different working

1 groups. So representatives from SMA, here in the U.S. and
2 also in Germany, they are participating in these working
3 groups for known inverter grid integration issues.

4 We are also in the California Rule 21 working
5 groups, to give recommendations to explain what the
6 inverter are capable of doing and what should be used or
7 not depending on the requirements of the Grid. Also, the
8 Smart Inverter Working Group that this morning they were
9 talking about; the HECO Rule 14, which is for Hawaii; and
10 other working groups like for communications, like the IEEE
11 2030. So these groups are also to start discussing about
12 what communication protocols can be used to control the
13 DER.

14 Other things that we also do, we always try to be
15 close to the utilities, so we can understand their
16 problems. And also we do that in different countries. So
17 we try to work always with local utilities in understanding
18 the problems and trying to propose solutions with solar
19 inverters, and also now with the storage inverters.

20 Another group that we were taking part of is the
21 APS Solar Partner Program (indiscernible) public services.
22 So this was a pilot program that APS was renting homeowner
23 rooftops. And they were using our inverters to see the
24 different functions of the grid management functionalities
25 of the inverters, so how they were able to provide these

1 reactive power or power factor to the Grid. And the second
2 phase will be to integrate the storage as part of the
3 program. Next slide.

4 So as we also were seeing this morning, the
5 Action Plan has now a deadline on September 7th. And Phase
6 1 will be deployed, so the inverters need to comply with
7 Rule 21. So with this Rule 21 the inverters have different
8 functionalities, so these are listed here like anti-
9 islanding. The inverters can detect in case there is some
10 island situation and they will disconnect from the Grid.
11 They have specific voltage ride through settings, and
12 frequency ride through settings, which means the inverters
13 are all the time monitoring the voltage and the frequency
14 of the Grid.

15 And they can stay connected or disconnect,
16 depending on what is required. And also we put the
17 thresholds and the timing when they need to stay connected
18 and when they need to disconnect.

19 Also, an interesting part is the Dynamic Volt/Var
20 operation. So depending on the voltage of the Grid, the
21 inverters can provide some reactive power to support the
22 Grid. This way they try to keep the Grid on and they try
23 to improve the quality of the Grid.

24 And also they can have some ramp rates and soft-
25 start methods, so they inject the current into the Grid

1 with some rate, so it is not solid. It is in a staggered
2 manner.

3 Finally, they can also have some response
4 depending on the frequency. Like if the frequency goes
5 very high, they can reduce the power coming from the solar
6 inverters. Next slide.

7 So this is the last slide I have. As future
8 steps, we are also working on different things like
9 communications. These will be Phase 2 and 3, how inverters
10 can monitor and can be remotely controlled by the
11 utilities, or different types of control. Also how you can
12 forecast also the resource, how you can what's going to be
13 produced in the next hours.

14 And we are working also in battery integration,
15 so adding batteries, it can help to the Grid. So there is
16 no need to update sometimes the local grid. It can support
17 the Grid, like in some cases if there are problems with the
18 frequency there are very interesting frequency controls.

19 For instance, right now in the UK they are really
20 working on 150 megawatt projects with our inverters to
21 install this year, batteries. And to support the Grid and
22 keep the frequency up there within the range it needs to
23 be, because they really have problems with the frequency in
24 the UK.

25 Finally, also the battery integration can support

1 the growth of renewable energies in a sustainable way. So
2 I think that's all from my presentation.

3 MR. TISDALE: Thank you, Carmen. We appreciate
4 your presentation.

5 I would suggest that if there's questions for
6 Carmen, on the role of smart inverters let's have those and
7 then we can reassess some of the broader themes, if you
8 would like?

9 MR. CASEY: Thanks. Carmen, a great
10 presentation. And let me just say the California ISO has
11 had the opportunity to work with SMA on some inverter
12 issues and just want to comment what a great partnership
13 we've had with you. And your company has been very
14 responsive to the issues we've identified, so we truly
15 appreciate that.

16 MS. GARRALAGA: Thanks.

17 MR. CASEY: And I think you're spot on in terms
18 of the capability of the inverter technology to provide
19 central grid services. And Commissioner Hochschild
20 mentioned earlier the pilot we did for solar and NREL.
21 Essentially putting a 300 megawatt solar project through
22 its paces, in terms of its ability to provide the services
23 you mentioned: reactive power support, frequency
24 regulation, response to frequency disturbances.

25 And the bottom line is the technology is amazing.

1 It outperforms any conventional resource. So as we look at
2 kind of the next generation of renewables and how we go
3 about procuring those, we need to make sure we secure those
4 grid capability services. Because otherwise we're going to
5 still be dependent on conventional plants to provide them.

6 So I think the future is quite bright for the
7 inverters to really, along with the advanced control
8 systems, to really step up to provide those services.
9 Even in the evening, you can leverage inverter technology
10 to provide voltage regulation and the like, so it's really
11 quite encouraging.

12 MS. GARRALAGA: Yeah. Thank you.

13 MR. BAKER: Thank you for your presentation, just
14 a question. I'm somewhat a novice in smart inverters. And
15 I'm wondering the extent to which there are already smart
16 inverters deployed out there in the California system that
17 have some of these latent capabilities, these Phase 1
18 capabilities, that just aren't switched on yet. How big of
19 a scale is that really?

20 MS. GARRALAGA: Yeah, so most of the inverters
21 which are currently connected, they can be adapted to the
22 new Rule 21. Sometimes we just need to do some firmware
23 updates, so they can change the settings to the new
24 settings, which need to be now deployed in September.

25 And the thing is in our inverters they've had

1 these capabilities for a long time already. We are a
2 German manufacturer, as I said. And in Germany they were
3 requesting this sort of regulations some years ago already.
4 So they just need to be activated. Some of them might be
5 slightly different than the real need that we need to
6 activate, like some thresholds might be slightly different
7 for older units. But most of them can be activated and
8 shouldn't be so difficult.

9 Actually, right now we are also trying to update
10 some settings in our inverters in plants in California.
11 Because of the Rule 21, so we are trying to change for the
12 utility scale plants, frequency settings to better measure
13 the frequency of the Grid, so we stay connected for a
14 longer time.

15 MR. CASEY: Simon, if I might? I also think that
16 it does vary depending on the inverter manufacturer and the
17 project, because there are additional costs to securing
18 some of those capabilities, especially with the control
19 systems as well. And so I think it's important that
20 there's good alignment with the utilities and the PUC on
21 the importance of securing that capability even if it has
22 an incremental cost, because we can leverage it down the
23 road.

24 And there's also an opportunity cost. If you are
25 providing upward regulation management or you're being held

1 back to provide frequency capability, it means you're not
2 producing real energy. So do the power purchase agreements
3 allow for that kind of use of the resource. And I think
4 those are all things we have to look at.

5 MR. BAKER: Yeah, just to follow on to that a
6 little bit. So how are you structured in terms of your
7 communication networks with your customer base of customers
8 that have installed your technology here in California? I
9 ask the question in terms of like how easy would it be to
10 do like sort of a large scale outreach upgrade to existing
11 installed systems to come up to you know the new Phase 1
12 inverter standards?

13 And there may be a cost associated with that, of
14 course, but I'm just thinking there could be a role for
15 that. And as we have looked to some of the utility
16 planning efforts and any parts of their systems that might,
17 for example, be experiencing voltage issues. Might a
18 strategy be to go out and basically just try to upgrade
19 existing smart inverters, and activate those latent
20 capabilities to the Phase 1 standard. Might that be a cost
21 effective alternative to maybe a traditional utility
22 infrastructure alternative?

23 MS. GARRALAGA: Yeah. As I was saying we are
24 currently doing this kind of upgrades for larger plants, so
25 currently we are updating plants, which are over 20

1 megawatts. And the ones which are connected to the
2 distribution line, we are updating then to the Rule 21.

3 Of course, larger plants are easier, in terms of
4 they always have some communication systems. For
5 residential inverters, that might be more complicated.
6 Sometimes they don't have access to a network and we are
7 not really controlling those plants. Larger ones we
8 usually have more visibility, so we always contact
9 customers and they provide us the network dictates and we
10 can do upgrades.

11 MR. TISDALE: Good. Thank you for those answers,
12 Carmen.

13 Would we like to have a little bit more time in a
14 broader discussion or are you all satisfied?

15 CHAIRMAN WEISENMILLER: No, let's hit your two,
16 the question you had and the question I had. And see how
17 far -- I'm sure we'll lose everyone at some stage, but
18 let's at least answer those two questions.

19 MR. TISDALE: Perfect, so the way I wanted to
20 reset the theme that Jim had brought up was that one of the
21 main goals with the various action plans and roadmaps, some
22 of which have been exhibited and updated today, is to
23 provide stakeholders and your investors greater certainty
24 in the direction of California's policy.

25 And I wanted to just ask an open question of all

1 of the participants in this panel how's that going? How
2 effective has the plans been toward that end? Is
3 California's vision for DER clear and what improvements do
4 you think could be made going forward?

5 Mark, would you like to begin?

6 MR. ESGUERRA: I'll take a start at that. So
7 again, most of my efforts have been on the planning and the
8 wholesale interconnection portion. And as I mentioned,
9 there's three tracks.

10 Some other thoughts that we've had was more
11 integration with the rates track. There's been a lot of
12 discussion about how the planning track will tie in with
13 the wholesale interconnection track and in some earlier
14 discussions I've covered where that's at, so it's started
15 to become a little bit more visible. But seeing can we
16 integrate more make it a little bit more transparent on how
17 the rates track could better inform the planning track and
18 wholesale track and vice versa. I think that's one area
19 we'd like to see maybe some more opportunities there.

20 The other is more clear linkage to the IRP. I
21 mean, I think Commissioner Weisenmiller had brought up the
22 IRP and the environmental goals. We firmly believe that
23 the planning should start really there at the resource
24 level. Like what resource mix do we need from an
25 optimization perspective, for environmental goals?

1 And then the link back to the distribution side
2 would be with these different portfolios of potential
3 optimization and how to help achieve those environmental
4 goals. What's the impact? How does it integrate with the
5 T&D grids? Is there going to be certain investments on
6 certain portfolios? How does that factor in? Does it
7 defer certain investments that utilities are seeing, so to
8 Jim's point.

9 So with the environmental goal first in mind, how
10 does it flow down as well as how are rates going to be kind
11 of interwoven in this? I know there's a lot of work there,
12 but I'm really intimately involved in the planning in the
13 wholesale track. And I just haven't seen as clear an
14 alignment or linkage there.

15 MR. FRANZ: Yeah, I would agree with your plan on
16 rates. And I'll get back to you in a second, but I just
17 want to address the broader question of how are we doing in
18 terms of moving towards markets for DERs and assuring
19 investor certainty.

20 And I think coming from a company, SolarCity,
21 that was very focused on the regulatory side of moving to a
22 larger company, Tesla, who recently purchased SolarCity,
23 it's very much a consumer-focused product manufacturing
24 company. You know, I think that there is a desire to try
25 to find some sort of certainty for the products we provide.

1 So for example, if we are generating energy behind the
2 customer meter and storing that energy. And not exporting
3 to the Grid and basically just reducing the customer's
4 consumption of electricity, I think we would like to have
5 some certainty that there's some sort of protection that
6 the regulatory framework is not going to reach behind the
7 customer meter and impose kind of charges and fees that
8 further erode the value proposition. Because it's very
9 hard to plan a long-term business if you can't even have
10 certainty that you're going to have some kind of protection
11 from your value stream being eroded.

12 But I think that where that kind of relates to
13 rates, is that in order to kind of achieve that operating
14 space where we can kind of deploy products that serve
15 customer and grid needs I think rates really need to align
16 with the cost causation. And one of the things that having
17 advanced DERs that are very responsive and networked, is
18 that to the point that Simon made earlier, is that demand
19 response really needs to be almost invisible to the
20 customer.

21 Having products like battery storage and smart
22 inverters and other like smart appliances that allow for
23 immediate response to rates allows for the customer
24 response to be seamless, so the customer doesn't even know
25 that the house has responded to the rates. And it allows

1 the rates that can be almost perfectly aligned with cost
2 causation. So instead of having a time-of-use rate where
3 it's 3:00 to 9:00 every single day, maybe one day the peak
4 is 4:00 to 6:00. And maybe one day the peak is 5:00 to
5 7:00. You can have that sort of shifting rate that aligns
6 better with the actual cost of providing the electricity.

7 And I think what that will do is allow for things
8 like in the Title 24 Zero Net Home Regulation, you can have
9 battery storage and other load-shifting technologies that
10 can be installed. And can be put on a rate where they're
11 responding to the utility signal. And the regulator can be
12 confident that those appliances are going to be operating
13 in a way that actually maximizes their value to the Grid
14 and their greenhouse gas reduction potential.

15 Because I think right now what your folks who
16 work on Title 24 are struggling with is we can put like
17 batteries and load-shifting devices in homes, but how do we
18 know there's actually going to be operating in that
19 greenhouse gas optimal way? And I think the rates are kind
20 of a key to that.

21 MR. BAAK: I'm going to build on my earlier
22 comments. I think in terms of how it's going now, we have
23 a real concern about the grid modernization piece and where
24 this is going in the general rate cases. And there's a
25 real concern for overbuilding and creating some stranded

1 investments, because we don't have the processes yet in
2 place to really fully evaluate the non-wire alternatives.

3 And not just for distribution investment deferral, but
4 to support autonomous DER growth. I think I heard in the
5 presentation this morning on the DER Action Plan, I think
6 it was Gabe that made the statement something like that we
7 need to see which investments in the Grid would be
8 necessary to facilitate autonomous growth of DER.

9 Well, in addition to that, we need to look at are
10 there DER alternatives that can support autonomous DER
11 growth? In other words, can you direct a storage or demand
12 response deployment in an area where you have potentially
13 high growth of DER to avoid that?

14 And we don't have the regulatory oversight yet in
15 place to be able to evaluate did the utility look at non-
16 wires alternatives? And that's a new function for
17 utilities as well and that's something that we think needs
18 stakeholder engagement.

19 So we're still debating whether or not the
20 Distribution Planning Advisory Group should have market
21 participants or not. And we believe it should, because
22 there's a lot of new technology and new services. A lot of
23 this is very fresh. It's new. The utilities may not have
24 all the information about what the services and
25 capabilities of demand response are. So we need to have

1 that in order to be able to evaluate what those
2 capabilities are.

3 You don't want industry stakeholders on anything
4 that's looking at procurement, but you need to have that
5 expertise available. And you need to have the expertise at
6 the Commission, in order to be able to really evaluate is
7 there a non-wires alternative? You need to have the data
8 there. You need to have the process there in place. And
9 that's not there.

10 The other thing is the locational net benefits
11 analysis, in our opinion, is not ready for prime time.
12 It's using indicative values. We've heard that it's not
13 really designed, from the utilities prospective to inform
14 sourcing options. It's really to just provide direction
15 indication to DER developers. But we need something that
16 gets to very granular, what is the value? What is the net
17 benefit, the avoided cost of this particular location on
18 the Grid? And what are the optimal portfolio of resources
19 that could be deployed in order to meet that need?

20 We're not there and I think we need to get to a
21 distributional marginal price. And I think the utilities
22 all have software from the vendor that has the ability to
23 get a distributional marginal price, but we haven't really
24 explored that very much. And we to explore that.

25 I'll also agree that we need to better inform the

1 integrated resources planning process, so that we can
2 really fully value the full benefits of distributed
3 resources on the system, the transmission grid, the bulk
4 system as well as the distribution system. That's an
5 important piece of that.

6 And to inform the NEM 3.0, the next iteration of
7 this. And that's really going to be difficult until we get
8 a better understanding of the true value and the full value
9 stack of solar and other forms of DER, to be able to really
10 inform the NEM 3.0. And I don't think we're ready for that
11 yet and it's getting closer and closer to that.

12 So the last piece is really the sourcing. We've
13 started talking about distribution deferral. We've looked
14 at doing RFOs for procurement. But we haven't really
15 looked at other sourcing options whether it's tariffs,
16 incentives. And I really think we need to start exploring
17 the options of markets, distribution market prices.

18 We've got some innovative tariffs that San Diego
19 Gas & Electric, for instance, deployed with their electric
20 vehicle program; a day-ahead price for their EV charging
21 program. That's very innovative. We want to see more of
22 that kind of innovative sourcing option. But we have to
23 have an exploration of what are the potential options for
24 sourcing these DER.

25 We're doing a better job of identifying where the

1 locations are. We can get values for that. But then how
2 do we actually source the DER in those areas to know that
3 we can have DER to provide those resources when they're
4 needed. So that we don't have any gap between the
5 utility's planning cycle to do an alternative conventional
6 upgrade to the Grid. We need to be able to do that. And
7 then we're not there yet.

8 And again to me this is really based on the fact
9 that we don't have -- we haven't begun exploring the
10 regulatory framework changes that would align the
11 utilities' business model with these policy goals.

12 MR. TISDALE: Thank you, Jim.

13 Carmen, would you like to comment on the
14 question, is California's vision for smart inverters clear
15 to you and your investors?

16 MS. GARRALAGA: Okay. So from the inverters'
17 point of view the working groups have been very effective.
18 And they have been successful, because there has an
19 agreement on what is needed. And it has an agreement on
20 what we can do from the inverter.

21 I think we need to continue working on these
22 working groups to continue with the next two phases and
23 achieve an agreement on those phases too, on communications
24 and storage as well.

25 And how to do that? Well, we can always see what

1 other markets are doing. We don't need really to reinvent
2 the wheel, so we can follow international standards for
3 communications maybe or things like this. But so far it's
4 been successful, the agreement we achieve.

5 MR. TISDALE: Thank you.

6 Chairman?

7 CHAIRMAN WEISENMILLER: No, I would suggest again
8 looking for people in their comments, because I think we're
9 probably at that stage where we can see if we have public
10 comments, it would be good to think a little bit about
11 priorities.

12 Those of us who've been following the PUC for
13 years know that things go relatively slowly, but also
14 carefully. And something that has to be phased -- so
15 anyway I'm just saying if you're thinking about any number
16 of times when we've tried for really big changes -- it ends
17 up going through this process, which everything takes a
18 long time. And in the meantime the questions is what
19 happens with things you should be investing in while you're
20 going through that process to get to the ultimate end
21 state. And then you can get into some real traps.

22 So somehow you have to figure out what are the
23 most important pieces of this puzzle in some sort of
24 sequential fashion? How do you resolve those?

25 And I would also note that typically looking at

1 the Commission, the parties can settle issues realizing
2 that there's some issues, which are probably going to have
3 to be litigated. But if there's anything you can settle
4 and get off the plate you're more likely again to get there
5 wherever there is, faster than if you're going to litigate
6 every single issues through this process.

7 But again certainly looking for suggestions from
8 folks are what are the major things that we can do to move
9 forward on these topics?

10 And again thinking a little bit about the things
11 the three of you can step outside and just get off the
12 plate with Matt and take back to the Commission. As
13 opposed to things where you want an ALJ and frankly you
14 never know what the ALJ is going to decide on this type of
15 complicated technical issue, right?

16 So you've got a certain amount of risk for your
17 clients that at the end of the day, you're going to win on
18 the stuff that doesn't matter and lose on the big stuff if
19 you take a fully litigated approach. So make their jobs
20 easier. (Laughter.)

21 MR. TISDALE: Great. Well, thank you panelists
22 for being here today, for your time, for your perspective.

23 And with that we'll turn it back over to CEC.

24 CHAIRMAN WEISENMILLER: Thanks. Thanks.
25 Actually I'm sorry, I just wanted to make sure everyone

1 else -- yeah. Okay.

2 So I think we're at that stage of public comment.
3 And just to remind everyone if you're in the room we're
4 looking for a blue card or you can line up. But ultimately
5 our court reporter's going to want to know who you are.

6 And at this point, I have one blue card from Udi?

7 MR. MERHAV: Yes, sir.

8 CHAIRMAN WEISENMILLER: Please come on up and
9 introduce yourself and make sure you give a business card
10 to the court reporter. It's the dais, yeah, right up
11 there.

12 MR. MERHAV: (Indiscernible) like so?

13 CHAIRMAN WEISENMILLER: Yes.

14 MR. MERHAV: Thank you Mr. Chairman. My name is
15 Udi Merhav. I'm the founder and CEO of energyOrbit. We
16 are a software company. We help utilities and third
17 parties implement energy efficiency programs.

18 And one of the mantras that I subscribe to is
19 that today's energy efficiency customer is tomorrow's DER
20 customer. And the question that I put on the blue card is
21 what considerations are there, if any at this point, in
22 terms of leveraging the existing energy efficiency
23 activities that have been taking place to date to create
24 the synergies and to further increase and accelerate
25 adoptions of DERs around the State of California?

1 That's what I have. Thank you very much.

2 CHAIRMAN WEISENMILLER: Well, actually let me ink
3 -- we'll get to this point soon about when the written
4 comments are due, but we would certainly love to hear from
5 you if you have specific suggestions on that topic.

6 MR. MERHAV: So the suggestions also --

7 CHAIRMAN WEISENMILLER: In your written comments,
8 yeah but you can go on. You still have a couple of
9 minutes, you can go on now.

10 MR. MERHAV: Okay, so the way we see it and we've
11 been doing this for ten years now. I think that one of the
12 few times where a utility has the opportunity to strike a
13 meaningful relationship with a ratepayer -- I think it's
14 become more politically correct to call them customers --
15 but nonetheless that is when an energy efficiency project
16 takes place. I think that is one of the few times, as I
17 said before, where a utility has the opportunity to create
18 a meaningful relationship with a customer. The question is
19 why do you do this?

20 So you, whether it's C&I or residential, you went
21 there and you installed energy efficiency measures. You
22 are done with the project. What's next? How do you
23 further leverage this to introduce DERs around the nation,
24 or around the state at this point?

25 So for example, I live in Sebastopol. I can see

1 in the future Sebastopol becoming a microgrid. Okay. If
2 it becomes a microgrid how do you go out and you locate
3 those customers that already have a predisposition to
4 participate in their models, because they're already on
5 board in terms of energy efficiency? So you may have
6 clusters of storage, public storage facilities in
7 neighborhoods. How do you very quickly get the buy-in from
8 residents to actually have a public storage facility
9 planted somewhere in their midst?

10 How do you get those folks to further participate
11 with in terms of -- you know, by the way I have to admit I
12 did not realize I actually came here with my EV, with my
13 Volt, in 238 miles. I was able to do this. That one day I
14 may have the option not just to suck juice from the Grid,
15 but actually use my battery to put some back. Things like
16 this. I hope you get my drift.

17 CHAIRMAN WEISENMILLER: Yeah, no certainly in
18 public comment we generally don't have the back and forth.
19 But I was going to say certainly if you sold energy
20 efficiency -- Simon and I were talking at lunch -- if you
21 provided an HVAC upgrade for someone it's like well, can
22 you sell them the rest of the energy efficiency portfolio?
23 And it's probably no secret that Tesla having sold someone
24 a PV system would be happy to sell them the battery or if
25 they bought a car to sell the PV and the batteries. So

1 again, upselling is sort of a classic approach.

2 MR. MERHAV: Upselling, upeducating.

3 CHAIRMAN WEISENMILLER: Yeah. Thank you.

4 MR. MERHAV: Thank you very much.

5 CHAIRMAN WEISENMILLER: Anyone else in the room?

6 (No audible response.)

7 Anyone on the line?

8 MS. RAITT: Yes, Allison Johnson on WebEx. Go
9 ahead.

10 CHAIRMAN WEISENMILLER: Please go ahead.

11 MS. JOHNSON: Hi, thank you. This is Allison
12 Johnson with the Interstate Renewable Energy Council. I
13 really appreciate you putting together this workshop and
14 the wide range of presentations we've heard today.

15 For those of you not familiar with us, IREC is an
16 organization that works nationally to encourage states to
17 adopt policies and regulatory reforms that expand access to
18 and streamline integration of DERs to optimize the use of
19 their many benefits. I just wanted to quickly echo two
20 points that Jim Baak made about priorities and about the
21 long-term vision for incorporating DERs into the Grid.

22 First, we see leveraging the full range of
23 benefits of DERs as a top priority. And so it's really
24 important that screening for DER options and alternatives
25 precede decisions to make new capital investments. And so

1 that's tied closely to the second point that we agree that
2 the utility business model remains a significant barrier to
3 achieving policy goals.

4 We recognize that we're in a period of
5 significant change. And that reaching alignment on this
6 particular issue is going to take a lot of time. So in the
7 short term, we see the best fix as building more
8 transparency into the planning process. So stakeholders
9 can identify opportunities where we can rely more heavily
10 on DERs and access a wider range of their benefits.

11 So I appreciate the direction that California is
12 moving. And that the State continues to be one of the key
13 leaders in this. And I'm looking forward to seeing next
14 steps from you. Thank you.

15 CHAIRMAN WEISENMILLER: Thank you.

16 Anyone else?

17 MS. RAITT: No one else on WebEx.

18 CHAIRMAN WEISENMILLER: Okay. Let me turn to my
19 fellow panelists and dais members and see if anyone else
20 wants to do a wrap-up comment?

21 Mr. CASEY: Well, I would say it was a really
22 excellent discussion today. I think I learned a lot about
23 where we're at and all these very disbursed efforts going
24 on, on DER. So I appreciate all the participation from the
25 panelists and the audience and look forward to following it

1 going forward.

2 CHAIRMAN WEISENMILLER: Simon?

3 MR. BAKER: Likewise, I very appreciated the day
4 and the content. I think it was an indicator of great
5 interest in this topic. The fact that we were kind of
6 behind the clock the whole day and we had a lot of
7 discussion from the dais and I appreciate everybody's
8 input.

9 COMMISSIONER DOUGLAS: And I'll just pile on to
10 the thanks for the great panel. Thank you.

11 CHAIRMAN WEISENMILLER: Yeah.

12 COMMISSIONER DOUGLAS: It was a great day, a
13 series of panels.

14 CHAIRMAN WEISENMILLER: I want to thank everyone
15 for their participation today. And again it's an important
16 topic and it covered a lot of aground. And again Heather's
17 going to tell you when written comments are due, which
18 we're looking forward to.

19 MS. RAITT: Yep, written comments are due
20 Thursday, July 13th, two weeks from today.

21 CHAIRMAN WEISENMILLER: Okay. So again thanks.
22 This meeting is adjourned.


23 (The workshop was adjourned at 4:04 P.M.)
24
25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of July, 2017.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of July, 2017.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852

1

