

## DOCKETED

<b>Docket Number:</b>	17-IEPR-12
<b>Project Title:</b>	Distributed Energy Resources
<b>TN #:</b>	220754
<b>Document Title:</b>	Transcript of 06/13/2017 Joint Agency Staff Workshop on the Review of the Actions and Status of State-Level Energy Roadmaps
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	8/15/2017 9:15:32 AM
<b>Docketed Date:</b>	8/15/2017

CALIFORNIA ENERGY COMMISSION  
CALIFORNIA PUBLIC UTILITIES COMMISSION  
CALIFORNIA INDEPENDENT SYSTEM OPERATOR

In the Matter of: ) Docket No. 17-IEPR-12  
)  
) JOINT AGENCY WORKSHOP  
)  
2017 Integrated Energy Policy ) Re: Review of the Actions  
Report (2017 IEPR) ) and Status of State-level  
) Energy Roadmaps

JOINT AGENCY STAFF WORKSHOP ON THE REVIEW OF  
THE ACTIONS AND STATUS OF STATE-LEVEL ENERGY ROADMAPS

CALIFORNIA PUBLIC UTILITIES COMMISSION

AUDITORIUM

505 VAN NESS AVENUE

SAN FRANCISCO, CALIFORNIA 94102

TUESDAY, JUNE 13, 2017

10:00 A.M.

Reported By:  
Julie Link

## APPEARANCES

JOINT AGENCY PARTICIPANTS

Gabe Petlin, California Public Utilities  
Commission, CPUC

Peter Klauer, California Independent Systems Operator,  
CAISO

Mike Gravely, California Energy Commission, CEC

Rachel McMahon, California Public Utilities Commission

Delphine Hou, CAISO

Noel Crisostomo, California Energy Commission

Kiel Pratt, California Energy Commission

David Hungerford, California Energy Commission

Martha Brook, California Energy Commission

Melicia Charles, California Public Utilities Commission

STAFF:

Arthur O'Donnell, California Public Utilities Commission

Bruce Kaneshiro, California Public Utilities Commission

PUBLIC SPEAKERS (\* Via telephone and/or WebEx)

Steven Kelly, Independent Energy Producers Association

Bud Beebe, California Hydrogen Business Council

Phil Toth, Southern California Edison

Polly Shaw, Stem Incorporated

## APPEARANCES

PUBLIC SPEAKERS (\* Via telephone and/or WebEx)

Will Rostov, Sierra Club

Larry McLaughlin, Southern California Regional Transit  
Training Consortium, SCRTTC

\*George Nesbitt, HERS Rater

Niki de Leon, Kitu Systems

Liang Min, Lawrence Livermore National Laboratory

Dean Taylor, Southern California Edison

David Schlosberg, eMotorWerks

Jamie Hall, General Motors (GM)

I N D E X

	<u>Page</u>
1) Introduction Gabe Petlin, California Public Utilities Commission	6
2) Opening Comments Gabe Petlin, California Public Utilities Commission Peter Klauer, California Independent Systems Operator Mike Gravely, California Energy Commission	6
3) Advancing and Maximizing the Value of Energy Storage Technology Roadmaps  Overview by Gabe Petlin (CPUC) and Rachel McMahon (CPUC) with support from the CA ISO and the CEC Staffs	14
4) Public Comment	34
5) Demand Response and Energy Efficiency Roadmap: Maximizing Preferred Resources  Overview by Delphine Hou, (CAISO) with Support from the CPUC and the CEC Staffs	64
6) Lunch Break	85
7) Demand Response and Energy Efficiency Roadmap: Maximizing Preferred Resources (continued)  Overview by Delphine Hou, (CAISO) with Support from the CPUC and the CEC Staffs	86
8) Public Comment	91

I N D E X (Cont.)

	<u>Page</u>
9) California Vehicle-Grid Integration (VGI) Roadmap: Enabling vehicle  Overview by Noel Crisostomo and Kiel Pratt (CEC) with support from the CPUC and the CAISO Staffs	98
10) Public Comment	119
11) Summary of Discussions  Gabe Petlin, CPUC Peter Klauer, CAISO Mike Gravely, CEC	153
12) Closing Comments and Next Steps Gabe Petlin, CPUC	159
Adjourn	159
Court Reporter's Certification	160
Transcriber's Certification	161

1  
2 P R O C E E D I N G S

3 June 13, 2017

10:01 a.m.

4 MR. PETLIN: Good morning. Welcome to the Joint  
5 Agency Staff Workshop on the Review of the Actions and  
6 Status of State Level Energy Roadmaps. My name is Gabe  
7 Petlin. I work in the Energy Division as a Supervisor in  
8 Grid Planning and Reliability. And my team works on the  
9 Energy Storage Proceeding as well as the Interconnection  
and Distributed Planning.

10 So we do have this as a Webinar, so we'll have a  
11 number of people on the phone. And the presentations have  
12 been posted. We are going to periodically open the phone  
13 lines for comments at set intervals, but we'll leave them  
14 muted just to avoid any kind of background noise and  
15 disturbances.

16 And so I just want to make a brief safety  
17 announcement. So in the event of a need to evacuate the  
18 building we have a meeting point, which is on Van Ness  
19 Avenue just half a block south of McAllister. Between the  
20 War Memorial Opera House and the other building there's an  
21 open plaza, so in the event of evacuation just walk down  
22 Van Ness Avenue to that park.

23 So I'm just going to give a very brief overview  
24 of what the workshop is today and then turn to our partner  
25 agencies for some brief opening remarks before we get into

1 it. So we're going to be discussing three state agency  
2 roadmaps. One is the Energy Storage Roadmap, which was  
3 developed jointly, collaboratively by all three agencies:  
4 the California Energy Commission, CAISO and the CPUC.

5 Then the Demand Response/Energy Efficiency  
6 Roadmap. This one was also developed collaboratively,  
7 though I don't think it was ever approved by the CPUC, but  
8 it is something that was a collaborative product and we  
9 some input into.

10 And third, the Vehicle-Grid Integration Roadmap,  
11 which was also collaborative of the three agencies.

12 And the main goal here is to give you some  
13 overview of what has been accomplished in the roadmaps,  
14 since they were adopted as well as hear some comment from  
15 you about how you think we're doing in terms of  
16 implementing milestones. We'll be sharing a lot of  
17 information about sort of the status of a number of items.  
18 But there's so much content today that we can't cover  
19 everything in every roadmap. So we'll rely on you to  
20 pinpoint specific questions and issues you have and we can  
21 go into further detail if we have time.

22 Because of the amount of content we have, I think  
23 we're going to limit speaking to about three minutes.

24 UNIDENTIFIED SPEAKER: It's normally three.

25 MR. PETLIN: Yeah, okay.



1           And so here's just a quick overview of the  
2 agenda. We're going to do some opening remarks from the  
3 three agencies. And then we'll start with the storage  
4 roadmap and have a public comment period and then break for  
5 lunch. Actually, we're going to start the next roadmap  
6 before lunch, so we'll start DR/Energy Efficiency before  
7 lunch. Then take a break, continue with some more Q&A.  
8 And then our third afternoon roadmap, we'll look at the  
9 Vehicle-Grid Integration Roadmap, with some Q&A. And then  
10 we'll come back together for some closing comments and next  
11 steps.

12           So I'd like to turn it over to Mike Gravely from  
13 the California Energy Commission, who's going to tell you  
14 more about the IEPR process how this workshop relates to  
15 that.

16           MR. GRAVELY: So for those who aren't familiar,  
17 the state has a report we put out every two years called  
18 the Integrated Energy Policy Report. Its lead agency is the  
19 Energy Commission, but it's a statewide report including  
20 all the agencies, certainly the three that are here. And  
21 so this workshop is a part of that development process.  
22 This one will be done by the end of this fiscal year, so  
23 2017 is a year for a full report. The way they do it is  
24 they do a full report every two years and a brief report in  
25 between those. So this year is a complete report.

1           And so the topic that I'm working with the  
2 Commission is Distributed Energy Resources (DER) so we have  
3 a couple of workshops. This one is considered a DER. All  
4 three of these roadmaps are considered DER under the  
5 definition. There will be a primary workshop at the end of  
6 the month, on the 30<sup>th</sup> (correction: 29<sup>th</sup>), with Commissioners  
7 at the CEC to review the results of this workshop and all  
8 the other activities that are happening in DER.

9           So we do have a court reporter here that's going  
10 be recording this information. The text will be available  
11 online when it's completed. All the presentations are  
12 available online and the information from here, as I said  
13 again, will be rolling into that. So that at the end of  
14 the workshop or during the day if you want to submit  
15 comments, depending on how many people want to comment, we  
16 have about 45 minutes to an hour after each presentation to  
17 take public comment. And if there's only a few comments,  
18 then we can take a little longer. If there's a lot of  
19 people that want to speak, then we'll have to limit people  
20 to three minutes. We'll obviously get all the public  
21 comment in that we have to that people want to make.

22           And then also there is a formal process for you  
23 to provide written comments. It's here on the slides.  
24 There are copies of all the presentations in the back of  
25 the room. And also for those online, all the presentations

1 have been posted on the website where this announcement was  
2 posted, in addition to you'll be able to see it on the  
3 WebEx. So there's written procedures to follow to file  
4 these. We ask you to file them by the 27th, so we can  
5 continue to integrate the information into it. And then  
6 this information, as I said is also on the public  
7 announcement, where to send it to, whether you do it  
8 electronically or by paper from that perspective.

9           And the only thing is closing comments. As we go  
10 through the different roadmaps today, one of the areas that  
11 we do at the Energy Commission -- I do specifically in the  
12 Research and Development Division -- is we do some research  
13 projects that are pretty relevant. So we're just going to  
14 give a couple of examples today during different workshops.

15           And in the Energy Storage Roadmap we've done some  
16 research where we've developed a model that's available to  
17 the public, so we'll talk about that briefly. And in the  
18 Energy Efficiency DR one we recently awarded a large number  
19 of contracts for Transactive Energy. And Transactive  
20 Energy becomes one of the action items for all three  
21 roadmaps, so we'll be discussing those. If there are  
22 questions on the other areas we'll cover those. But I just  
23 wanted to cover those two, because they were so relevant to  
24 today's discussions.

25           And with that, I'll turn it over to Peter from

1 the ISO just to give us some opening comments.

2 MR. KLAUER: Good morning, everybody. My name is  
3 Peter Klauer. I work for the California ISO. And I'll be  
4 part of this roadmap review to talk about where we have  
5 been progressing.

6 I think just a few opening remarks, before we get  
7 into the presentation. The ISO has been fortunate enough  
8 to work with the California Energy Commission and the  
9 California Public Utilities Commission to embark on these  
10 roadmaps. And I think these roadmaps have been an  
11 important tool in terms of defining and articulating the  
12 goals as well as the challenges that each of the state  
13 agencies has, in terms of their role in solving some of  
14 these things.

15 What you'll notice is that as the presentations  
16 go on, that the ISO is involved in a number of different  
17 public stakeholder processes that span changes to the ISO,  
18 markets, to the operations, to our tariff. And all these  
19 changes are designed to help facilitate these new  
20 technologies, these emerging technologies across storage,  
21 electric vehicles and demand response. So you may see, in  
22 some of these presentations, the same stakeholder  
23 initiative. But that's because these stakeholder  
24 initiatives are actually a broader sort of set of goals  
25 that actually touch upon each of these roadmaps.

1           I think as we move forward, I think it's  
2 important to see and hopefully to realize that we have made  
3 progress in terms of meeting some of these goals that have  
4 been identified, and challenges in the roadmaps. But I  
5 think you'll also recognize that there's still further work  
6 to be done.

7           As we advance the topic in these areas, we're  
8 actually embarking on sort of a new domain of distributed  
9 energy resources, which is a bit more complex, because it's  
10 basically merging the domains of the transmission system  
11 and the distribution system. And creating new policy and  
12 new rules, new operational processes that allow, for  
13 example the transmission operations to unlock and actually  
14 utilize some of these new technologies that are for a large  
15 part being embedded in the distribution system. So those  
16 are continuing challenges that we're going to continue to  
17 work on as a joint agency team.

18           But I guess the point is that we've made a lot of  
19 progress, but there's more work to be done. So hopefully  
20 you'll see that in these presentations and you'll help us  
21 identify the continued challenge that we have to work on,  
22 moving forward. Thanks.

23           MR. PETLIN: Thank you, Peter.

24           So I'm just going to make very brief overview  
25 remarks before we get into the specific roadmaps. So while

1 these three roadmaps are resource-specific and very, very  
2 important, the CPUC has also recently taken an approach of  
3 creating what we're calling the Distributed Energy  
4 Resources Action Plan. And this was created at the  
5 initiative of President Picker, last year. And it was  
6 endorsed by the Commission in a fall meeting. And you can  
7 find it on the CPUC website under President Picker's  
8 personal page. And this document serves to help create an  
9 overall coordinated pathway for distributed energy resource  
10 proceedings and policy initiatives at the Commission, while  
11 we continue to collaborate with other agencies.

12           So it is sometimes a very specific document that  
13 gets into specific proceedings and objectives and helps  
14 make sure that when we scope a new proceeding or we renew  
15 the scope of a proceeding that we are thinking about the  
16 linkages between how does storage fit in with distributed  
17 energy resource planning? And how does an integrated  
18 distributed energy resource procurement process incorporate  
19 the role of grid services? And so that's really something  
20 I want to just encourage people to take a look at and help  
21 us stay on path for.

22           We've been noticing, increasingly parties are  
23 making reference to the DER Action Plan in their filed  
24 comments and testimony. It's showing up in scoping memos,  
25 in proceedings, so it's definitely being used. And I

1 encourage you to try to take advantage of it as well. If  
2 you see that a proceeding is not addressing an issue that  
3 you think is in there, you have the grounds to bring it up.  
4 And the same thing applies to the roadmaps. People are  
5 citing them in their comments, referring to them in scoping  
6 memos, so there's always an opportunity to try to shape the  
7 agenda. And I think these roadmaps help remind us all what  
8 are some of the core goals.

9           So I think with that, we're ready to get started  
10 on the main presentations. Do you want to just stop here  
11 and ask if anyone has questions about sort of the overall  
12 goal of the day and purpose before we get into the specific  
13 roadmaps?

14           UNIDENTIFIED SPEAKER: (Indiscernible)

15           MR. PETLIN: Okay. Well, I'd like to invite  
16 Rachel McMahon to join me up here, because she's the Lead  
17 Energy Analyst on Storage, for the Energy Division, and did  
18 the lion's share of work to prepare this presentation. And  
19 we're going to tag team a little bit as we go through it.  
20 And so, Rachel, would you please join us? And I think we  
21 could probably -- yeah, why don't we just sit down there  
22 together and we'll go over it.

23           Yeah, all right. So the idea is here the way  
24 it's structured is we're going to do about a 20-minute  
25 overview of the roadmap and some of the highlights and main

1 goals and highlight some of the areas of progress. But  
2 we're really leaving about an hour for audience discussion  
3 and Q&A, so this is really intended to be participatory. I  
4 really encourage everyone to ask questions and think about  
5 which areas of the roadmaps you think we have made the most  
6 progress on or need to go further.

7           So the Energy Storage Roadmap was built around a  
8 set of guiding principles. So the guiding principles were  
9 expanding revenue opportunities for storage, reducing the  
10 cost of integrating and connecting storage to the Grid, and  
11 streamlining and clarifying policies and processes to  
12 increase market certainty. And out of those principles, we  
13 formed five priority tracks including planning,  
14 procurement, rate treatment, interconnection and market  
15 participation.

16           And in terms of the CPUC's role in the Storage  
17 Roadmap activity, it's natural that we would be approaching  
18 this from a variety of different proceedings. Storage is  
19 the type of resource that really touches many different  
20 resource areas, because it can be both a load and a source  
21 of generation. It can provide grid services. And it is an  
22 integral technology to many different proceedings. So the  
23 areas that we focus on, in terms of achieving the roadmap  
24 vision, is through the Distributed Resource Planning  
25 Proceeding. While storage isn't explicitly the goal there,



1 it is that proceeding focuses on developing new tools and  
2 planning processes to increase the role of all distributed  
3 energy resources in Distributed Resource Planning,  
4 including storage. And so it's led to a number of  
5 processes that will result in procurement of DER that could  
6 displace capital investments that would traditionally be  
7 done through say a substation.

8           And so we're looking at how DERs can play a role  
9 in displacing the need for capital investments on the  
10 Distribution Grid. And a sister proceeding to the DRP  
11 proceeding, is the Integrated Distributed Energy Resources  
12 (IDER) Proceeding. And so while DRP is identifying the  
13 optimal locations for distributed energy resources and the  
14 planning tools to incorporate the role of DER into  
15 planning, IDER is the sourcing proceeding to identify the  
16 sourcing mechanisms to procure these resources.

17           And so they are focused on currently a pilot  
18 phase where they are testing out a competitive solicitation  
19 process and an investor owned utility shareholder incentive  
20 to procure DER resources to displace capital investments  
21 such as a substation. And they will be looking at  
22 additional sourcing mechanisms beyond RFOs in the near  
23 future.

24           And then the Energy Storage Proceeding, which  
25 Rachel leads, is focused on procurement policy issues for

1 energy storage. And Rachel will be going into much more  
2 detail about that.

3 Do you want to say a few more words about that?

4 MS. MCMAHON: Sure, just specifically -- and  
5 we'll get into this on the slides after each agency gives  
6 their update -- but there are three issues that are  
7 specific to the roadmap that are in the scope in the Energy  
8 Storage Proceeding.

9 The first two are Multi-Use Applications and  
10 Station Power, so I'll make specific reference as we go  
11 through the slides. Those of you who are engaged in the  
12 Energy Storage Proceeding we're very much in the thick of  
13 those issues now, so thank you for your participation. And  
14 then the third one is an evaluation RFP. So AB 2514  
15 required the Commission to evaluate the program every three  
16 years. So that is one that is pending issuance.

17 MR. PETLIN: Okay. And then another focus area  
18 for achieving the Action Plan is interconnection. Finding  
19 ways to streamline the interconnection of storage has been  
20 a major focus. And so it just shows how storage can really  
21 be a very active part of many proceedings. We had an  
22 entire track in the Rule 21 Proceeding focused on  
23 streamlining methods for interconnecting non-exporting  
24 storage. And we've had a lot of success in that area in  
25 terms of reducing some of the interconnection barriers and

1 making it easier and faster for storage to connect to the  
2 Grid.

3           We've also been advancing our plans to use smart  
4 inverters. And we are about to see the first mandatory  
5 phase of smart inverters in September. It will become the  
6 default requirement for any interconnecting distributed  
7 resource under Rule 21 to have a Phase 1 capable smart  
8 inverter. And we have a working group that's continuing to  
9 develop Phase 2 and 3 standards for advanced communication.  
10 And those will have their own mandatory dates as well. As  
11 we move towards 2020, being the outside goal for having  
12 full functionality of all smart inverter functionality.  
13 And then I mentioned in my intro the DER Action Plan is  
14 also a big part of implementing the roadmap.

15           MS. MCMAHON: And finally the two issues on the  
16 roadmap have been dealt with in this proceeding. One is  
17 the developing the qualifying capacity valuation for  
18 storage. And then the second was considering unbundling  
19 flexible capacity from Resource Adequacy Proceeding, which  
20 is Rulemaking 14-10-010 and the two issues on the roadmap  
21 have been dealt with in this proceeding. One is the  
22 developing the qualifying capacity evaluation for storage  
23 and then the second was considering unbundling flexible  
24 capacity from generic capacity.

25           MR. PETLIN: Great. So I think we're going to

1 pass it to the CAISO and CEC for their overview perspective  
2 on implementing the Storage Roadmap.

3 MR. KLAUER: Thanks Gabe and Rachel.

4 So as I mentioned in the sort of opening remarks,  
5 the ISO has been involved in a number of different  
6 stakeholder initiatives and so some of those are listed  
7 here. I'd actually go back a little bit further in time  
8 before the roadmap was created at the end of 2014. We  
9 actually had a storage model for participation, as early as  
10 2012. And part of the roadmap process and desired outcome  
11 of the roadmap was to kind of further those initiatives.

12 And one of the first things we did, back in April  
13 of 2015, was the ISO held an educational forum. We had two  
14 days basically, where we invited the public and  
15 stakeholders to the ISO and we basically gave an overview,  
16 an all-day overview on two different dates of how storage  
17 and how aggregation worked. And tried to understand kind  
18 of how we could encourage the communication of how we could  
19 accommodate storage into our market.

20 At the same time, we had a Storage  
21 Interconnection Stakeholder Initiative. We knew we had a  
22 lot of pent-up projects in terms of storage, and  
23 understanding how they would go through our interconnection  
24 process was very important. We also had an initiative  
25 called Expanding Metering and Advanced Telemetry

1 Stakeholder Initiative.

2           This is important for a couple of things. This  
3 is really around understanding how DER, Distributed Energy  
4 Resources, could be aggregated and represented as a  
5 wholesale resource and so many of you have heard the term  
6 DERP, which stands for Distributed Energy Resource  
7 Provider. This is the initiative where that came from.  
8 And what that did was it had identified a new entity in the  
9 ISO Tariff that could represent many of these small  
10 resources.

11           At this point in time, we still don't see,  
12 although they're getting larger, the storage resources that  
13 we're seeing on the market are still relatively small  
14 compared to traditional transmission assets. I mean we're  
15 now in the 10s and 15s and we actually have a 30 megawatt  
16 resource. But up until this year, we were working with 2,  
17 3, 5 megawatts and things like that. And we understand  
18 that storage, because of its cost and because of its  
19 nature, won't be deployed necessarily on the transmission  
20 system. It's going to be deployed at the utility  
21 distribution system or even behind-the-meter.

22           So this DERP concept is real important, because  
23 it's going to allow those smaller resources to be  
24 aggregated and then represented in a way that they could  
25 participate, using that resource model, like I spoke about.

1           The Metering Rules Enhancement Stakeholder  
2 Initiative is important, because up until fairly recently  
3 any resource that was participating with the ISO -- if it  
4 was acting as a generator, which storage does -- required  
5 an ISO meter. And that was cost prohibitive in terms of  
6 especially these smaller resources. So that initiative  
7 actually allows for what we call a Scheduling Coordinator  
8 Metered Entity as opposed to an ISO Metered Entity. The  
9 difference is a big one. It's that scheduling coordinator  
10 how has the power to go out and collect the revenue quality  
11 meter data and submit that to the ISO, using local  
12 regulatory authority-approved meters, not necessarily an  
13 ISO meter.

14           So we're really trying to use that initiative to  
15 further the ability to adopt small resources, allow for  
16 aggregation, simplify telemetry, simplify metering to  
17 really kind of push the envelope there.

18           The last one, actually the first bullet on the  
19 list, is probably the most comprehensive in terms of what  
20 the ISO is doing: ESDER, Energy Storage and Distributed  
21 Energy Resource. So this stakeholder initiative actually  
22 started back in two thousand - I think early '15 if not  
23 late '14. And it was really kind of an add-on to the  
24 educational forum. What have we learned? What do we need  
25 to do to our models? What do we need to do to facilitate

1 the removal of challenges and barriers?

2           So the ESDER Initiative is actually just about  
3 ready to move from its second to third phase. But we've  
4 completed Phase 1 and we're about to complete Phase 2. And  
5 in that initiative we actually have brought forward  
6 improvements to the resource modeling. Namely around for  
7 storage, it's around the treatment of state of charge.  
8 State of charge is a very important parameter when we are  
9 working with batteries. And so we need to know much energy  
10 is actually in that resource, in order to optimize it  
11 against other resources in order to feasibly dispatch it in  
12 the market. So we've made improvements there.

13           We actually have also made improvements on that  
14 model where we recognize that as we move to aggregations,  
15 the concept around state of charge might not be as  
16 important. Because when you have resources, like the  
17 electric vehicles, that are coming and going into this  
18 aggregation, the state of charge is dynamically changing.  
19 So we're actually -- we tightened the ability to use state  
20 of charge. And we also sort of unleashed the ability to  
21 use a storage model without the state of charge, which  
22 allows for greater flexibility for aggregations of virtual  
23 power plants and microgrids and things like that. So we're  
24 really trying to set this vision that has the new  
25 technologies and these new resources coming to the ISO.

1 We're trying to make it more flexible for those resources  
2 to participate. So I'll end it there.

3 MR. GRAVELY: Well thank you, Peter.

4 So again, folks online, this is Mike Gravely,  
5 from the California Energy Commission. And where in a  
6 particular roadmap there's no specific actions that are for  
7 the CEC to participate, one of the areas that we are very  
8 active in energy storage is the research and development  
9 area. We are giving opportunities, grant funding  
10 opportunities to commercial companies who want to  
11 demonstrate their product. We are working to do grants  
12 where we integrate products for solar and storage together,  
13 microgrids, net zero energy, community homes and other  
14 areas where storage is an integral part, but not the only  
15 part of a solution.

16 So for those that aren't familiar, in the first  
17 EPIC Plan we did award grants specifically for storage  
18 development, what we call applied research. In fact two of  
19 those companies that received awards back then, Eos and  
20 Amber Kinetics, actually were able to leverage what they  
21 were doing under our project to be selected, in the 2016  
22 round of the [AB] 2514 procurement procedure that the PUC  
23 had with PG&E. So both of them received follow-on projects  
24 that will be installed by 2020 in those areas, so there was  
25 some success from the perspective of where they able to



1 leverage the grants here.

2           As we go forward, most of our focus is on  
3 integrating storage into a system. For example, we have a  
4 large microgrid solicitation coming out in probably about  
5 30 to 60 days. We'll be doing microgrid demonstrations and  
6 we envision all those microgrids, including storage. Two  
7 years ago, we did a large microgrid solicitation and we  
8 awarded seven grants. And all seven grants had storage as  
9 part of the microgrid.

10           We also are active participants in all of the PUC  
11 and ISO proceedings and working groups and provide  
12 information there. As part of our role, we also take what  
13 we can and integrate it into the Integrated Energy Policy  
14 Report.

15           We also, from a technical perspective, are  
16 connected very actively with the Department of Energy and  
17 NYSERDA. NYSERDA currently right now has a very active  
18 effort in energy storage. They're very much interested in  
19 lowering the costs of energy storage and they're working  
20 very actively in that area. Many of the technologies that  
21 are participating with NYSERDA are also participating out  
22 here in California.

23           And of course the Department of Energy, we always  
24 try and get as many of those grant opportunities to be  
25 demonstrated in California. And we provide co-funding for

1 people that apply for those Department of Energy grants to  
2 allow them to hopefully bring their technology forward and  
3 demonstrate that in California.

4 I will just provide one brief demonstration of a  
5 technology that's available, that's currently commercially  
6 available for people to do or publicly available. When  
7 2514 hearings were developed, the PUC in the hearing  
8 process looked at the different models that were available  
9 to assess the value of storage. There were two main models  
10 looked at and the basic decision was neither of those  
11 models was adequate enough to be selected for the process  
12 of making people use that or as a primary source.

13 So we took the information from that proceeding  
14 and the things that needed to be approved. And we went and  
15 did a competitive solicitation and made an award about  
16 three years ago to EPRI. And they developed a model, which  
17 is called StorageVET. Next chart, please?

18 So this chart here just gives you the process of  
19 how to get to it. So it is a model that allows you to pick  
20 a location, pick storage, and then assess the different  
21 values. It has all of the approved use cases that PUC uses  
22 under their 2514 process, and the ones the IOUs are  
23 authorized to use for those processes, so we have selected  
24 and modeled all those different use cases. It does allow  
25 you to answer some general questions, but it provides you

1 information on the value of that storage in a particular  
2 location. We've shared this with the California Energy  
3 Storage Alliance. About 50 of their members were online.  
4 We have shared it with the Department of Energy, with  
5 NYSERDA, with other states.

6 So the general perception is the tool is very  
7 useful and we're very interested in learning what it can do  
8 and what it can't do, so we can modify if we need, but  
9 ultimately we're trying to develop a tool that will give  
10 the utilities the opportunity to assess the value. And  
11 then also for the vendors to know how they're being  
12 assessed at the same time, so this is what we're trying to  
13 do with this.

14 If this is successfully accepted, then PUC would  
15 use it in the future rulemaking to have it reassessed  
16 publicly. But right now, it's going through an evaluation  
17 phase. This is how you access it. It just basically  
18 requires for you to have Excel. If you have Excel  
19 capability, then you can run the model. And with that I'll  
20 turn it back over to Gabe.

21 MR. PETLIN: All right. Thank you both.

22 So we have about six or so minutes left and we  
23 have a sort of reference presentation on many of the action  
24 items in the roadmap, organized by the tracks. And we  
25 don't have time to go through the 50 or 60 of each action

1 item, but what we're going to do is we're just going to  
2 briefly hit a few of them just to highlight a handful. And  
3 so we'll just tag team a little bit and feel free to jump  
4 in, Peter or Mike, if you want to highlight one from your  
5 agencies. So starting with planning and we're not going to  
6 go through all of them. And so that way if you have  
7 questions or you want to hear more about them, we have a  
8 whole hour almost, set aside for that.

9           So starting with the Planning Track, I think you  
10 could say the CPUC is making some good progress on some of  
11 the priority action items. So I'm going to look at the  
12 first three here. In terms of describing the Distribution  
13 Grid operational needs, maybe this was written before the  
14 DRP was created or maybe it was written afterwards, but I  
15 think this speaks to the DRP proceeding and what it's  
16 trying to do. And although it's doing that for all  
17 distributed energy resources it's going to benefit storage.

18           And so that proceeding is developing new analytic  
19 tools and investment frameworks, integrate the role of DERs  
20 into distribution system planning. And so what we mean by  
21 that is forecasting projected load and DER growth,  
22 measuring available grid hosting capacities for further  
23 integration of DERs without significant upgrade costs. And  
24 then we call that integration capacity analysis. And then  
25 we determine optimal locations for DERs to avoid planned

1 grid upgrades through the use of locational net benefit  
2 analysis. And then that leads to a procurement process in  
3 the IDER Proceeding.

4           The second item has to do with the ability to  
5 interconnect distributed energy resources in a more  
6 streamlined way to the Grid. And we do have a whole track  
7 on interconnection but this, what it has to do with is when  
8 the DRP develops integrated capacity analysis, which we are  
9 in midstream of doing, that will essentially be like a heat  
10 map on the Grid of where it is less expensive and more  
11 expensive and even no impact integrate more DER. And this  
12 will be very helpful for developers that want to identify  
13 sites that might be less costly to interconnect. It also  
14 will be helpful to utilities and their distribution  
15 planning.

16           But more specifically, we plan to take that data  
17 and port it over to a new interconnection OIR, which we  
18 hope will launch later this year, to actually look at how  
19 would this information help streamline the interconnection  
20 process. Can we make that process run differently to the  
21 way it is now, which is more or less each and every  
22 applicant interconnection goes through some form of study.  
23 And that could be a quick study or a long study. But it is  
24 a study. And if we know where it's going to be easy to  
25 connect, we can reduce study time and then possibly

1 eliminate the really labor intensive part of that. So  
2 that's one example of what we're doing for all resources,  
3 not just storage.

4 And a third one is looking for opportunities for  
5 storage to defer or displace distribution upgrades. So  
6 distribution deferral is one of the 19, I believe, 22 use  
7 cases in the storage proceeding. It's also now a part of  
8 ongoing procurement in the storage procurement. But it's  
9 now also part of DRP demonstration projects, particularly  
10 Demo C, which is focused on opportunities to defer  
11 distribution upgrades through open, competitive DER  
12 sourcing. And it's also part of the IDER competitive  
13 solicitation framework, which is also doing a pilot to test  
14 how DERs can defer distribution upgrades.

15 So we do think in those three areas we're making  
16 some good progress and look forward to further progress.  
17 So any other points you guys want to make about planning?

18 MR. KLAUER: The whole page, right? So just to  
19 point out maybe -- this is Peter Klauer from California ISO  
20 -- just to point out, I think everyone in the audience and  
21 on the line probably has heard the ISO talk about some of  
22 the operational challenges and needs that are coming  
23 forward with the increased amount of renewables. So as we  
24 move to 50 percent and beyond, you've got the challenge of  
25 the ramping when the sun comes up, and when the sun goes

1 down, those operational challenges. And so I think just to  
2 point out that's really what we're really trying to  
3 accommodate is look across the board in terms of how do we  
4 meet state goals and the challenges of those moving  
5 forward? And so our stakeholder initiatives are really  
6 kind of designed to do that.

7 Our coordination process with the other agencies  
8 is nothing new. We've had to overcome challenges at Aliso  
9 Canyon, San Onofre, planned retirement of the Diablo Canyon  
10 nuclear facilities. I think the ISO has a good track  
11 record of working closely with the other agencies in the  
12 state and outside the state to look at the pending changes,  
13 both in policy and in the state vision and make those  
14 changes happen.

15 MR. PETLIN: All right. So we're going to move  
16 on briefly to the next procurement track and Rachel would  
17 you like to offer some of your observations about progress?

18 MS. MCMAHON: Sure. I'll answer this quickly.  
19 So with the first, I mentioned this in the opening, so  
20 consider refinements to the evaluation methodologies used  
21 by IOUs to support CPUC decisions on storage procurement.  
22 As I mentioned earlier we have a consultant RFP that is  
23 pending release from our contracts office. That deals with  
24 the considered refinements to evaluation methodologies in  
25 terms of making models publicly available. The CEP, the

1 Consistent Evaluation Protocol, is publicly available and  
2 each utility discusses its own evaluation process within  
3 its application for approval of contracts. So the models  
4 are certainly available. We've been talking informally  
5 about how to incorporate StorageVET into the proceeding.

6 So then moving on, I mentioned earlier the  
7 Resource Adequacy Proceeding. The two issues that are in  
8 the roadmap for the RA Proceeding, you'll see the decision  
9 numbers on the right, so that's where the issues were  
10 considered. In the first D-1406050, that's where the QC  
11 methodology for storage was adopted, Appendix A to that  
12 decision. And then the second decision is actually 2017 RA  
13 decision wherein it continued to defer unbundling flexible  
14 capacity from generic capacity.

15 MR. GRAVELY: I will add something in this area,  
16 and that is one of the key focuses in our research that  
17 we're doing now, we've got about a dozen different storage  
18 technologies and projects that we're evaluating in the  
19 field. And that is coming up with the business case, so  
20 understanding the total cost and the value streams that the  
21 storage can bring. So one of the areas we're trying to do  
22 is come up with some consistent way to measure the value  
23 streams and account for those, so that we can come up with  
24 a good way to develop business cases going forward. So  
25 that's an area that we are hoping to provide more and more



1 information again from actual field demonstrations and from  
2 actual data collected. And so each of our storage projects  
3 comes up when we award them with a proposal and then they  
4 demonstrate that and measure it.

5 But we are focusing all our attention in the  
6 storage area on trying to quantify these and come up with a  
7 business case that helps the PUC, the utilities, and the  
8 industry determine the tradeoff on a cost versus benefit  
9 basis.

10 MR. PETLIN: Great. And maybe, Rachel, do you  
11 want to talk about the Multi-Use Application Initiative?  
12 That seems like a really important one under the rate  
13 treatment track.

14 MS. MCMAHON: So it looks like we're skipping  
15 down to the middle items. So, "Clarify rate treatment for  
16 customer sites with a mix of resources that help meet local  
17 consumption needs and do not result in an export of energy  
18 and want to provide wholesale good services." That was a  
19 mouthful. So that actually gets specifically to station  
20 power.

21 And I didn't mention this at the beginning and I  
22 apologize, but the CAISO and the PUC have actually jointly  
23 been developing the policy proposals on Station Power and  
24 Multiple-Use Applications, so it's been a great  
25 collaborative relationship. So in any case, this is an

1 issue that has been deferred from our original proposal and  
2 station power to our current consideration of multiple use  
3 applications. So I'm talking very fast, because I'm trying  
4 to make up time.

5 But we had a workshop on this on June 2nd and  
6 comments are due this Friday. So we're not only looking at  
7 that issue, but we are also what we have done jointly is  
8 develop a framework for combining value streams, using the  
9 same capacity. So we've thus far defined 20 services in  
10 five domains, three grid domains, two service domains, and  
11 rules around -- a list of 20 or 25 rules around the  
12 combinations of those services. So we will take comments,  
13 as I mentioned this Friday.

14 And of course for the IOU station powered by  
15 Sutters (phonetic) the protests are due this Thursday.

16 MR. PETLIN: Great. Well, I mean we could cover  
17 many areas, but I think what we really want to do is open  
18 it up to audience comments and discussions. But as you can  
19 see, a lot of progress is being made across the three  
20 agencies to implement the vision of the storage roadmap.  
21 And certainly more work is yet to be done, but it's been a  
22 really helpful document, I have to say, in terms of helping  
23 us structure our work and proceedings and also reminding us  
24 of where we need to go. So thank you all for contributing  
25 to it.

1           And I'd like to open it up now for audience  
2 questions and comments. Let us know if you have a question  
3 about a specific action item you'd like to hear more about  
4 the status or if you have a comment on your view of  
5 progress made. And if there's an area you think we need to  
6 further make progress or even that's not included in the  
7 roadmap, we're open to hearing about all of those.

8           Let's get those mics on.

9           MR. KELLY: I'm Steven Kelly, with Independent  
10 Energy Producers Association and many of my members are  
11 interested in developing storage facilities.

12           As we move to a model, which is aggregating  
13 essentially behind-the-meter resources to play in what  
14 appears to be both the retail space and the wholesale  
15 space, one of the things that would be very helpful would  
16 be a roadmap in writing about where the jurisdictional  
17 issues fall out in this matter. Because as you start to  
18 develop resources you need to know who's going to have  
19 responsibility for what activity, when and where. And I  
20 haven't seen that in writing yet. I've heard talk about it  
21 and I've raised it at some different forums. But is there  
22 an initiative within your planning process to develop in  
23 writing some assessment of the jurisdictional questions  
24 regarding who's got responsibility for what and when?

25           MS. MCMAHON: So can I ask clarifying question?

1 So when you say a roadmap, in terms of who has  
2 responsibility, would it be a roadmap for the perspective  
3 of the developer? Or essentially saying how you get your  
4 project from here to there, in terms of approvals or --

5 MR. KELLY: Well, it's not so much the  
6 interconnection rules. It's just if I have a resource that  
7 has the capability of moving between two domains, like  
8 retail and wholesale, who's got jurisdiction over that  
9 activity? Knowing that in advance is going to be essential  
10 to knowing how you're going to develop your resource.

11 Now, I know it comes up in some of the metering  
12 things that we've had, in discussions about that. It's  
13 coming up a little bit in the multi-use applications thing.  
14 I've been commenting on it and I will comment on it a  
15 little bit about this, the need for clarity in this regard.  
16 But I think it would be very helpful for you all to  
17 consider how you might approach this from a legal  
18 perspective. How do the jurisdictional responsibilities  
19 fall between the Public Utilities Commission and the  
20 Federal Energy Regulatory Commission?

21 If you are aggregating disaggregated units  
22 behind-the-meter, are all those disaggregated units, for  
23 example if they're on households, subject to FERC  
24 jurisdiction or not? That's a fundamental question. It  
25 really needs to be addressed up front, in my view, as

1 opposed to waiting till later, when we've got this model  
2 developed and we're planning for the resources to develop  
3 in a timely fashion.

4 So I would just urge you to maybe think about  
5 that, where that fits into your planning process and the  
6 pathways, and roadmaps, and so forth. Thank you.

7 MR. PETLIN: I'm wondering, Peter, if you could  
8 maybe comment on the status of for example, the DERP filing  
9 that was approved by FERC. My understanding is it defers  
10 to the local jurisdiction to determine the type of  
11 interconnection. In that case, it's Rule 21 for behind-  
12 the-meter, sub-resources that can aggregate into a  
13 wholesale virtual aggregation. How do you think that's  
14 going to work in practice?

15 MR. KLAUER: Certainly, so the distributed energy  
16 resource provider concept has been approved by FERC and is  
17 in the ISO tariff. One of the provisions of that though,  
18 is recognizing that these resources are not interconnected  
19 to the transmission system, right? They're connected to  
20 the distribution system. So there is a deferral for the  
21 interconnection process within the distribution system.

22 Once that interconnection agreement or  
23 application has been approved and completed, then that  
24 aggregation resource, which could be one or many, would  
25 come back to the ISO and enter the necessary contractual

1 agreements as a wholesale participant. So this is some of  
2 the complexity area I kind of alluded to where there's sort  
3 of this joint concern once that resource is then providing  
4 service to the ISO. There is a participating generator  
5 agreement. There's all the same sort of agreements that  
6 are in place for sort of a transmission connected resource  
7 as well.

8 Now, so we at the ISO have made some significant  
9 steps to recognize this capability, but there are still  
10 some challenges in terms of how would the distribution  
11 system study this resource. So even though, within the ISO  
12 tariff, this DERP concept exists the first step of that  
13 process is to notify the ISO. "I'm an entity. I want to  
14 create a DERP." So we say, "Fine." You fill out a form.  
15 And they go back and work with the distribution system to  
16 figure out what the aggregation looks like. And  
17 understanding of that has to be studied, just like any  
18 other interconnection. So we're kind of waiting now for  
19 them to come back to the ISO with their approved  
20 aggregation.

21 And as of today, unfortunately, we have not had  
22 anyone come back to the ISO with an approved aggregation.  
23 We've got several people who are interested and who are  
24 looking, but they're still working to figure out how they  
25 want that aggregation to look and how to operate and get

1 the necessary approvals.

2 MR. KELLY: Just to follow up, so those  
3 aggregations, let's assume that they're moving across the  
4 reach on wholesale space within the hour, within the day,  
5 depending on whatever the use applications are. How is  
6 that going to be treated or monitored?

7 MR. KLAUER: That's an excellent question. I  
8 must say we're still in the very early stages of this. So  
9 for example, one of the challenges is the multi-use. Right  
10 now, we still have a provision with the ISO tariff. If  
11 you're participating at a wholesale service of 24/7, we're  
12 going to read that meter 24/7.

13 So one of the things that we're working on now as  
14 part of the ESDER Initiative is this concept of multi-use.  
15 How can we break down intervals of the day, at what point  
16 are they participating with one customer, and then what  
17 interval with another and then how do you collect and  
18 measure that performance over time?

19 So right now we have the basics sort of framework  
20 in place. It's still a little strict, I would say, but  
21 part of the efforts of this ongoing effort is to try to  
22 open that up.

23 MR. KELLY: So is this going to be addressed in  
24 more detail, in the multiple use application step of this?

25 MS. MCMAHON: I think it will have to be. It

1 will have to be, in order to operationalize anyway it has  
2 to be. We didn't get into that, because we were trying to  
3 figure out the framework. But no, your point is a good  
4 one. It's a very good one.

5 MR. KELLY: I look forward to it. Thanks.

6 MR. GRAVELY: So just one quick comment I was  
7 going to make, from the R&D side. So we do have some  
8 projects that are pretty relevant here. One L.A. Air Force  
9 Base is actually using in their electric vehicles, about 43  
10 of them, to participate in the frequency [regulation]  
11 market. And we've gone through a very large learning curve  
12 with that in answering some of those questions you're  
13 talking about. To actually they have successfully done  
14 that for that particular one. It is a research project,  
15 but it does involve the Department of Defense and us and so  
16 there are other unique challenges in addition to the  
17 standard ones. But we have learned a lot, and they are up  
18 and running in the whole process. So we are doing some  
19 research there.

20 The second one on the whole concept of  
21 transactive energy, in the second [presentation] later,  
22 when we talk about DR, David Hungerford will talk about  
23 some of the projects and some of the examples that we have,  
24 where we're doing more research in the area. Where we're  
25 looking at how do you do these transactions, how do you use



1 signals and everything else? And we're working out some  
2 demonstration projects to hopefully help provide  
3 information to allow the PUC and ISO to make their  
4 decision. So we do have some very active projects right  
5 now in this field, gathering data to help us down that  
6 road.

7 MR. KLAUER: This is Peter again, just to kind  
8 follow up as well. So Gabe, your comment about the  
9 interconnection agreement, so you're right, today there are  
10 sort of two basic interconnection agreements. Rule 21 and  
11 then what's called a WDAT, Wholesale Distribution Access  
12 Tariff. And I don't think I know. When we talked about  
13 DERP the idea at the ISO is we weren't going to prescribe  
14 what kind of interconnection agreement had to be in place  
15 at the distribution level with the hope and thought that we  
16 are kind of in a new territory.

17 You know, is there a new type of interconnection  
18 agreement that might be a better fit, or a modified Rule 21  
19 or a modified WDAT? Especially when you start talking  
20 about maybe distributed resources that are only acting as a  
21 load. Could that simplify the study process? Could that  
22 simplify the interconnection process? So those are things  
23 that are going on.

24 And then to Mike's point, there's actually some  
25 more discussion, quite a bit of discussion going on between

1 the ISO and the utilities in terms of understanding this  
2 concept of multi-use. And not just multi-use, but if I had  
3 resource that's comprised of smaller resources within a  
4 distribution system to the ISO that looks like one  
5 resource. And our network model of this resource is done  
6 sort of at a higher level, it's done at the transmission,  
7 distribution sort of demarcation.

8           So we don't have the situational awareness. The  
9 ISO does not have, from an operational perspective, the  
10 understanding of what those distribution circuits are doing  
11 at the time of dispatch, which presents a significant  
12 challenge, right? Because our primary goal is to maintain  
13 reliability and so, we need to work on some sort of  
14 communication process or system-level approval process. So  
15 that before the ISO dispatches a distributed resource,  
16 there's got to be some checks and balances in place to make  
17 sure that we're not disrupting or harming the Grid.

18           We need to have some checks in place by the  
19 utility. We need to have some insight in terms of what  
20 that resource is capable of doing. It may be certified to  
21 provide, let's say an aggregated five megawatts, but maybe  
22 some circuits are down, so maybe it can only provide two.  
23 So that whole communication process to preserve reliability  
24 must remain intact. And so those are the types of things  
25 that we're trying to work out.

1           MR. BEEBE: Good morning. My name is Bud Beebe.  
2 And I'm with the California Hydrogen Business Council.  
3 California Hydrogen Business Council is an aggregate of  
4 members who have great technology capabilities, great  
5 programmatic capabilities, and other good characteristics  
6 to be able to play not only in the storage piece here. But  
7 also in other issues that we'll be talking about later this  
8 afternoon.

9           Specific to the storage issue, I was looking  
10 through the existing roadmap document on storage. And I  
11 did a search on hydrogen and I didn't come up with  
12 anything. I did a search on power-to-gas. I didn't get  
13 anything. I did a search, you know all that stuff, right?  
14 Nothing, right? Batteries hit four times, which for a  
15 four-or-five-year old document is actually probably pretty  
16 good. So we're moving fast in this space.

17           But certainly our members are disappointed in the  
18 amount of attention that's been given to what will become a  
19 very critical part of our ability to store energy,  
20 particularly store energy that's valuable across different  
21 sectors and is valuable across different seasons.

22           We, in the hydrogen space in sometimes it's  
23 called power-to-gas, sometimes it's called hydrogen,  
24 sometimes it's called renewable gas. These are a suite of  
25 technologies available to us that we need to include in our

1 roadmaps. Certainly, there's capability there. And I  
2 think when we talk about it like this everybody can say,  
3 "Yeah, it's kind of good," right? But we haven't been able  
4 to break across a couple of barriers that are important.

5           There's a need for regulatory change to overcome  
6 historic paradigms that built the natural gas and electric  
7 utilities to what they are today, which are great. They're  
8 great entities. They have a great capability. But we have  
9 historic boundaries between them that I think prevent us  
10 from going further. This is complicated by the fact that  
11 the transportation sector is such a valuable part of this  
12 also, okay?

13           So as you know, in the storage space, you're  
14 already starting to figure out how to go from electricity  
15 to transportation, as an important aspect of storage. And  
16 hydrogen is that same kind of capability, but so far we've  
17 not really made much progress in being able to go from, say  
18 the use of electricity, renewable electricity, to hydrogen  
19 and then that renewable electricity to say the  
20 transportation sector and maybe even back again. Even  
21 though you're talking about those concepts in electricity,  
22 through batteries, you need to know, or certainly you do  
23 know, but it's not in our documentation yet that hydrogen  
24 can transform from electricity to renewable gas. It can go  
25 to a methane substance that's a renewable resource. It can

1 go into the transportation sector. And it can come back  
2 out of the transportation sector, either as electricity or  
3 as other valuable functions, so all of these things just  
4 need to begin to make their way into these roadmaps.

5 For instance, these are broad topics obviously,  
6 and we're going to follow this up with a written piece for  
7 you, okay? But the fact that we have important members who  
8 have been unable to get, for instance, the PUC to be able  
9 to handle the hydrogen in a practical way in the storage  
10 space has been very frustrating. So we're here and we're  
11 ready.

12 Clearly the people who have been looking at these  
13 storage technology capacities in Europe have planned for  
14 hydrogen as a part of that future. And they have existing  
15 facilities there that are proving that capability. We just  
16 don't see any movement yet in California, where we're going  
17 to need this.

18 So thank you very much for your attention. We  
19 certainly appreciate that, questions?

20 MS. MCMAHON: I was just going to say thank you  
21 for your comments.

22 MR. TOTH: As I limp up here to the mic, sorry  
23 the back's hurting today. Am I on? Yes, I'm on.

24 I'm Phil Toth with Southern California Edison.  
25 I've been struggling or at least doing mental gymnastics to

1 get my arms around this, because it's huge. It's  
2 monstrous. And valuing and optimizing and getting a way to  
3 optimize the introduction in the market as well as  
4 introduction to where it's needed and how it's needed. And  
5 all of it is critical and I'm not demeaning anything that's  
6 going on. Without all this work, nothing can move forward  
7 and so please don't get what I'm about to say wrong.

8 In my mental gymnastics, I was trying to take  
9 this down to a circuit level. And each circuit has a  
10 different peak, has a different customer mix. And a lot of  
11 differences go on. And we have what, 4,500 different  
12 circuits. We have a load shape for the circuit. We have a  
13 load shape for each resource. We have -- and all of a  
14 sudden it explodes.

15 In the data is where it gets foggy in my mind.  
16 And how do you apply and optimize the different resources  
17 with the 4,500 different circuit peaks in and all the  
18 different resources that go in, whether it be EE or DR or  
19 storage or solar and all this kind of stuff? And I've been  
20 struggling with how to optimize it in two instances. How  
21 to optimize to what is needed on that particular circuit,  
22 which is difficult. Is it the peak? Is it the ramp? Is  
23 it this? Each one's going to be different.

24 And so this is the optimizing part. We have the  
25 EE and DR, programs that are TRC-based (phonetic) costs.

1 We have solar that is an installed cost, which is  
2 different. And so EE and DR optimize on solar resource  
3 cost tests and that kind of thing, which has a different  
4 portfolio makeup as what is needed at the distribution  
5 level. And see all of these things I'm just struggling to  
6 get my arms around. And how do we actually optimize it in  
7 terms of cost and location and need and when it's available  
8 and when it's not available?

9           So this the part where I'm not demeaning anything  
10 that's being done, because without all this foundational  
11 effort we cannot get to the next phase, which is the mind  
12 boggling mental gymnastics phase that I'm trying to get my  
13 arms around. To say, "Okay, here we go. Here's how we  
14 apply everything that all this foundational is going to,"  
15 so I just wanted to say I don't have an answer and I don't  
16 think anyone else does. But it is, for a geek like me, it  
17 gets quite interesting in how do we move forward.

18           And then the interrelationships between the CEC,  
19 the CPUC, the ISO and all the different proceedings,  
20 they're all siloed. And so we're trying to bring them all  
21 together, which I don't think the puzzle pieces fit right  
22 now, but there's a lot of things to go through. So thank  
23 you for listening to my mental gymnastics story. And I  
24 really do appreciate what you guys are doing.

25           MR. PETLIN: You're absolutely right. It's a

1 complex puzzle. We are trying to deal with the complexity  
2 through a variety of different planning processes to break  
3 down silos. I think the DER Action Plan is a prime example  
4 of that where we try to understand the linkages between the  
5 different proceedings.

6           So for example, how does rate design affect  
7 storage? If the rate design people are not talking to the  
8 storage people then we're not going to figure that one out,  
9 but now they are and that's because of what we're doing  
10 with the DER Action Plan. We're trying to break down the  
11 silos. We're trying to make sure the grid service people  
12 are talking with the storage people and integrating. So  
13 it's complicated and it's overwhelming, but we are trying  
14 to take an approach that is integrative, which is a  
15 departure from the past.

16           MS. SHAW: Good morning. I'm Polly Shaw, VP of  
17 Regulatory Affairs at Stem. We're the largest behind-the-  
18 meter provider of software-driven storage. Our commercial  
19 industrial facility is headquartered in Millbrae. Thanks  
20 very much for entertaining some comments.

21           I want to applaud you. I want to suggest an area  
22 that may be missing and give some high level comments on  
23 other aspects that you started touching on this morning.  
24 Sorry, the coffee hasn't kicked in, so I've got to use my  
25 notes.



1           I think, first and foremost, we really applaud  
2 the interagency coordination here. We truly understand  
3 that you're tackling extremely complex issues. And these  
4 are really sophisticated challenges to design and solve, so  
5 thank you. There's been a lot of progress on  
6 interconnection improvements. Having the ESDER Phase 1 and  
7 the creation of DERPs coming out and also the IDER  
8 Proceeding identifying some distribution services. So  
9 thank you and kudos on that.

10           When we look at the fabulous state policies that  
11 have been developed in California, over the next few years  
12 that are going to deploy thousands of behind-the-meter  
13 projects, we -- and actually it will become a big engine,  
14 we think, economic engine and jobs creator. We are a  
15 little bit worried about one area that seems to be missing  
16 maybe from the EPIC plans and the storage, which is  
17 permitting consistency.

18           Stem is the largest provider of behind-the-meter  
19 projects. We've got 630 projects in the pipeline and  
20 installed, and most of them in California. We can attest  
21 that every single city and county treats permitting for  
22 storage completely differently. Where one might do over  
23 the counter and online, the other ones may throw four codes  
24 at you. The cost may go from \$128 to \$3,000 per project.  
25 It will be great if the EPIC planning could include some

1 gathering of best practices and dissemination and include  
2 that in the roadmap as well, since we all know that that  
3 would help reduce labor costs and the project development  
4 costs for the good of the state.

5 AB 546 led by Assemblymember Chu, is trying to  
6 pass a bill that would include the gathering of best  
7 practices and dissemination. And then some streamlining to  
8 make the processes more consistent across that state. So  
9 thank you if you can include that.

10 Otherwise, I guess we want to give a little bit  
11 of high-level feedback on the challenge of the delays that  
12 are keeping the behind-the-meter storage from becoming a  
13 marketplace, moving from mandates and incentives to truly  
14 marketplace. For example, Rachel touched on the IOU  
15 evaluation, specifically the cost effectiveness  
16 methodologies that are not transparent. We appreciate your  
17 work to try to make these a lot more transparent and  
18 publicly available.

19 Multi-Use Applications, the first draft proposal,  
20 took two-and-a-half years. And it's still, we would  
21 suggest, too high-level and vague in some areas to be  
22 executable. So we look forward to working with you on some  
23 specific recommendations there.

24 On DERP, it seems that there has been a fair  
25 amount of progress for DG, but not specific to storage.

1 For example, the ICA Analysis really looks at storage as a  
2 generator using hosting capacity, rather than looking at  
3 ways that can help free hosting capacity.

4 Finally, on the non-wires alternatives, there  
5 have been some proposed pilots, as well as seeing the PRPs  
6 (phonetic) 1 and 2, out of Southern California Edison,  
7 which is great whereas the New York utilities have already  
8 launched a dozen commercial solicitations. We're looking  
9 forward to seeing some little bit more timely progress  
10 there.

11 The final comment that we would say is it may  
12 benefit the storage roadmap to include in more research  
13 about how storage can benefit the state greenhouse gas and  
14 RPS goals. And maybe a little bit more detail on some  
15 concrete milestones and timelines for those milestones to  
16 help us understand where we're trying to get to and how  
17 these proceedings are going to move in maybe a little bit  
18 more market-timely pace.

19 Thank you. Thanks for considering.

20 MR. ROSTOV: Hi, Will Rostov. I represent the  
21 Sierra Club in the Storage Proceeding. And I actually have  
22 a question, before I ask my question I wanted to respond to  
23 the power-to-gas. The reason power-to-gas isn't in the  
24 storage roadmap is because it's been litigated two or three  
25 times and each time, power-to-gas has not been considered a

1 storage resource.

2 And the one other point I want to make about  
3 renewable gas, which is a misnomer, is idea of taking  
4 renewable energy and making methane, which is a potent  
5 greenhouse gas is not a way to solve our climate crisis.  
6 We need to reduce greenhouse gases by 40 percent. Creating  
7 new methane from renewables is not a good idea.

8 And to my question, I'm trying to figure out how  
9 the Energy Commission's, I think it's called StorageVET,  
10 your methodology for evaluating storage relates, if at all,  
11 to the common evaluation protocol that's being developed,  
12 or it has been developed in the PUC proceedings.

13 MR. GRAVELY: I'll give you the first part of it  
14 and then bring in others.

15 The first part of it is this model was developed  
16 as a result of two previous models that were analyzed as  
17 part of 2514. So it was the intent was to come up with a  
18 way to look at the different use cases, look at the  
19 application of storage and then come up with a consistent  
20 response from there. How it fits into other models, I'll  
21 have to refer to the PUC on that, because I don't know.

22 MS. MCMAHON: Certainly, the kind of closest  
23 analogy or I can't think of the right word, but anyway  
24 StorageVET relates most closely to Multiple-Use  
25 Applications. So it is meant to be a tool for a storage

1 provider to understand combinations of values, so net once  
2 we finalize the Multiple-Use Application framework. And  
3 we've been talking about this somewhat, so I'm not  
4 committing anything to say this, but in any case to update  
5 StorageVET with the values that are ultimately determined.  
6 And the framework that is ultimately determined for MUA,  
7 Multiple Use Applications being MUA. So that a developer  
8 can actually utilize that specific to the California  
9 market. Does that help?

10 MR. ROSTOV: Yes. So it's more for the developer  
11 as opposed to for the utilities to provide information  
12 about what they're doing with storage?

13 MS. MCMAHON: Right.

14 MR. ROSTOV: Okay. Thank you.

15 MR. MCLAUGHLIN: Good morning. This is more of  
16 an information item. My name is Larry McLaughlin. And I  
17 work for the community college system in California. I'm a  
18 Regional Director in the Inland Empire Desert Region, have  
19 12 colleges that I'm responsible for working with advanced  
20 transportation and renewable energy-related programs. But  
21 also have responsibility for a couple of state level  
22 programs and that's what I wanted to tell you about this  
23 morning.

24 We have an energy storage curriculum that has  
25 been developed recently and is being used to train faculty

1 across the state in energy storage, so that they can have  
2 the knowledge and the resources they need to share that  
3 information with their students. We see this being  
4 integrated into electrical programs, certainly solar  
5 construction, building, architecture. There's a number of  
6 programs that would relate to and be appropriate for them  
7 to start teaching students about this topic.

8           We've conducted training in October, up in the  
9 Bay Area and have conducted training for faculty in the  
10 L.A. Area. And in August, we'll be working with the  
11 California Energy Storage Alliance to include some training  
12 at the ESNA Conference in San Diego. So we've been very  
13 excited about that. We just wanted you to be aware of our  
14 progress.

15           The second project I wanted to tell you about is  
16 that we're developing information and education for  
17 developers, property developers, contractors, building  
18 owners and managers on microgrids. We're partnering with  
19 the Stone Edge Farm Microgrid, at Stone Edge Farm Winery to  
20 put this program together. We're calling it The Microgrid  
21 Institute at Stone Edge Farm. They do a lot of education,  
22 a lot of teaching and demonstration out there currently.  
23 And we see it as the perfect venue to bring developer and  
24 builder types in to learn, at a high level, what microgrids  
25 are all about. We expect to have our first offering this

1 fall. And again we're very excited about that and just  
2 wanted you to know that these educational programs are in  
3 progress. Thank you.

4 MR. O'DONNELL: Good morning, everyone. Arthur  
5 O'Donnell. I'm a Supervisor in the Safety and Enforcement  
6 Division, here at the California Public Utilities  
7 Commission.

8 And in my experience, I had both Rachel's job, as  
9 the Lead Analyst on Energy Storage Procurement, and Gabe's  
10 job as Supervisor of the Grid Planning Reliability. And  
11 the roadmap jointly developed with the ISO and the Energy  
12 Commission was about the last thing that I did, before  
13 moving over to SED. So I want to commend everyone on the  
14 amazing progress that is discernible from looking that  
15 document with scores of issue areas and barriers that we  
16 perceived.

17 And I've continually been amazed at how much work  
18 has been going into this in order to make the Commission's  
19 larger policy of energy procurement a success, right?  
20 Because that's really what it was about. And I think that  
21 the challenge going forward is to keep up with the market.  
22 The market is outpacing you in a lot of ways, such that the  
23 Legislature continues to now see energy storage as a  
24 solution to a problem in putting out higher expectations.  
25 You know, AB 2868, that added another 500 megawatts to the

1 storage target. SB 700, which is devolving the SGIP  
2 Program into an energy storage incentive program.

3 One element of this that I think is crucial, and  
4 I continue to work on it, is ensuring the safety of these  
5 systems. And so one thing I would urge our sister agencies  
6 to continue to set very high expectations for the safe  
7 operations of storage as they participate in these markets.  
8 The ISO has been a little bit passive in that it defers to  
9 the utility and contracting process. I'd like to see  
10 safety considerations in your participating generator  
11 agreements in your interconnection agreements.

12 For the Energy Commission, a lot of the work in  
13 storage safety has been done at the Department of Energy,  
14 working with Sandia Labs. We are very concerned with  
15 proposed cuts to that agency. That storage work could be a  
16 victim of that and so I would just urge you to continue to  
17 look at where those gaps are. And how you can help in your  
18 funding authority to continue the safety advocacy to make  
19 sure, because it really is only going to take one untoward  
20 incident to have everybody questioning the value of this  
21 new part of the marketplace. And we know that it can work.  
22 It's just the technologies are going to continue to evolve  
23 and the expectations are going to continue to evolve. So  
24 thank you.

25 MR. PETLIN: Thanks, Art. It was always great to



1 be thrown into storage with you and then have you leave and  
2 go to SED. But you've always been really helpful and being  
3 like a founding staff to a lot of the initiatives. So  
4 thank you.

5 This looks like a great opportunity to open up  
6 the phone lines and see if anyone on the phone would like  
7 to comment. Do folks on the phone have questions or  
8 comments?

9 MR. NESBITT: Yeah, George Nesbitt. Can you hear  
10 me?

11 MR. PETLIN: Yes, go ahead.

12 MR. NESBITT: George Nesbitt. I'm a HERS Rater  
13 as well as a contractor focusing on energy-related  
14 retrofits and installations.

15 So I guess two things. The first is the issue of  
16 balancing say the individual's need versus say  
17 (indecipherable). So the need of a certain person wanting  
18 to do storage, so more could be a different whether it's a  
19 generating system or a storage system versus the Grid. And  
20 the cost on the Grid and how do we plan, and actually plan  
21 to put the resources we need where we need them as opposed  
22 to having people wanting to put them where they want, which  
23 might actually drive up costs.

24 So really whether we need to consolidate  
25 authority to less different agencies or whether you need to

1 work better or how well are we able to tell someone, "No.  
2 You can't do that there. That's not the right place." Or  
3 how do we tell them where we want it done in the first  
4 place, so that they can spend the rest on a project that  
5 will get (indecipherable).

6 So if you have any comment on that, I'd  
7 appreciate that. And then I have another issue.

8 MR. PETLIN: Thank you for the question. This is  
9 Gabe Petlin. I'm going to talk to you a little bit about  
10 the distribution resource planning proceeding and how it is  
11 getting at your question. So we recognize the role of DERs  
12 is increasing. The penetration is increasing. Some of the  
13 DERs do receive ratepayer funding to cover some of their  
14 costs. There's incentives. And so currently, we do not  
15 base any of those incentives on locational value of  
16 resources.

17 So what we are trying to do in the DRP Proceeding  
18 is to increase the granularity of our ability to identify  
19 optimal locations or DERs, based on their value in avoiding  
20 costs on the Distribution Grid as well as the bulk system.  
21 And that can then inform sourcing of DERs. So that's sort  
22 of step one. And we are midway in that step. We are going  
23 ahead with procurements that have identified some optimal  
24 locations for DERs where they could displace and avoid a  
25 known, planned investment in sort of traditional grid

1 infrastructure. And so the theory being that they could  
2 displace that at a lower cost. So that's one example of  
3 how we would sort of guide DER procurement in places where  
4 it can have the most value.

5 A much more difficult step that goes beyond that  
6 is once we have completed the locational net benefit  
7 analysis tool, for the whole Grid -- and that's still  
8 arguably a year away -- then what do we do with all that  
9 information? How does that feed into, for example, the  
10 Integrated Resource Planning Proceeding? Or how does that  
11 feed into future policy proceedings such as NEM 3.0, which  
12 is planned to be visited in the future or SGIP incentives  
13 for storage.

14 So we don't have the answer to how we would --  
15 we're not telling people not to put DERs on the Grid. But  
16 we are starting to at least identify where they're going to  
17 have the most value.

18 And the next step is to really have better  
19 information, better tools to understand value and location.  
20 And there's a number of things we can do with that, but  
21 it's too early to say what we will do with that. But the  
22 idea is we're always looking to make the DERs have more  
23 value to the Grid and to the ratepayers. That's the  
24 ultimate goal of our proceeding.

25 So thanks for the question.

1           MR. NESBITT: Yeah. So my sort of another  
2 question is the whole, because I'm a HERS Rater and I'm  
3 primarily in the residential field and behind-the-meter is  
4 everything I do. So NEM of course, allows any electrical  
5 customer to become a generator. And as far as I know,  
6 there's never been any restriction on say battery storage  
7 for backup. It's essentially not connected to the Grid,  
8 when the Grid goes down. Now, although I don't necessarily  
9 understand how we are -- I guess the Storage Grid is I  
10 guess perhaps more regulated as far as what you can do --  
11 storage becoming a big issue.

12           The problem with metering is that the individual  
13 customer has lost sight of their actual electric  
14 consumption, because most systems haven't monitored for the  
15 production separate from their net bill. Although systems  
16 and inverter manufacturers, as well as third parties now  
17 have lots of systems to actually combine your data with  
18 your inverter data to actually show your load and your  
19 production in that.

20           But we've also lost the ability to know what our  
21 electric load is on the Grid, because CAISO and the other  
22 balancing authorities only see the net load. And so we  
23 don't see behind the Grid really as a resource. And yet I  
24 think we need to know what that is in that, that change in  
25 the system load has impacts as well as on the Grid side

1 renewables, the duck curve. And they actually both play  
2 into the duck curve.

3 So net metering (indiscernible) is everyone's  
4 ability to put in a system regardless of the impact on the  
5 Grid. And then we have a policy that we're pursuing, the  
6 whole net zero energy home and then commercial buildings,  
7 which will mean a large increase in buildings that have PV  
8 systems that are producing energy when we may have an  
9 excess of capacity.

10 So we especially in some areas have lots of new  
11 development. We may be putting a lot of resources on the  
12 Grid where we don't want it or don't need it, or that it  
13 might cost more. So we need to think about net metering  
14 and whether storage is required, how that plays out. So I  
15 guess that's it for now.

16 MR. KLAUER: So this is Peter Klauer from CAISO,  
17 just a comment to that, so what you're talking about is  
18 true.

19 And the way we look at it is our ability to  
20 forecast the load is becoming more challenging, right?  
21 Because you could argue that as consumers like you and me  
22 are putting solar on the roof and batteries in their  
23 garage, load is no longer a conforming sort of set of  
24 numbers related to weather or the economy, right? Load is  
25 becoming, I would argue, as much a commodity as generation.

1 Especially as we move to things like time-of-use rates and  
2 the cost conscious consumer is installing storage in their  
3 home to take advantage of those rates. So to your point,  
4 it is becoming more and more difficult, certainly at the  
5 consumer level, to forecast accurate loads. And that's a  
6 very important function that we rely on and it's becoming  
7 more and more of a challenge.

8           We are working, the ISO is working closely with  
9 the utilities, I mean not necessarily behind the -- well,  
10 it is behind-the-meter, but it's not automated. But we  
11 work with the utilities to understand how much PV has been  
12 installed. Because when a storm front moves in or fog  
13 moves in and suddenly a residential area is under clouds,  
14 we at the ISO see the load spike. And we need to be  
15 prepared to deal with that.

16           So we are entering a time where it's more of a  
17 challenge to forecast and to make sure that we have the  
18 right amount of reserves and the right amount of resources  
19 available, but so far we've been able to stay ahead of it.  
20 But it is an interesting time, because I think consumers  
21 more than ever have the ability to manage their loads. And  
22 will continue to do so, which will continue to impact our  
23 ability to maintain reliability.

24           So I think one thing to note too, is that we  
25 recognize load more and more as a commodity. We are

1 working to change our resource model, so that we cannot  
2 just curtail load, for example, through DR, but actually  
3 manage the load. So if we need to increase load, we can do  
4 that as well and send appropriate signals either through  
5 the utility or to transmission-connected loads, like  
6 hydrogen creation.

7           Yeah, so it is evolving and it is a challenge,  
8 but so far we're kind of --

9           MR. NESBITT: It seems like we need to be able to  
10 capture information better from behind-the-meter of the  
11 production and actual load. And then of course, with the  
12 push to electrify transportation as well as potentially  
13 even buildings we're adding. And of course that can have a  
14 positive negative effects, but yeah it's quite complicated.

15           MR. KLAUER: Yes, that's good input. Thank you.

16           MR. PETLIN: I think we have enough time for one  
17 more question or comment, either from the room or from the  
18 phones. Does anyone else want to jump in?

19           Okay. Why don't we mute the phone? We're going  
20 to have one more in the room.

21           MS. DE LEON: Hi, good morning. Thank you for  
22 having this session. My name's Niki de Leon, from Kitu  
23 Systems and we are a network provider. We also work with  
24 the VGI Roadmap process and VGI Interconnection Working  
25 Group.

1           I just wanted to comment on the L.A. Air Force  
2 Base project, and also there's a school bus project in  
3 Torrance, which is part of the SCE territory. And the need  
4 to align the interconnection process for bidirectional PEVs  
5 with what's happening in the Smart Inverter Working Group  
6 and also other distributed resources.

7           We're seeing, as others have pointed out, multi-  
8 jurisdictions. And I have not seen a modified Rule 21 or  
9 WDAT process proposed for electric vehicles. So I'd like  
10 to see either an alignment or a specific call out for what  
11 electric vehicles with these bidirectional functionalities  
12 can expect as they're going through the interconnection  
13 process within either local utility processes or in the  
14 application through into the wholesale market. Thank you.

15           MR. PETLIN: Thank you.

16           I'll be interested to hear from the VGI  
17 presenters in the afternoon, their deeper thoughts about  
18 interconnection issues and bidirectional. So I'll just say  
19 briefly that we expect in the near future to have a  
20 successor Rule 21 Proceeding kicking off sometime this  
21 year. And that's an opportunity to get that issue raised  
22 and possibly included as a scoping item. So be on the  
23 lookout for that, if that is an issue that's important to  
24 you. You can try to insert that as one of your proposed  
25 scope issues. But again I'd like to hear more in the



1 afternoon, on a deeper level on this issue about this issue  
2 to better understand it.

3 All right, any other comments for Rachel or me or  
4 Mike? (No audible response.)

5 Great, well I think that would then conclude the  
6 Storage Roadmap discussion. Thank you very much, Peter,  
7 Rachel and Mike. And thank you all for your participation.

8 We're going to transition now into the Demand  
9 Response and Energy Efficiency Roadmap. And we're going to  
10 call up Delphine Hou from CAISO who is going to lead that  
11 presentation, as well as any other CPUC, CEC staff that are  
12 going to support that presentation. So handing it over to  
13 you, Delphine.

14 MS. HOU: Okay. Good morning. My name is  
15 Delphine from the California ISO. I'm very excited to be  
16 bookending your lunch hour. Actually, I'll let folks go  
17 around the room. We have representatives from the CPUC as  
18 well as the CEC and let me start off with the CPUC. Bruce?

19 MR. KANESHIRO: Hi. Good morning. I'm Bruce  
20 Kaneshiro. I'm with the Energy Division here at the  
21 California PUC. I'm the Supervisor for Demand Response  
22 Programs and Policy.

23 MR. HUNGERFORD: I'm David Hungerford with the  
24 California Energy Commission, Research and Development  
25 Division. And I supervise the demand response research

1 that's going on through EPIC.

2 MR. KLAUER: I'm Peter Klauer, from the  
3 California ISO. I'm the Smart Grid Solutions Manager and I  
4 get involved in these new technologies and the integration  
5 into the ISO markets.

6 MR. GRAVELY: Mike Gravely, from the R&D division  
7 of the Energy Commission. My focus is on the Grid and  
8 energy storage and systems integration.

9 MS. HOU: Great. We will also have an additional  
10 speaker, Martha Brook, from the CEC afterwards.

11 So I wanted to provide sort of a grounding, kind  
12 of a status update and a little bit of looking into the  
13 future with regard to the Demand Response and Energy  
14 Efficiency Roadmap.

15 So when we created this roadmap, back in I think  
16 2013-2014, we were dealing with a couple of emerging  
17 issues. First of all Demand Response and Energy  
18 Efficiency, a lot of it was fairly new, especially from the  
19 CAISO side of integrating it into the market. So a lot of  
20 the goals and activities that were embedded in this roadmap  
21 is really about how do you reflect these resources into the  
22 various planning processes. So specifically, for the  
23 Energy Commission it was for the Integrated Energy Policy  
24 Report, for the CAISO the Transmission Planning Process.  
25 And at the time for the CPUC it was the Long-Term

1 Procurement Plan. So there was a lot of effort revolving  
2 how do you think about demand response and energy  
3 efficiency. At the time, we were also dealing with the  
4 massive SONGS outage, so we wanted to make these resources  
5 operationally relevant.

6 In addition, there was this idea that, especially  
7 from the ISO, when we consider these resources, we wanted  
8 to put them at as level a playing field as possible,  
9 meaning could these resources actually substitute for not  
10 only SONGS, but other resources that we have in our market.  
11 So as Peter had mentioned before, regardless if we're  
12 talking about storage or other resources in the system,  
13 specifically for CAISO we like to think of this as much as  
14 technically possible as an interchangeable resource that  
15 provides us not only with energy and capacity, but also  
16 helps us maintain reliability. So that was some of the  
17 core things that the agencies were dealing with.

18 So I won't go through the large matrix of  
19 specific action items. We'll have that posted after the  
20 workshop, which we'll update for the specific action items  
21 under each agency, the progress that we've made. And I  
22 think speaking for the agencies, I think we've made a lot  
23 of progress in getting through the major goals and action  
24 items of that particular roadmap.

25 So here, I just wanted to give you the

1 highlights. So the grounding is that's the situation we  
2 were facing back in 2013 and '14. How do we  
3 operationalize? How do we plan with demand response,  
4 energy efficiency and consider that in our processes. In  
5 addition, we were starting to grapple with some of the  
6 newer issues that we see today, which is the large  
7 penetration of renewable resources. So we were seeing sort  
8 of the development or the beginnings of the now, I guess  
9 infamous, duck curve. So we wanted to have that as a  
10 consideration. How could demand response and energy  
11 efficiency help us deal with those kind of forward-looking  
12 issues? And I think we've been fairly successful in  
13 establishing the groundwork for that.

14           So in our first goal, to ensure consistent  
15 assumptions, that was largely done through the Joint Agency  
16 Steering Committee (JASC). It actually started with an  
17 energy efficiency discussion. It was a letter from  
18 Senators Fuller and Padilla, asking the agencies to kind of  
19 sit down and really integrate and true up how we account  
20 for energy efficiency.

21           But as Peter mentioned, often times at the CAISO,  
22 when we tried to look at these resources we didn't want to  
23 silo it. So actually, the JASC has really kind of grown  
24 into its own in considering not only energy efficiency, but  
25 demand response. A lot of the behind-the-meter resources

1 that are even developing today like electric vehicles,  
2 behind-the-meter PV.

3           So JASC has really been instrumental in getting  
4 the agencies together. That was back in the 2013-'14  
5 timeframe, but moving forward it's also been really  
6 exciting to have the Air Resources Board join JASC. And  
7 then moving forward now we're going to be looking at,  
8 instead of the Long-Term Procurement Plan we're going to be  
9 looking at IRP impacts from SB 350. So again, JASC has  
10 been a great forum that was developed back for this  
11 particular scenario, but it continues to be relevant going  
12 forward. So a lot of coordination was done through the  
13 JASC.

14           In addition, JASC has sort of spawned off other  
15 working groups and processes, but it's a good way for the  
16 agencies go get together and align what we're doing. So  
17 the roadmap called that out and it's been very successful.

18           And our second goal has been modifying the load  
19 shape, mitigating over-generation. Again, that's related  
20 to the duck curve and to moderate the ramping needs.  
21 That's a lot of sort of CAISO concerns embedded in there,  
22 as some of you may know. And that's been very helpful for  
23 us and specifically in looking at demand response in a  
24 more, I guess very specific way. You know, we've had  
25 specific programs for flex alerts, using that for our

1 system reliability. Back in 2016, I think we got over 500  
2 megawatts of response just from calling the flex alert on a  
3 hot day. So that's been very successful in having that be  
4 a customer-driven response, but helping the Grid with our  
5 reliability needs.

6 A really good joint coordination that we had was  
7 in thinking about the periods when we have overgeneration  
8 and potentially periods when we would welcome some demand  
9 reduction. CAISO and the CPUC had worked together in the  
10 CPUC's proceeding, in the time-of-use OIR. So we were able  
11 to provide our operational data to the PUC.

12 I know the CEC has been very active in this area  
13 as well, with their energy maps. And I think David  
14 Hungerford is going to come up and talk a little bit later  
15 about some of the work that the CEC has been doing,  
16 regarding GFO-15-311. I'm getting that number right? Okay,  
17 excellent, getting the nod for folks on the phone.

18 So that's been very good in terms of helping the  
19 agencies coordinate some of those operational needs. And  
20 we look forward to having that kind of - not only consider  
21 what the needs are, but to really start seeing either  
22 demand response or energy efficiency and certainly other  
23 resources responding to some of the groundwork that's been  
24 set up for this particular goal.

25 The third goal is clarifying needs for DR and EE.

1 Again, this goes back to the different planning processes.  
2 For CAISO in particular, in our transmission planning  
3 process particularly after SONGS went out, we really wanted  
4 to grab all of the resources we could to replace what SONGS  
5 had been providing. So certainly looking at the loading  
6 order in the state we wanted to make sure that demand  
7 response, energy efficiency were kind of front and center  
8 in that.

9           That's also very connected to the IEPR and  
10 working through the CEC and understanding where all those  
11 numbers come from and the CPUC for the DR side. So for  
12 the CAISO side, what we did is we kind of laid out what we  
13 thought of DR. How that could be integrated into the  
14 transmission planning process. A lot of work went into the  
15 IEPR to take energy efficiency and really break it down  
16 into a granular specification, so that you can take that  
17 information and then put it into the transmission planning  
18 process, so it becomes very much integrated. So it's not  
19 just energy efficiency that's out there. But it's energy  
20 efficiency broken down to the substation level, so that  
21 CAISO can integrate it into our planning.

22           So rather than planning for load that might grow,  
23 you would actually take off some of that load, because of  
24 the presence of energy efficiency and again layering into  
25 that demand response and other behind-the-meter resources.

1           In addition, at the CAISO side we strengthened  
2 our rules in terms of considering the reliability needs,  
3 the must-offer obligations of these resources. So again,  
4 putting it into planning, establishing the ground rules for  
5 how these resources operate in the hopes that when they do  
6 come in to the CAISO, we basically put them on a level  
7 playing field with other resources that we typically see,  
8 such as the thermal generators.

9           The fourth one is to ensure resources are  
10 procured. And looking at the timing of it, again I think  
11 the CEC has done a lot of work in this area in the data  
12 collection side making sure we understand what the data is  
13 and how successful the programs are. And again, a lot of  
14 work was done here to take the energy efficiency down to  
15 the bus level. And I think maybe folks from the CEC may  
16 touch upon this later, but this work continues, especially  
17 when we consider SB 350, AB 802. So that's going to be  
18 important work that we continue with going forward.

19           The last point I'll touch on is the fifth goal,  
20 DR program pilot participation. There's been a lot of work  
21 there. So once you kind of establish what the DR may look  
22 like, especially on the CAISO side, you realize there's  
23 some exceptions you need to make because not all resources  
24 are structured the same. So we've done a lot of work on  
25 our side and Peter's been involved in a lot of work to kind



1 of streamline our processes, try to understand how best to  
2 get these resources into our market.

3           So we've had, since 2010, a model that looks at  
4 economically-bid demand response. Since 2014, we've had a  
5 model that looks at reliability-based demand response and  
6 we've had SCE participate in that since 2014. We've had  
7 PG&E start to participate in that, in 2017.

8           And the good news is that after having laid the  
9 groundwork, through this roadmap, we are seeing these  
10 resources participate in the market. So we had an event on  
11 May 3rd, that some of you may be aware of and we did cover  
12 demand response that day and we did get response to help us  
13 with the reliability issue that we had on the Grid, with  
14 load coming up very quickly and the CAISO depleting our  
15 reserves too quickly.

16           So there is a great example of having walked  
17 through the basic concepts of the roadmap, the basic goals  
18 of having it in planning, establishing what the needs are  
19 and what the characteristics are. And then finally using  
20 it operationally on the CAISO side. I think that's been a  
21 really successful outcome of the roadmap and the  
22 interagency cooperation that we have here.

23           So again, I'll let the CEC speak for some of the  
24 piloting. I know the CPUC has done a significant amount of  
25 work in looking at the DR programs. And also establishing

1 an auction mechanism of having more participants and  
2 providing not only more participation, but perhaps more  
3 innovative ideas into the marketplace to look at  
4 strengthening demand response.

5 So again, I'll conclude my time here on the  
6 podium, but the idea is that this roadmap, I think was very  
7 useful in helping us establish some groundwork. But as we  
8 move forward, we have new challenges, we have new processes  
9 that we're still trying to align with IRP, with SB 350 and  
10 who knows what else is going to come at us from the  
11 Legislature. But really, we're at the stage where we think  
12 we've gotten to a level of maturity where the resources are  
13 in the market. And we're just finding ways to kind of get  
14 comfortable with how they operate and how they may be used  
15 to be sort of a larger part of our generation fleet.

16 Okay. With that, I'll hand it over to Martha  
17 Brook, from the Energy Commission. Thank you.

18 MS. BROOK: Good morning, I'm Martha Brook, with  
19 the California Energy Commission. I'm the Technical  
20 Advisor to Commissioner Andrew McAllister. Andrew  
21 McAllister is the Energy Efficiency Lead of the Energy  
22 Commission. He's also been a very active lead our policy  
23 reporting in the past and has a strong interest in demand  
24 response, which is why I'm here today.

25 So Andrew's message to this group, and to the

1 efforts to update these roadmaps, is that he is concerned  
2 that we have the potential here in the state to potentially  
3 overinvest in relatively expensive infrastructure  
4 technologies and systems. Because we haven't yet, really  
5 have promulgated a robust marketplace for the relatively  
6 less expensive, but highly distributed demand response and  
7 demand responsive technologies.

8           So certainly we want to see a roadmap that maybe  
9 has more market certainty, in terms of what we heard  
10 earlier about the milestones and timelines. So that the  
11 marketplace can understand how their business models need  
12 to react to rates and other market signals. So that we can  
13 have a really robust distributed resource market in the  
14 state.

15           And the other thing I'd say from the Energy  
16 Commission's perspective, where we sort of get caught in  
17 terms of the cart coming before the horse a little bit, is  
18 we have a very robust stakeholder community for the  
19 evolution of our Building and Appliance Energy Efficiency  
20 Standards. And we have now, for the last maybe 10 or 12  
21 years, have demand response requirements in our Building  
22 Standards, for example. And we would like to do more. Our  
23 stakeholders would like us to do more in that area. Where  
24 it's a really opportune time to invest in communication  
25 technologies and energy efficiency technologies at the time

1 that the building is designed and constructed.

2 But without that certainty in the marketplace,  
3 it's harder and harder for us to justify that it's cost  
4 effective within a building construction construct to make  
5 those investments, even though we really want to do that.  
6 Again, we need more market certainty in the state, so that  
7 we can justify those investments.

8 And if you think about it, we haven't done any of  
9 that at all in our Appliance Standards. But again if there  
10 was a marketplace for two-way communication then we could  
11 begin to explore standards for demand response capabilities  
12 within appliances that are sold into the state. So that's  
13 just one example or a few examples of where we could do  
14 more again if we continue to partner and update these  
15 roadmaps and keep working on progress.

16 And we are doing a lot at the Energy Commission  
17 to support the JASC and other activities that we've heard  
18 about this morning. The most exciting one probably is an  
19 update to our data collection rulemaking, where we will be  
20 getting more granular data, after the conclusion of that  
21 rulemaking process, because it's needed for our long term  
22 demand forecast, our integrated resource planning, and also  
23 our tracking and reporting of progress on energy  
24 efficiency.

25 So that's all I have to say. And I'm happy to be

1 here today. Thank you.

2 MR. HUNGERFORD: Thank you, Martha.

3 I'm going to give you a brief overview of a  
4 research solicitation that we put out under the second EPIC  
5 Investment Plan in 2015. And research projects that are  
6 funded under this Plan started work about -- the research  
7 projects we've funded under this solicitation, some of them  
8 started last summer, some of them started later in the  
9 fall. And so we're just getting rolling, but this will  
10 give you an overview of what we're trying to accomplish.

11 As some of the other speakers have mentioned, one  
12 of the issues that we've been looking at with demand  
13 response is how to solve the chicken and the egg problem of  
14 demonstrating that large numbers of small resources can  
15 actually have a reliable contribution to meeting some of  
16 the Grid's needs. And the questions of how to  
17 operationalize those things, what kinds of loads are  
18 interested in participating? What kinds of things customers  
19 are interested in participating? What level of engagement  
20 they are likely to have? What kinds of constraints and  
21 needs that we might discover in trying to operationalize  
22 all of that, and how do we actually demonstrate that it's  
23 really working? Especially when we don't have direct  
24 telemetry over every single light bulb or air conditioner.

25 So we conceived of a solicitation that would try

1 to address some of those things and it's based on the idea  
2 of a transactive signal. The idea of a transactive signal  
3 is the idea that customers in real time could understand  
4 what the market was like, and then buy and sell electricity  
5 at their choosing. The idea is that those actions people  
6 would take would be based on economic principles. And that  
7 there would be information exchange between the operators,  
8 providers and prosumers, which are producers/consumers.  
9 Think of a house with PV as a prosumer.

10 But it's not as complicated as all that. Think  
11 of it more as a proxy price signal that varies in real time  
12 and that you can automate response based on which direction  
13 the price is going and the magnitude of the price. And  
14 what kind of effect, over the entire system, that might  
15 have as thresholds for participation are met among  
16 thousands of consumers and tens of thousands of devices.  
17 Compared to the existing system of reliability demand  
18 response where the system is like a car being driven with  
19 only an accelerator that you can press or release to speed  
20 up or slow down, reliability demand response is like  
21 throwing an anchor out of the back of the car and it slams  
22 you to a stop. But it's a big chunk of reduction in load.

23 Whereas, this is more like adding brakes to the  
24 car where you can actually have something you can step on  
25 lightly or hard to make the system slow down. And then

1 release it as soon as you need to speed up, possibly even  
2 in real time.

3           So, the first idea of the solicitation was one,  
4 to develop a transactive signal, some kind of proxy signal  
5 just to test the idea out. It's going to be a proxy. What  
6 gets included and how that evolves, this might provide a  
7 base for it, but how that evolves in the real market we  
8 don't know yet.

9           But it could include everything from existing ISO  
10 markets. And some sort of transactive prices underlying  
11 that to including information like emergency needs or a  
12 specific sub-lap of even circuit level information or even  
13 forecasts of wind production or forecasts of solar  
14 production or even marginal carbon emissions on the Grid at  
15 any one time. And so that kind of information translated  
16 into the marketplace could affect what consumption is on at  
17 any one time or not.

18           So we have two major categories of projects under  
19 this. One is following the bifurcation and the demand  
20 response proceeding, is experiments looking at  
21 participation as supply side resources and the existing ISO  
22 market. And the proxy demand resource market, for example,  
23 or the DRAM Proceedings.

24           The first one is with BMW of North America. They  
25 are looking at trying to understand what their customers

1 might be willing to do with moderating the charging on  
2 their vehicles. The vehicles will have some intelligence  
3 in them that will be able to understand what the customer  
4 wants in terms of how much charge he needs, when he comes  
5 back to the car and at what time. And then the proxy  
6 signal could be processed by the vehicle to understand how  
7 much charging and when charging needs to be done. And try  
8 to optimize the costs for the customer, the amount of  
9 charge that goes in.

10           Instead of plugging in and charging all the way  
11 until full, it might know that if it's plugged in in the  
12 afternoon, or if it's plugged in in the early evening and  
13 there's a steep ramp going on, that it can moderate its  
14 charging. And still get the consumer home by not giving it  
15 a full charge, but giving it a 70 or 80 percent charge.  
16 And they're testing out consumer tolerance for this sort of  
17 thing.

18           They're also looking at some of the basic issues  
19 that we don't have a great handle on yet, which is where  
20 the cars are when, when they are plugged in, and what sort  
21 of tolerance the customers have for dealing with this sort  
22 of thing. How much of it needs to be automated? How much  
23 they need to - is it going to be like a Nest thermostat  
24 where it sort of builds an understanding of the customer's  
25 needs and that's okay with them, or do they want more



1 control? It'll be an interesting experiment. And they're  
2 making available a fairly large number of BMW owners, so  
3 this test is going to be a really interesting test of the  
4 initial marketplace for electric vehicles. Because it's  
5 actual vehicle owners rather than fleets or something like  
6 that, which is not going to be the way everyone else will  
7 be doing it.

8           The second project is under the Center for  
9 Sustainable Injury -- Center for Sustainable Energy in  
10 Southern California -- apologies folks, for those that are  
11 listening. What they're looking at, they put together two  
12 portfolios of customers.

13           One, is they're putting together right now a  
14 group large commercial customers and K through 12 schools.  
15 And trying to understand what kind of demand response  
16 capabilities those customers have, what kind of loads  
17 they're willing to contribute, when they can contribute  
18 load reductions, when they're willing to have their loads  
19 moderated or interrupted. And how that actually -- they're  
20 trying to operationalize, in a way, to try to understand  
21 how the customer's needs are going to be met while trying  
22 to meet Grid needs.

23           And they're going to be comparing results under  
24 existing tariffs, under upcoming tariffs or tariff designs.  
25 For instance the time-of-use rates, some of the time-of-use

1 rates we're going to be seeing in the near future. And  
2 under this transactive signal idea. And seeing whether  
3 there's a shift in the types of loads that can participate  
4 under different kinds of scenarios and incentive  
5 structures. And what kinds of response they see, both in  
6 terms of performance and customer interest and behavior.

7           The other is with the same research goals, but  
8 with hotels, which have some very interesting energy needs.  
9 And very potentially useful patterns for the Grid, given  
10 when needs actually are at the hotels. For them, there's a  
11 tradeoff between efficiency management and load management  
12 that they're trying to explore and trying to figure out  
13 what they can do. One of the techniques for example, would  
14 be to use the hotel rooms themselves as thermal storage.  
15 And so the idea of pre-cooling parts of the hotel, sections  
16 of the hotel, and then dropping them off during the ramps  
17 to try to provide resources to the Grid.

18           The third, again participating as a supply side  
19 resource, is under OhmConnect. And this is quite a  
20 different project. This is empowering prosumers to access  
21 wholesale energy products. They have over 12,000 customers  
22 signed up through social media platforms to participate in  
23 load reduction events. I myself have, because I'm managing  
24 the contract signed up for it, although I don't get free  
25 thermostats or anything.

1           But the customers get these notes in text  
2 messages or emails, whatever they prefer, or they can get  
3 them over other platforms, Twitter and Snap chat, and other  
4 things. And they get a message that says, "In an hour,  
5 we're having an OhmConnect event and it's an Ohm Hour and  
6 we want you to reduce your load by as much as you can."  
7 And then they award points based on whether you actually  
8 successfully reduce load compared to your baseline. Or you  
9 get points taken away if you actually consume more. I lost  
10 all my points the day my wife left the air conditioner on a  
11 couple of weeks ago when no one was home.

12           But it's an interesting platform and an  
13 interesting idea. And it's testing some of the ideas.  
14 It's testing a whole set of different incentive structures  
15 and approaches to engaging customers that will be very  
16 useful, even for different kinds of demand response  
17 activities. This idea of how do you engage with people?  
18 How do you understand what their needs are? How fast do  
19 you wear them out? And how fast do they get bored with it?  
20 What kinds of things do you have to do to keep them  
21 involved? And then, ultimately, what kind of load  
22 reduction do you actually see and measure out of this large  
23 number? Is a statistical estimate over a very large number  
24 of consumers more reliable than an estimate for a single  
25 consumer that has a non-zero probability of failing to

1 perform. So we're very interested in how that goes.

2 They're also providing automation to some of  
3 their customers in providing signals. And they're  
4 providing it could be a thermostat. And the brand escapes  
5 me, but they're putting in plug load strips that are  
6 automated for this sort of thing.

7 So our second group is looking at the demand side  
8 resource, and this is when we think of it as a little bit  
9 more basic, in trying to understand consumers. And what we  
10 have is five different projects over a wide variety of  
11 different customer groups, using different approaches. And  
12 all of them have in common that they're going to use this  
13 transactive signal to test all of the -- to test either a  
14 sub group of their customers or their entire customer  
15 group and see what kind of response and performance they  
16 get.

17 But also looking at the customers' needs under  
18 different tariff structures. And even one of the products  
19 that will come out of this, and the [solicitation's] Group  
20 1 research, is to make recommendations based on the  
21 learnings that they have with their customers on what types  
22 of incentives and what types of structures wide varieties  
23 of customers are interested in. And what differences and  
24 commonalities there are, and what are issues for the  
25 consumers, and what they're willing to actually do.

1           The first one, I'll go over these sort of  
2 quickly, is with Electric Power Research Institute. This  
3 one is a large number of small loads approach. They're  
4 testing a number of different end use devices, thermostats,  
5 plug loads. They have customers with electric vehicles.  
6 They have customers with solar and even some with storage.  
7 Most are either small commercial or residential. And smart  
8 inverters and even thermal storage.

9           And they're going to try to operate these loads.  
10 They're dividing them into groups using different  
11 scenarios, different incentive scenarios. Part of the  
12 money in all of these is bill protection for the customer,  
13 so that they can participate without getting hurt compared  
14 to their regular existing tariff. And so they're going to  
15 be exploring what different kinds of customers do and what  
16 kinds loads actually work and what kind of load reduction  
17 actually works. And again, fatigue for the customers, over  
18 a period of time.

19           The Alternative Energy Systems Consulting is  
20 doing a different set with a higher focus on residential.  
21 And the customers that they have involved have a variety of  
22 DERs. They have customers with solar and customers with  
23 storage. And they're focusing a lot on tariff structures  
24 and trying to understand what might happen under the  
25 upcoming residential TOU rates that are supposed to start

1 somewhere in 2019.

2 And Universal Devices is doing a behind-the-meter  
3 energy management solution. They're focused on the idea of  
4 how to manage load in an automated way. And so they're  
5 focusing their effort on building algorithms that meet the  
6 customers' needs.

7 And the final one with UCLA, is focusing on  
8 engagement strategies with customers. How do you get  
9 people to participate? How do you get them to participate  
10 at a sort of a basic level in demand response? And they're  
11 testing a number of different approaches on customer  
12 engagement.

13 And so I think that pretty much covers what we're  
14 doing in that solicitation. Thank you for your time,  
15 questions?

16 MR. GRAVELY: Well, we will break for lunch here,  
17 come back at 1:00 and go into the public comments for the  
18 Energy Efficiency/DR Roadmap and answer any questions we  
19 can for those interested (indiscernible) parties.

20 So we will close the line. And we'll start back  
21 at 1:00 o'clock. For those here, we'll be back in the room  
22 at 1:00 o'clock.

23 (Off the record at 12:03 p.m.)\_

24 (On the record at 1:06 p.m.)

25 MR. GRAVELY: So this is Mike Gravely from the

1 Energy Commission just kind of helping to host today's  
2 session. I want to introduce Bruce Kaneshiro who's been  
3 working DR at the PUC for a long time. And he'll make a  
4 few comments and then we'll go into public discussion and  
5 public comments.

6 MR. KANESHIRO: All right, thanks Mike.

7 Hi, Bruce Kaneshiro again with the California PUC  
8 and Energy Division. And I just wanted to maybe kind of go  
9 back to the DR/EE Roadmap and first --

10 UNIDENTIFIED SPEAKER: (Indiscernible.)

11 MR. KANESHIRO: Oh, okay. No, this is the slide  
12 that I want to be on.

13 So yeah thank you Delphine and David for sharing  
14 your perspectives on this Roadmap. I just want to make my  
15 comments brief. I think David and Delphine did a great job  
16 of summarizing work to date. I just want to share a little  
17 bit about the PUC's perspective on this Roadmap.

18 And as Delphine mentioned, demand response back  
19 in 2013 wasn't visible to the ISO at least as a  
20 dispatchable resource in its markets. And that's been a  
21 strong emphasis for the Commission as well as the CAISO to  
22 move DR into that world. And that has occurred. As  
23 Delphine mentioned, there's DR now participating. Edison  
24 was one of the early adopters. They started integrating  
25 their programs in 2015 and the Commission has set a

1 deadline by January 2018 that the other utilities have all  
2 of their supply side DR integrated as well. And that's  
3 already begun, so it's a great accomplishment. And we want  
4 to thank the CAISO for working with us in moving that  
5 along.

6           And we also had third-party demand response  
7 providers doing the same thing. As Delphine mentioned,  
8 there was an auction pilot that was adopted by the  
9 Commission that's been running now for a couple of years.  
10 And third-party demand response providers that win a  
11 capacity contract through that auction are also integrating  
12 bidding their demand response into the market.

13           So there's been a lot of interesting learning  
14 that's been going on. And I guess I would just say, to  
15 emphasize if we look at this slide number five is an  
16 important one as far as going forward, we want to increase  
17 DR and public participation in the ISO market and develop  
18 operating experience. And that's happening now. And as  
19 the utilities and the third parties are learning how to do  
20 this, how to move their DR and bid it into the ISO and get  
21 dispatch awards from the ISO and respond, it's important to  
22 get feedback about how that's going. And what are the  
23 challenges with that and what refinements need to be made  
24 to CAISO processes perhaps and CAISO rules regarding DR as  
25 well as their own utility programs and how the programs are



1 set up and how third parties are set up.

2           And trying to find this important, I guess middle  
3 ground you might say, because some of these programs that  
4 are being bid in have long legacies behind them. They've  
5 been around for, in some cases decades. And they've been  
6 developed under certain rules, under certain assumptions  
7 that are different or have to be changed as a result of  
8 being integrated into the ISO. And so there's a lot of  
9 learning and as you get into it and as we're learning,  
10 there's many details that either were assumed or just  
11 thought to be perhaps minor. But actually they turned out  
12 to be challenges for the DR operator.

13           So I would just emphasize that as we keep moving  
14 forward we don't want to claim victory yet although there's  
15 great progress made. But I think we need to keep working  
16 and refining this as that point says, provide feedback for  
17 policy refinement is very important. So and that's for  
18 both the DR operated by utilities as well as the third  
19 parties. They're all in the same boat in terms of learning  
20 this new world.

21           I mention the DRAM Pilot (phonetic) and again,  
22 it's growing. There's a lot of interest for our demand  
23 response providers and so the question is, what's their  
24 role moving into this new world of DR? And for years and  
25 years the utilities have basically controlled the lion's

1 share of demand response. Now, demand response providers  
2 are entering the California markets. A lot of them are  
3 interested in participating through this auction mechanism.  
4 The megawatts have grown. We started with about 40  
5 megawatts that were under contract for 2016. Now that's  
6 grown to about 125 or so this summer. And now the  
7 utilities are running a third pilot for deliveries in 2018.

8           And so the question is, as third-party demand  
9 response providers gain more experience and gain more of a  
10 market share, should the Commission move to that type of  
11 paradigm? And the Commission in a decision last year  
12 indicated that there was great interest in that, but we  
13 need to evaluate to see if demand response providers are  
14 performing. So when they get dispatched by the ISO are  
15 they delivering the megawatts just as an IOU program would  
16 be expected to do. And so that's an analysis that's going  
17 on here at the Commission. The Energy Division is doing  
18 that evaluation.

19           One of the key aspects of that is the performance  
20 of these resources in the ISO market. And so we'll have  
21 the results of that by the middle of next year, which would  
22 speak then to going forward sort of the role of third  
23 parties and the mix of DR that's being provided.

24           And then the last point I'd want to make is going  
25 actually to number 4 back on our slide, ensuring that

1 resources are procured and developing to meet capability,  
2 timing and location needs. And for years demand response  
3 has always been defined as reducing, shedding, load during  
4 the peak hours. And it's triggered maybe once or twice a  
5 year, maybe ten times a year depending on what program  
6 you're on. But it's always about reducing load for maybe a  
7 two-to-three hour period of time in the afternoon, getting  
8 that load shed down during the peak.

9 But as, I think has been discussed quite a bit  
10 already this morning, the Grid need is changing. And so  
11 how can DR change with that Grid need? Do we need to  
12 repurpose DR in its functions or add new functions to it?  
13 And one idea that's come out has been discussed now and in  
14 the proceedings, it's been discussed actually in a  
15 potential study that Energy Division produced last year is  
16 repurposing DR, so that it could be a resource that helps  
17 with the duck curve in that it could be used to help  
18 increase load when there's over-generation on the Grid.  
19 And so that's a whole brand-new concept of DR, but there  
20 are studies indicating that that's where DR could help. Or  
21 help with the steep ramps that occur either in the morning  
22 or afternoon, but it's changing.

23 But if you change it that way, of course that  
24 results in new terms and conditions and new expectations  
25 for customers as well as DR operators like the utilities

1 and third parties. But that to us is a very important  
2 policy area that we're just beginning now to understand and  
3 move toward. It's been discussed again, at least in a  
4 conceptual level in a DR potential study. But now we're  
5 reaching the point where, okay well if you were to change  
6 that then what are some of the design features of that?  
7 How would it work? How would you compensate customers?  
8 Are there ways to do that through retail rates as opposed  
9 to market products in the wholesale market?

10 And so those are the issues that we're beginning  
11 to struggle with, trying to understand and work with the  
12 CAISO, with the CEC and of course, stakeholders in our  
13 proceeding as to bringing in, you might say, a new  
14 generation of DR. Not necessarily to replace all the shed  
15 DR that's out there. We think there's probably a place for  
16 all of that as well. But to repurpose some of it and maybe  
17 repurpose maybe quite a bit of it, as the Grid continues to  
18 change. So that I guess there's yeah, a new generation of  
19 DR.

20 So those are some of the may I say future roadmap  
21 or policy areas that the Commission is looking at. So I  
22 think that I'll stop there, because I don't want to take  
23 any more time from the public comment period. So that's  
24 it.

25 MR. GRAVELY: Okay. We'll open up the room here.

1 Any questions or comments on the Energy Efficiency or DR  
2 side of the roadmap? Come up to the mic here.

3 MS. MIN: Liang Min, Lawrence Livermore  
4 Laboratory. My question is first I tried to draw the link  
5 between Transactive Energy and also demand response on the  
6 wholesale market as CAISO mentioned. Then the question is  
7 where does Transactive Energy fit into the wholesale  
8 market? It seems like the FERC 745, most logical  
9 (indiscernible) is participate as demand response, because  
10 we talk about wholesale market demand response.

11 If that's the case, how can we realize the full  
12 value of Transactive Energy participating in the wholesale  
13 market demand response? What specific case, the  
14 transactive signal you mentioned from EPRI, what does it  
15 look like? How frequent is the signal, is it hourly based,  
16 is it five minutes based, or is it four second based? Now,  
17 if that will make a big difference in terms of how can it  
18 get to the value from different market products or service,  
19 so that's my question?

20 MR. HUNGERFORD: Well, I'll start by saying that  
21 that's exactly the right set of questions to ask. And  
22 there is a fundamental question of how some sort of  
23 Transactive Energy system can fit, given the current market  
24 design or market structures and the way current rates are  
25 designed. Those are some of the questions that we're

1 trying to ask in some of these research projects.

2           And under the next EPIC research plan under the  
3 EPIC investment, the Energy Commission's EPIC Investment  
4 Plan Number 3, we're going to be pursuing some of the  
5 questions that are left after these projects are finished.  
6 The particular problem with trying to make a transactive  
7 system fit within the current ISO markets is being  
8 addressed by one of our projects: the Universal Devices  
9 Project being led by Ed Cazelet and so he's working on  
10 trying to solve some of those problems.

11           And one of the things that's going to come out of  
12 all of these projects, because one of our tasks was to try  
13 to understand the institutional and regulatory barriers to  
14 developing the kind of demand response that's possible to  
15 provide and that the system needs, is to evaluate where the  
16 problems are. And to make suggestions for either  
17 situations that need to be addressed further, or even  
18 suggestions for how to improve the current systems.  
19 Adjustments to the ISO markets and requirements for  
20 example, potential changes to Public Utilities Commission  
21 policy and rate design, but all of those things. And this  
22 is all supposed to feed into that process of growing and  
23 learning and trying to find how to do that.

24           MR. GRAVELY: One thing, (indiscernible) that  
25 here in some sense is that the Transactive Energy concept

1 or the signal itself is also considered regional. In other  
2 words when we get into higher and higher concentrations of  
3 just DER, you could need a regional signal in addition to a  
4 statewide ISO type signal. So you could actually solve the  
5 problem at the local level, utility level, community level  
6 before it got to the point where it needed support from  
7 somewhere else.

8 So one of the research questions is how do you do  
9 that? Again, in this particular research project we  
10 developed the signals hereby (indiscernible) response to  
11 the same signal we could compare that the seven or eight  
12 different projects, how they respond to a same signal as  
13 opposed to (indiscernible) --

14 Anyway, so I'd like to answer your question:  
15 what's the future of Transactive Energy or how do we use  
16 it? I think there are at least two areas. One is regional  
17 Transactive Energy and how this can be managed through the  
18 utility through their loads. And then the question becomes  
19 things like smart inverters, do they respond quickly to a  
20 voltage signal or are they responding to signals from the  
21 ISO that's forward looking, that tells them what's going to  
22 happen versus what's happened right this second.

23 I do think at least in our perspective, if we can  
24 work it out, that's one way of getting DR back into the  
25 marketplace where it has more of a role. Because if we get

1 the transactive signals ready and a DR response automated I  
2 think we'll find that it's still the most cost-effective  
3 product on the marketplace.

4 MR. HUNGERFORD: And I neglected to answer part  
5 of your question, which Mike just reminded me of, is that  
6 the EPRI project that's developing the transactive signals  
7 could be used for this set of projects. It's just getting  
8 underway and the questions they're asking are the questions  
9 you are asking. How frequent does it need to be and how is  
10 it constructed? And all of the participants in the other  
11 projects, all of the other projects, are serving on a  
12 technical committee that's helping EPRI define the  
13 specifications for the signal. And for both communication  
14 and information.

15 MR. GRAVELY: Go ahead.

16 UNIDENTIFIED SPEAKER: (Indiscernible) (Off mic.)

17 MR. BEEBE: Bud Beebe with the California  
18 Hydrogen Business Council.

19 Just to note that one part of the hydrogen  
20 solution for the future includes electrolyzers. And  
21 they're a great demand response resource. They can respond  
22 immediately. They should be warm, so they need to have  
23 some load all the time. But they can respond really  
24 immediately and they can soak up very large amounts of  
25 capacity, so that's all great but they need to have a good



1 price signal, of course. And we would hope that as you go  
2 forward with this that you consider how electrolyzers can  
3 enter into these markets and be given the right signals.

4 And also a particular issue with the  
5 electrolyzers of the size that are likely to be looked at  
6 initially of many, many megawatts are possible in this  
7 response. But you're going to looking at onsite, twosie  
8 megawatt-type installation and they're going to probably  
9 not be situated on the Grid or excuse me, on the  
10 Transmission Grid. But they'll be out on the Distribution  
11 Grid, and so you have to think about rate structure that  
12 allows these things to operate essentially at wholesale  
13 rates or some sort of a market situation that approximates  
14 that.

15 So that's an issue that we've had out there for a  
16 while and appreciate your consideration of it.

17 MR. GRAVELY: Thank you.

18 Other questions from the room?

19 (Recording: The Conference is now in talk mode.)

20 MR. GRAVELY: So anybody online, speak up with  
21 your name and organization and you can ask your questions.

22 MR. NESBITT: George Nesbitt, HERS Rater, can you  
23 hear me?

24 MR. GRAVELY: Very weakly.

25 MR. NESBITT: Okay. I don't know why.

1           So demand response has always sort of been a  
2 reaction to (indiscernible) where there's not enough higher  
3 demand. And --

4           (Audio cuts out continuously.)

5           MR. GRAVELY: We're having a hard time hearing  
6 you, because you're breaking up. Would you just say again  
7 who you are and where you're from and we'll try it again?

8           MR. NESBITT: Well, see I'm also getting an echo  
9 when I speak into the phone. Got it.

10          MR. GRAVELY: One choice would be to just type in  
11 your question and we can read it off, if you just type it  
12 into the chat section. It may be simpler to do that if you  
13 want, because we're having some communications issue with  
14 your mic.

15          (Pause to handle audio issues.)

16          MR. GRAVELY: So one thing we will add here for  
17 the group here is that (audio recording interrupts) is  
18 similar to you'll see in the VGI Roadmap as well as the  
19 Energy Storage Roadmap, we did go through and look at the  
20 different actions. And we're putting together what the  
21 different agencies are doing. It's just the timeline  
22 didn't work, so we'll be posting that in a few days. It'll  
23 be available on the website where all the presentations  
24 are, so it will be a future in a few days for the future.  
25 And it will be available for anybody to comment on before

1 the 27th if there are any questions at all just on the  
2 different actions, where we stand, and what's being done.

3 So if there are no other closing comments from  
4 Peter or anybody?

5 (No audible response.)

6 Okay. Thank you. Then what we'll do is we'll go  
7 ahead and transition to the Vehicle-Grid Integration  
8 Roadmap. And we'll have our two presenters come forward  
9 for that, and change seats.

10 (Pause to set up next presentation.)

11 MR. GRAVELY: Go ahead Noel and Kiel, you can  
12 introduce yourselves here and go ahead and start with that.

13 MR. CRISOSTOMO: So my name is Noel Crisostomo.  
14 I am an Air Pollution Specialist with the Fuels and  
15 Transportation Division of the California Energy  
16 Commission.

17 MR. PRATT: My name is Kiel Pratt. I'm a Project  
18 Manager in the California Energy Commission's Research and  
19 Development Division.

20 MS. CHARLES: And I'm Melicia Charles. I  
21 supervise the section that covers transportation  
22 electrification in the Energy Division at the CPUC.

23 MR. CRISOSTOMO: So Kiel and I will be giving the  
24 Gap Analysis and update of the VGI Roadmap. This is kind  
25 of a tag-team presentation and then we'll transition to

1 kind of a similar format of open-ended Q&A from the  
2 audience.

3 UNIDENTIFIED SPEAKER: Say your name again, I  
4 missed it.

5 MS. CHARLES: It is Melicia Charles. You can  
6 call me Mel, Mel Charles.

7 MR. CRISOSTOMO: So the Vehicle-Grid Integration  
8 Roadmap was developed in I think late in 2012, early in  
9 2013, throughout almost an entire year published in 2014,  
10 in February. So it's been a little bit over four years  
11 since we've been working on this issue in earnest.

12 Just to give the audience a context about how  
13 much has changed in the EV space since then, this was a key  
14 activity coming out of the ZEV Action Plan from the  
15 Governor's ZEV Executive Order, which in 2012 called for  
16 infrastructure to serve 1 million zero-emission vehicles on  
17 California's roads by 2020, leading up to the deployment of  
18 1.5 [million] zero-emission vehicles by 2025. Those  
19 figures were roughly in alignment with the ARB's ZEV  
20 Mandate, which required roughly a 15 percent penetration of  
21 new vehicle sales being ZEV by 2025.

22 Since then with SB 350 and the recent effort  
23 under the midterm review where the ARB was reviewing the  
24 ZEV Mandate this past April roughly, the ARB has since set  
25 more goals on the order of deploying 4.2 million zero-

1 emission vehicles by 2030 in California. And this is in  
2 alignment with other state level targets where the goal by  
3 2050 is to have all vehicles sold in California be a zero-  
4 emission vehicles, which are again a plug-in hybrid -- or  
5 sorry, not plug-in hybrid -- battery electric vehicles or  
6 fuel cell electric vehicles.

7           So during this timeframe the agencies were  
8 working in somewhat isolation around different EV programs.  
9 I'll give a rough overview of what those are. In November  
10 of 2013 the CPUC released a white paper on Vehicle Grid  
11 Integration, which was a kind of a complement and an  
12 attachment to the then new Rulemaking R.13-11-007, which  
13 was supposed to explore Grid integration policy,  
14 infrastructure programs, new rate design, education  
15 outreach among other efforts at the CPUC.

16           In addition, the California Energy Commission was  
17 kind of in the midst of starting its investments in the  
18 Electric Program Investment Charge. There was a decision  
19 that was authorizing a new generation of R&D in succession  
20 to the PIER Program. One of the key projects outside of  
21 the EPIC portfolio, but definitely part of the R&D  
22 Division's efforts were supporting the Los Angeles Air  
23 Force Base in its Vehicle-to-Grid Project. And in that  
24 time the Commission had to work together with -- the CPUC  
25 and CEC had to work together with the CAISO to establish

1 some exemptions to existing demand response rules. Where  
2 the really only way of establishing a retail connection or  
3 a connection to the wholesale market from a retail customer  
4 behind-the-meter was through an exemption to the Rule 24  
5 Demand Response Program.

6 In addition, the Alternative and Renewable Fuel  
7 and Vehicle Technology Program had been investing in  
8 chargers throughout the state. The ARFVTP now comprises  
9 around a quarter of the state's funded infrastructure. And  
10 back then the CAISO had not yet begun in earnest its  
11 initiatives in the Energy Storage and DER Program or the  
12 Metering and Telemetry Initiative. The VGI Roadmap very  
13 much benefits from all the progress that we've heard in  
14 both the EE, DR and Storage space and DER space that were  
15 presented earlier today.

16 So what did we set forth intent on doing in the  
17 VGI Roadmap? There were three major interrelated tracks,  
18 each with activities and shared agency responsibilities.  
19 And so because unlike some of the roadmaps there weren't  
20 specific agency actions, these kind of blend together since  
21 a lot of this is new and represents advanced technology.  
22 And we needed to collaborate on the space.

23 So the first track was to determine vehicle-grid  
24 integration value and potential in which we are going to  
25 understand these cases in different charging situations.

1 Management of the load and whether it's a demand response  
2 type smart charging, controlled load, or a storage  
3 discharging load -- refining all of those combinations in  
4 different charging spaces whether it be in the home or the  
5 workplace at different levels. We are supposed to help  
6 iterate between how those actually impact the Grid and what  
7 value we can place on it from an avoided cost standpoint.

8           That red track was leading into our need to  
9 develop enabling policies, regulations, and business  
10 processes, to liberate that value in programs that are  
11 targeted to consumers. And define the requirements really  
12 of those programs. We would then use that information to  
13 inform our policy and in implementing chargers and rebates  
14 for vehicles throughout the state. And those were also  
15 going to lead into further refinements of technology in  
16 terms of communications, charging power, vehicle technology  
17 as well in order to make this a more liquid market. And to  
18 continually improve the performance of our resources.

19           I went over these pretty broadly, but we'll get  
20 into the next few slides in terms of more specific goals.  
21 Again, as we were seeing with first introductions of  
22 electric vehicles on the mass market scale roughly in 2010  
23 and 2011 we did not know very well how customers were using  
24 these electric vehicles. They were informed primarily  
25 through some early pilots that were funded by the DOE in

1 the Recovery Act. And the utilities in San Diego and  
2 cities in -- San Diego Gas and Electric and the City of San  
3 Francisco and I believe Los Angeles were beneficiaries of  
4 those ARRA funds that informed our charging behaviors.  
5 Because we did not know how big of a resource this is, we needed  
6 to understand what types of Grid services would be  
7 available given charging patterns.

8           Next, the VGI value is important to understand  
9 how capable automakers and charging providers would be in  
10 building the functionality for smart charging in both cars  
11 and infrastructure. These together would inform how big of  
12 a market this would be and how kind of countable this  
13 resource would be in both the ISO market and eventually  
14 distribution global markets.

15           While we listed "formulate VGI business models,"  
16 one thing I should note is that third parties were very  
17 active in the development of the VGI Roadmap. And so we do  
18 not intend to establish a business model exactly, but as  
19 I'll show in the next slides a key part of VGI is to make  
20 sure that these efforts are actually reducing the costs of  
21 electrification and making it more economic. Ultimately,  
22 we're not doing this to be better Grid resources. The  
23 ultimate goal is to really accelerate adoption through the  
24 most effective use of electrification as a dual purpose  
25 device. So it's really about getting this value back to



1 the customer.

2           Each of these tracks conclude with RD&D and I'll  
3 provide some examples of efforts in pilots toward those  
4 points.

5           Track 2 has these goals, so one key element was  
6 ensuring coherence between state policies, programs and  
7 national standards to make sure that we weren't creating a  
8 California- or United States-only market. It's more  
9 apparent given what we've observed in the past week with  
10 the U.S. repeal of the Paris Agreement. But the economies  
11 of scale in battery technology were much un-anticipated in  
12 the rapid scale of cost declines. And so we wanted to make  
13 sure that the products that we were building for VGI here  
14 had relevance to the national programs. And stretched  
15 beyond California since the ARB's historical role has been  
16 to induce larger markets.

17           In addition, these next three related goals of  
18 VGI were to identify the means and criteria for our  
19 charging infrastructure, to establish technical  
20 qualification requirements including the references to  
21 national standards. And the next section of goals describe  
22 how, because vehicles are inherently a mobile energy  
23 resource as Mike had mentioned earlier and as Niki had  
24 referenced in her question, there were no existing means of  
25 clarifying where these are in the Grid to the precise level

1 as what Peter's referenced throughout the day. In  
2 identifying, dispatching and verifying how these  
3 essentially mobile batteries are acting as both resources  
4 and customer mobility devices.

5 Track 3 in enabling technology development was  
6 again, in order to help us better understand how the  
7 resources work both as a transportation device and as a  
8 Grid device. And our intent here was to understand how  
9 different approaches to communications, charging control,  
10 incentive design, dispatch, incorporation in building  
11 facility energy management systems and fleet operations,  
12 understand how all those are put together in order to  
13 create a DER from an EV.

14 So in the next slides I'll be providing some of  
15 the actions that the agencies have taken in terms of Track  
16 1 and Track 2 and then Kiel will be concluding with Track 3  
17 in some of our next steps.

18 So first with the VGI electrical system impacts,  
19 as you can see we have and had a real plethora of existing  
20 research funded through a variety of efforts at the  
21 investor-owned utilities through demand response programs  
22 and the Electric Program Investment Charge administered by  
23 the CEC. I should also note that there are other EV  
24 programs coming out of the IOUs funded through EPIC that  
25 are also informative.

1           The Los Angeles Air Force Base has kind of been a  
2     marquee program for all of the agencies, given it being one  
3     of the earliest manifestations of our interagency efforts  
4     to both fund the vehicle technology, design new tariffs or  
5     examine how interconnections work for these behind-the-  
6     meter loads that are accessing the wholesale market. While  
7     also managing relationships with the utilities in which  
8     they had never done something like this before. So kudos  
9     to Edison in particular, in facilitating the Air Force  
10    Base's more than year-long operations in the wholesale  
11    energy market.

12           In addition, the NRG Settlement included some R&D  
13    technology funds, which are informing how projects on the  
14    ground can be integrating both EV fast charging and battery  
15    storage and photovoltaics to manage the demand charge  
16    associated with operating high-power charging. In total,  
17    the utility programs in combining new rate designs,  
18    understanding the customer responsiveness to dispatching EV  
19    load and testing different types of communications pathways  
20    have been very informative to the three agencies in  
21    understanding how to put this all together.

22           A key element in succession to that is  
23    determining how to kind of productize and monetize that  
24    potential benefit into something that is available for  
25    automakers, charging providers and utilities and customers

1 to work together in making a product that actually reduces  
2 the costs in electric vehicle. And so while this remains  
3 an outstanding question there's been a number of different  
4 potential inputs to inform how we value our Grid  
5 integration resource from an electric vehicle.

6 And so the E3 and LBNL DR potential study under  
7 the DR Proceeding at the CPUC did some analysis on electric  
8 vehicle benefits. I think they were estimating the cost at  
9 around \$40 per megawatt hour of demand response. There was  
10 also a recent NREL publication on the national economic  
11 value of electric vehicles. They do include a smart  
12 charging component there.

13 And I guess as I start mentioning the labs  
14 through this set of bullet points and others, I should note  
15 this interagency effort really stretches beyond just our  
16 California counterparts and utilities and companies. We've  
17 very much tried to engage as much as we have the capacity  
18 to, to reach out to National Labs and the Department of  
19 Energy in coordinating our technology efforts with the Grid  
20 Modernization Lab Consortium on smart electric vehicle and  
21 grid integration. And the -- yes that's the main group.

22 Part of that DOE group is Berkeley Lab's software  
23 called VGI-Soft, which was supposed to develop kind of a  
24 modular set of analytical tools to understand how travel  
25 behavior fits into market operations. And ultimately can

1 be combined into a value that can be allocated across  
2 different actors that are responsible for liberating that  
3 value ultimately to a product.

4           And lastly, on that line both of the Commission's  
5 efforts in resource planning, whether it be identifying the  
6 conditions on the Grid, the procurement options and overall  
7 plans, those are critical for understanding how a utility  
8 would value a resource like this.

9           Similar to that VGI value element, the market  
10 potential element is very much connected. One additional  
11 point that I would add to that is the fact that the Energy  
12 Commission is completing an EV infrastructure projections  
13 model to determine the amount of charging stations that are  
14 needed by station type and by sector type, in order for us  
15 to better understand how the effect of longer-range PEVs,  
16 higher power charger technologies fit into the departures  
17 and arrivals of California households.

18           As you can see with the incomplete and very  
19 partial list of different companies there's been, in this  
20 timeframe, a proliferation of different ways of liberating  
21 the value of this lower cost -- and in our opinion --  
22 superior technology to customers in different segments.  
23 And then in terms of R&D as previously mentioned we have  
24 ongoing efforts in EPIC. The sub-metering protocol, which  
25 would allow for billing off of nonutility grade customer-

1 owned meters as well as the more hardware and technology  
2 validation efforts and modeling efforts by the DOE's Grid  
3 Modernization Lab Consortium.

4 In Track 2 those again regard enabling policies,  
5 regulations and business processes. And the major action  
6 that is embodying ensuring coherence between our state  
7 policies and programs with standards is kind of a follow-on  
8 to a recommendation in an SB 350 ruling from the CPUC last  
9 year. There are recommendations around what types of  
10 communications technologies should be included in utility  
11 proposals to ensure that our future infrastructure is not  
12 stranded from a technology functionality standpoint.

13 The agencies, actually yesterday convened another  
14 session of the Communications Protocol Working Group, which  
15 is engaging with utilities, manufacturers of charging  
16 equipment and vehicles, software providers, aggregators and  
17 other interested parties. We're working together in order  
18 to put this all together since enabling dispatchability and  
19 understanding how much energy is being used, when it's  
20 used, and who's involved in completing that chain, all of  
21 that needs to be assembled together in order for EVs to be  
22 successful Grid resources.

23 As I alluded to on an earlier slide, the next  
24 three points are very much connected. And to be high level  
25 about this explanation, since there are so many different

1 programs, the way that we are operationalizing these Track  
2 3 activities are through different utility rate programs  
3 and charging infrastructure programs. So there are some  
4 very innovative rates that were developed through the  
5 applications for light-duty vehicle infrastructure,  
6 particularly San Diego Gas & Electric grid integration  
7 rate, which has a wholesale pricing as a commodity base  
8 that is dynamic and changes on the hour. And actually if  
9 the day-ahead forecast is more than a cent per kilowatt  
10 hour off in forecasting error, it is treated as a renewable  
11 integration signal. And on top of that it adds circuit  
12 level critical peak pricing all in a dollars per kilowatt  
13 hour rate, which is critical in order to avoid demand  
14 charges that are a key critical challenge to  
15 electrification, especially at low load factors. Yeah,  
16 fully volumetric charges are interesting as part of that  
17 rate.

18 In addition, CEC investments are embodied through  
19 the ARFVTP Program and the EPIC Program, in which we're  
20 coordinating to ensure that the efforts are aligned in  
21 terms of making sure that the technologies are effective.  
22 And avoid stranding to the extent possible. And also the  
23 ISO initiatives that we've spent a lot of time on in  
24 earlier sessions. The ESDER, DERP, and MRE (Metering Rules  
25 Enhancement) are very applicable, equally applicable to

1 electric vehicles in their endeavors to serve as  
2 distributed energy resources.

3           Submetering is potentially seen as a key element  
4 in clarifying the settlement of EVs that are operating  
5 across different levels of the Grid. And so for a behind-  
6 the-meter retail customer that is operating at the  
7 wholesale market, Peter's prior references to the authority  
8 having jurisdiction, setting metering requirements, is a  
9 key point of measurement since it is at the load level, at  
10 the EV-specific level.

11           One thing that has kind of evolved and wasn't  
12 originally included within the VGI Roadmap was the Division  
13 of Measurement Standards's EV fueling systems regulation.  
14 This is coming out of the Department of Food and  
15 Agriculture. They use NC Handbook 44 requirements for  
16 accuracy in terms of what is permissible in selling EV  
17 electricity or charging electricity in the public sphere.  
18 And another recent thing in progress around settlement is  
19 how the Low Carbon Fuel Standard might be using charging  
20 infrastructure level metrology in order for them to verify  
21 the use of electricity, because currently it is being  
22 estimated.

23           Verification is a little bit repetitive of  
24 earlier points since these blend very much.

25           I guess with that, I'll turn it over to Kiel to



1 talk about R&D.

2 MR. PRATT: Good afternoon. Kiel Pratt with the  
3 Energy Commission's Research and Development Division.  
4 I'll be presenting on the enabling technology development  
5 track from the VGI Roadmap and helping to wrap up this  
6 presentation.

7 So we intend to tee up the best series of  
8 questions and discussion for this session after this  
9 presentation. That's our goal, so this list is obviously  
10 not exhaustive. And as you can see per the note on the  
11 bottom right, underlined activities indicate those that are  
12 in progress. And clearly this technology development is in  
13 progress and needs to be looked at from many angles.

14 Vehicle-grid integration uniquely ties together  
15 different entities and business practices that were siloed  
16 previously. And I can talk about several instances of that  
17 in terms of the need for organization and coordination and  
18 prioritization of our research.

19 So Noel had mentioned the VGI Communications  
20 Protocol Working Group, which is intended to look into the  
21 standards and protocols used, and find their best match for  
22 different vehicle-grid integration use cases. And the  
23 findings from that will bear on the CPUC's Alternative  
24 Fueled Vehicles Rulemaking as well as the three large  
25 investor-owned utilities' transportation electrification

1 applications as well as the Energy Commission's Integrated  
2 Energy Policy Report. So there's a lot of work going on  
3 there.

4 I was at the meeting that occurred yesterday.  
5 And something that I found compelling is you can look at  
6 use cases and many different possible value streams. But  
7 really kind of 80 percent of the impact is going to come  
8 from 20 percent of the value streams from the use case. So  
9 in terms of the prioritization function, it bears  
10 mentioning that a relatively small number of principal  
11 values apply to use cases. And that's something to know  
12 for the research and the products that each research  
13 project is going to deliver and where they are applicable.

14 From the Energy Commission's Research and  
15 Development Division's perspective, some of our recent work  
16 has been on developing the third triennial EPIC Investment  
17 Plan. And that's a pretty well-timed activity in terms of  
18 looking at the research needs. And if you want to look at  
19 that draft investment plan, which the Energy Commission has  
20 submitted to the CPUC for comment and for possible approval  
21 later this year, you can look at its Section 3.2 where  
22 there are a couple of sub-initiatives dealing with the next  
23 stage of research for vehicle-grid integration. And also  
24 the need for battery second use.

25 There are lots of developments that are occurring

1 as far as battery capacity. And even the potential for the  
2 personal vehicle ownership model to change with shared,  
3 connected and possibly even autonomous vehicles. And those  
4 developments could have implications for these vehicles'  
5 interactions with the power system. Maybe they would be  
6 able to charge at more opportune times at higher rates, or  
7 slower rates depending on what is needed.

8           So the vast differentiation of research  
9 objectives is something to note also. If you recall the  
10 Demand Response and Energy Efficiency Roadmap, my colleague  
11 David Hungerford earlier today presented a solicitation and  
12 showcase of individual projects from that. It would be  
13 overwhelming if we were to try to do that here. Under the  
14 first EPIC Investment Plan there were seven projects  
15 dealing with vehicle-grid integration. From a recent  
16 solicitation under the second EPIC Investment Plan there  
17 were nine projects, and that's not even counting the BMW  
18 Demand Response Project that David Hungerford had  
19 presented.

20           So what needs to be emphasized is that the value  
21 of vehicle-grid integration has many applications depending  
22 on the type of driver, the type of vehicle, the  
23 communication that is needed, and the facility  
24 configuration in its interaction with the power grid. So  
25 there is a need for this fusion function. It was mentioned

1 in an earlier presentation that the Distributed Energy  
2 Resources Action Plan serves this kind of fusion function  
3 lining up the different proceedings that different  
4 initiatives line up to. This very workshop also serves  
5 that fusion function.

6 And so we'd like to set up the discussion for  
7 your comments and let us know about the research  
8 priorities. And any other ideas on the progress that we've  
9 gone through here so far. Could we go to the next slide,  
10 please?

11 So we'd like to know if the progress is in the  
12 right direction. I didn't drill down into particular  
13 projects, but there are a number that are either continuing  
14 or proposed for funding. I think it's exciting that the  
15 most recent solicitation has two projects for municipal bus  
16 fleet electrification. Because that is a very interesting,  
17 powerful but difficult problem to solve, because not only  
18 do you have facility issues but your bus route might  
19 overlap different jurisdictions. And so if you do any kind  
20 of on-route charging, you may have to modify your  
21 operations for the utility rate schedule in that part of  
22 your bus route.

23 And a lot of entities and businesses, as part of  
24 their plan, are looking at local considerations such as  
25 this in lining up which variables are the most effective to

1 deliver value.

2           And are we on course to meet the SB 350  
3 electrification targets? We know about the Governor's  
4 executive orders as far as ZEV adoption. Taking a wider  
5 view of policy, possibly the binding constraints you might  
6 say, might in some cases be clean air mandate attainment in  
7 certain geographical areas. Or the amount of  
8 transportation electrification and vehicle-grid integration  
9 that is implied under a very high renewable portfolio  
10 standard mandate. You would want that electrical load and  
11 the ability to time-shift load and generation in concert  
12 with the Grid needs. And vehicles would be perhaps a  
13 necessary component in that high level of renewable  
14 penetration.

15           So there are a number of actions and a fusion  
16 function that is needed for aligning our research  
17 priorities even within the Energy Commission and across the  
18 EPIC and the Alternative and Renewable Fuel and Vehicle  
19 Technology Program. And then outside across agencies, with  
20 a collection of California agencies interacting with our  
21 federal counterparts and international actors. I'd say  
22 that the vehicle-grid integration technology itself is sort  
23 of a metaphor for this cross-cutting configuration. Which  
24 makes it complicated, but makes it able to deliver value in  
25 a new way.

1           And I'm ready to wrap up the presentation and we  
2 can open it for comments. All right, thank you for your  
3 attention.

4           MS. CHARLES: I think you guys had a very  
5 detailed and comprehensive presentation. I did want to  
6 touch upon just a couple of things from the CPUC  
7 perspective in terms of the role of VGI and the VGI  
8 Roadmap. So basically just at a high level, the CPUC's  
9 work this year is driven a lot by SB 350, which had a  
10 mandate for the CPUC to direct the investor-owned utilities  
11 to file applications proposing programs to support  
12 widespread transportation electrification that would  
13 ultimately support our long-term greenhouse gas reduction  
14 goals.

15           And so in response to that, Commissioner Peterman  
16 issued a Assigned Commissioner Ruling directing the IOUs to  
17 do just that. And Noel already alluded to it, but within  
18 that ruling there was the intent to foster a record and  
19 develop a record on vehicle-grid integration. And so it  
20 began at first with a recommendation in terms of  
21 communication protocols, which then evolved into the VGI  
22 Working Group, which was mentioned in the previous  
23 presentation.

24           And the one thing I would say about that is the  
25 working group is working really hard. It's a multi-agency

1 effort between the CEC, CPUC and ARB and many stakeholders,  
2 a couple of which I see here. And that is working in  
3 parallel with the CPUC's consideration of the IOUs'  
4 transportation electrification plans. And the intent is  
5 that this working group will go through the process of  
6 figuring out whether or not we need a protocol. What  
7 protocols to use. Trying to answer these questions related  
8 to VGI and then bring recommendations to the CEC and the  
9 CPUC. And in the CPUC's case, those recommendations will  
10 be considered and possibly included in our proceeding. So  
11 it's part of the whole with regards to that.

12           The other piece is I did want to mention the DER  
13 Action Plan, which Gabe mentioned and Kiel just mentioned.  
14 There are a couple of visions within the Action Plan that  
15 directly relate to VGI and one of them is a vision that  
16 says, "EV charging systems, mobility and driving behaviors  
17 can be predicted and overseen by grid operations." There's  
18 a second vision that says, "Non-discriminatory market rules  
19 for mobile electric transportation resources should support  
20 customer mobility." And so again the work we do with  
21 regards to the VGI Roadmap, whether it be the working  
22 group, whether it be all these activities that they  
23 basically laid out will help us move forward with regards  
24 to all of this.

25           The last piece I would say is that I very much

1 related with -- I don't know quite what the word is to the  
2 question or the comment earlier about trying to get your  
3 arms around all that is going on. And I would offer that  
4 these roadmaps, I think all three of them, are one way to  
5 get your arms around it. Whether it be assigning roles to  
6 different agencies or figuring out what questions we need  
7 to answer, in addition to the Action Plan. And so I do  
8 believe that the agencies are working very, very closely  
9 together to really think through these issues  
10 comprehensively with regards to VGI and transportation  
11 electrification. And I would also say storage and DR and  
12 energy efficiency.

13 And that's it for me.

14 MR. GRAVELY: Okay. Thank you.

15 And then in the back of the room there is a  
16 handout here that has a summary of the different actions  
17 that are in the roadmaps with information on the current  
18 status and the activities there or references of where to  
19 go to the latest activity in those areas.

20 So any other comments before we -- I'll open it  
21 up for public comments. So if you have comments just come  
22 down to the microphone here, identify yourself for the  
23 record. As I mentioned earlier we are having this  
24 recorded. We have a court reporter here recording  
25 everything, so be sure she can hear your name and



1 organization and we'll be glad to respond to any questions  
2 you bring forth.

3 MR. TAYLOR: Good afternoon. My name is Dean  
4 Taylor, Southern California Edison. I have some specific  
5 comments on the VGI Roadmap, but maybe before I get into  
6 that I wanted to just step back a moment.

7 One, just to compliment on doing working groups,  
8 I think that is so valuable. I've been doing this several  
9 decades and working groups are rather rare. I was active  
10 in 2013 in doing the VGI Working Group, and now in this VGI  
11 Communications Protocol Working Group it's such an  
12 extremely complex topic. It's so hard to get your arms  
13 around it. It's so important -- not to have like a court  
14 reporter in the room -- and to have this roll-up-your-  
15 sleeves kind of thing where everybody's getting together.  
16 I mean, we're learning the VGI Communications Protocol  
17 Working Group just how enormously complex it is just to get  
18 our arms around it. To have the right framework, to talk  
19 to each other, and it just is really refreshing to see  
20 that.

21 It's also very refreshing to see all the agencies  
22 work together. You know, if we go back several decades it  
23 wasn't always the case, so it's hard. It's hard to break  
24 down siloes. It's hard to look at thing from  
25 multidisciplinary approaches and do all that.

1           The other thing I thought since you did mention  
2 SB 350, before I go into VGI Roadmap I'd want to step back  
3 and I always like to go for the big picture, which in my  
4 mind is GHG and air pollution reduction. So I think  
5 people, especially outside of CARB and CEC have a hard time  
6 wrapping their minds around how big the transportation  
7 sector is. I mean, when you add in refineries where 50  
8 percent (indiscernible) transportation sector, or 50  
9 percent of the GHG, you know, 80 percent of the NOx and 95  
10 percent of the particulate diesel matter. Plus there's  
11 other air toxics and disadvantaged communities issues.

12           I mean, it's just so huge that it's hard to -- so  
13 for example, just getting an EV on the road in almost every  
14 utility service territory you're getting 80 percent  
15 reduction, because gasoline and diesel are just so carbon-  
16 intense. So VGI in plain English, is really just  
17 optimization. And once you get those, how can you get more  
18 pollution and air reductions beyond that 80 percent? But  
19 just getting the cars on the road is awesome, so that's one  
20 of the -- we can't forget that.

21           And we have to be careful that anything we do in  
22 VGI doesn't end up stifling adoption or stuff, because that  
23 is the first order of business, just getting the vehicles  
24 on the road.

25           And then it's interesting now that we're also in

1 this new integrated resource planning effort that was  
2 another part of SB 350, it's interesting to kind of compare  
3 renewables and energy efficiency compared to EVs. And it's  
4 pretty stunning, per kilowatt hour you get three times more  
5 GHG reductions from getting that vehicle. And when you get  
6 into NOx it's huge. You know, it's like light-duty  
7 vehicles is like eight times more NOx [reduction] than  
8 getting more renewables or energy efficiency. And when  
9 you're getting into heavy-duty it's even more dramatic,  
10 like 30 to 60 times more NOx [reduction].

11           So it's just we put enormous effort, sometimes it  
12 seems, on to the renewables and energy efficiency. And I  
13 think that's mainly just because they've been at it for 30  
14 or 40 years and these are much newer. But they offer  
15 enormous progress. I mean, imagine if we had 4 million  
16 [EVs] and the amount of Grid services that they could  
17 provide is awesome. And then at that time you'd probably  
18 have a million used batteries. I mean, there's just so  
19 much huge potential out there that we can look forward to.  
20 And figuring this out is critically important.

21           I'll make myself some notes, so I don't forget,  
22 but I kind of asked earlier are we on course? And  
23 unfortunately, the answer is no. We only have a little  
24 over 300,000 EVs in California. To hit these targets of 4  
25 million is just going to be awesome, but the additional

1 work that needs to be done is stunning. And on the other  
2 hand, globally we're doing pretty good. We just hit 2  
3 million EVs on the planet. You know, I think Southern  
4 California Edison probably hit 100,000, and half of the EVs  
5 being sold in the nation are here in California.

6 But when you look at things like I was just  
7 meeting somebody over at lunch about China and buses, I  
8 mean they have at least 60,000 buses and trucks there. We  
9 don't even have 1,000 here in California. So there's  
10 certainly more that we could be doing on that big question,  
11 are we on course.

12 But getting down to more nitty-gritty on the  
13 Roadmap, it seems like we have at least 100 people involved  
14 in the VGI Communication Working Group and we're like kids  
15 in a candy store. There's tons of things, we're not  
16 possibly going to get everything done, so it seems like it  
17 needs to bleed over into a follow-on effort. So the  
18 follow-on effort, my recommendation is that we update and  
19 kind of continue the working group with the express purpose  
20 of updating the VGI Roadmap. It's been four years, there's  
21 tons of changes in agencies, tons of new technologies both  
22 with charging stations, a lot of things that didn't exist  
23 four years ago.

24 You know, if you look at the CARB Report where  
25 we're going to have another 20 long-range EVs on the market

1 in the next five years, we're going to have another 20  
2 long-range hybrids on the market. So it's just there's a  
3 lot going on technologically. It just seems like time to  
4 re-do the whole roadmap and all the things that we didn't  
5 get done as part of this next four months on the working  
6 group, bleed it over and have another working group to  
7 update the roadmap.

8 As far as things in the roadmap, the one thing  
9 that it seems we're hearing a lot from the automakers is  
10 that they want to know more on what is the value. And what  
11 is the prioritization of the value and what is the market  
12 potential of the different values or the risks. We keep on  
13 saying yeah, you can have standards, but it doesn't  
14 necessarily mean that you're going to solve the question of  
15 getting the various automakers and others really involved  
16 to extract the value.

17 And frankly, they've been asking that question  
18 for a really long time and we need to have more effort to  
19 better define what is the value. What is the market  
20 potential? And prioritization both near-term and long-  
21 term, because what you might want to prioritize now might  
22 be different to Noel's point yesterday, that when you have  
23 80 percent renewables you might have a different  
24 prioritization value.

25 And just to better understand the business cases

1 and the cost benefit tradeoffs I'd also recommend more work  
2 on surveys to bring in the customer side. Or maybe small  
3 pilots to understand what is -- the customer is key to all  
4 of this and there's a lot of very interesting tradeoffs  
5 from a customer perspective that need to be explored.

6 Like, do they want central control or customer control? Do  
7 they want to move their car or not move their car? And on  
8 and on, and I'm not going to go into detail there.

9           Also you had a whole section in Track 3 of the  
10 VGI Roadmap, there's tons more work to be done on enabling  
11 policies. And it isn't just market type reactive  
12 activities, but I was in a call to one of the subgroups  
13 this morning. And they were talking about planning  
14 activities. In other words, there's a lot of things that  
15 can be done on a customer site, like say if you had a home  
16 energy management system you might have all this  
17 interaction between your solar, your storage, and your EV.  
18 And the Grid would never see any of that. That's just  
19 things that you can do that will benefit the Grid on your  
20 purchase decisions and your interaction of your home energy  
21 management system.

22           Similarly, in the parking lot you could have  
23 things like power sharing or power sequencing that would  
24 never end up -- we wouldn't see that as kind of invisible  
25 to the Grid. It's just good purchase decisions on the part

1 of the site host or the home. These are all things that  
2 really help on that.

3           And other things in enabling policies were  
4 mentioned in Noel's presentation. Things like really good  
5 rate design or demand charge policy or maybe even allowance  
6 policies or possibly even incentives for different types of  
7 technology. So it isn't just setting a standard that you  
8 influence the market. You can influence people's purchase  
9 decisions by requiring maybe different incentives for  
10 different objectives.

11           Another thing is the issue of -- this kind of  
12 fits in the category of being overwhelmed all the time --  
13 is the issue of we need to have better convening of all the  
14 different data experts. I say that, because frankly the  
15 different people who have a lot of data, be it the  
16 automakers, the charging station companies, the utilities,  
17 the national labs, the universities, are not doing a good  
18 job of talking to each other.

19           Recently the White House, under the prior  
20 Administration last December had a White House EV  
21 "datathon" where our National Trade Association put  
22 together a list. It is just stunning how much we don't  
23 know. And it's just really, really basic stuff and it's  
24 because we don't have enough of these kind of working  
25 groups where we're all talking to each other. So whether

1 it's the Energy Commission or the all of you or somebody,  
2 but I think there's so much we can gain by just voluntarily  
3 convening ourselves to talk. You know, rather than having  
4 requirements and frankly there's some press-back on why  
5 would you regulate during Title 20 or other things like  
6 that. When you could do a more voluntary approach and get  
7 a lot of this data collected, because we're kind of  
8 drowning in data now.

9           Imagine what it will be like in several years  
10 when we have all this huge amount of data from the  
11 utilities and other sources. So convening us to have a  
12 more ongoing, call it the data geeks group, where we all  
13 get together and understand the markets better.

14           A couple of things, to wrap up, I did like some  
15 of the categories and tasks in the Storage Roadmap. So  
16 maybe we could kind of compare and they had some very  
17 interesting bucketing and actions. So is there something  
18 to learn from the VGI Roadmap by comparing it to some of  
19 the other roadmaps.

20           Also maybe because vehicles are so different, I  
21 would maybe consider bringing in especially CARB and GO-  
22 Biz. And CARB is obviously the vehicle -- has huge  
23 knowledge there. GO-Biz has some very specific things  
24 regarding infrastructure on their plate.

25           I heard, just lastly I'll wrap up by saying that



1 I heard some other interesting comments this morning on  
2 jurisdictional domain issues, permit streamlining issues.  
3 So there may be some other things that could be part of a  
4 broader VGI Roadmap to get into that.

5 Sorry for so many comments, thank you.

6 MR. GRAVELY: Thank you. Other questions?

7 MR. SCHLOSBERG: Hello, all. My name is David  
8 Schlosberg. I'm with eMotorWerks. We're an EV charging  
9 hardware, software and energy services company. And I just  
10 wanted to commend the folks on the panel here. I think  
11 we've engaged with all of you in the different aspects of  
12 EV, VGI, just incentivizing the electrification of  
13 transportation.

14 Specifically just two comments. One is around  
15 development of the market, which is the participation  
16 frameworks with the ISO, so the ESDER Initiative. A lot of  
17 great work has been done that's allowing electric vehicle,  
18 ourselves, I assume BMW as well, taking advantage of some  
19 of the things that have already been created through the  
20 ESDER Initiative. And I think that there's more to be done  
21 to further unlock electric vehicles.

22 It kind of happened without our attention, but I  
23 think some of the baseline alternatives will be helpful for  
24 electric vehicles. Understanding that these are driving  
25 peak loads, but don't necessarily happen every day over the

1 last ten days. And that also just some of the ways that we  
2 measure electric vehicle dispatch is obviously very  
3 different from a weather-sensitive load, so thank you for  
4 considering those issues in the ESDER Initiative going  
5 forward.

6 Also, I just -- there's been some talk of  
7 electric vehicles and thinking about electric vehicles as  
8 we manage the distribution system. And I don't know that  
9 enough attention is being paid towards that. If we achieve  
10 our goals on ZEVs that's going to become a real issue,  
11 equivalent or greater than some of the issues around  
12 rooftop solar. And I would say that maybe San Diego with  
13 their VGI rate potentially gets at that. But questions  
14 around whether customers will adopt that with their whole  
15 home, whether they're appropriately engaging third parties  
16 to enable customers to really adopt that technology and use  
17 it like they would use a smart thermostat that already kind  
18 of manages all that behind the scenes.

19 And that all the utilities should be actively  
20 thinking about how they create programs and incentives and  
21 tariffs to engage electric vehicles to be solutions for  
22 managing the Distribution Grid going forward, rather than  
23 waiting too long. And then having a debate of can we  
24 invest in the Distribution Grid? Can we allow people to  
25 continue to adopt electric vehicles? And have utilities

1 done everything they could in their power in advance of  
2 those issues. So just wanted to make sure that's in the  
3 framework of the roadmap.

4 MR. CRISOSTOMO: Yeah, to respond to your last  
5 point, David, and I think this also captures the points  
6 about reassignment Dean was mentioning in the overall value  
7 of VGI. I saw an Elon Musk tweet yesterday where he is  
8 going to place the superchargers all with batteries, all  
9 with solar, obviously with the recent acquisition of Solar  
10 City, but eventually disconnect them from the Grid. So  
11 let's think about that for a second, disconnecting an array  
12 of superchargers from the electrical grid connection.  
13 Because it's either faster, cheaper and definitely cleaner,  
14 immediately than trying to go through the interconnection  
15 process and dealing with demand charges.

16 That I don't know if the tweet was received with  
17 as much fear, at least I started to think about it in terms  
18 of kind of a fearful thing. If we started to see a lot of  
19 defection, at least from a fast charging standpoint such  
20 that it was off-Grid. And if that ends up being a  
21 nontrivial amount of electrification with that energy use,  
22 then how does that affect the utility? I think that throws  
23 a challenge to everyone working in this space, to think  
24 about how we're designing this. And the need for whole  
25 systems design.

1 MR. GRAVELY: Go ahead.

2 MR. HALL: Good afternoon, everyone. Jamie Hall  
3 with General Motors. I'll just run through a couple of  
4 quick things, first I want to say I agree with Dean Taylor  
5 from Southern California Edison about how encouraging it is  
6 to have these kinds of discussions. There's definitely a  
7 lot of moving pieces and all the stuff is interrelated.

8 I was at the VGI Work Group discussion yesterday  
9 too. I wouldn't say that I personally felt like a kid in a  
10 candy store, but I did feel like, "Wow, we've got an awful  
11 lot to do here." And I unfortunately missed the storage  
12 portion this morning, but I imagine that some of these  
13 issues came up there too. And definitely agree with Mel  
14 that we need to take a comprehensive approach to all of  
15 this.

16 I won't take a position on whether or not you  
17 need to do a new roadmap, because I know that you have a  
18 lot of work to do. But there is definitely enough going on  
19 here to fill several reports, so I just want to focus  
20 briefly on two quick things.

21 One, and Dean already touched on this, figuring  
22 out the value -- you know this is a key part of the roadmap  
23 -- this really is sort of first and foremost in our minds.  
24 As an automaker, and as I talk to people throughout the  
25 company, that's the first question that they always come

1 back to. So the more that we can do on that front to  
2 really make this clear and better.

3 And two, just thinking about how to keep this  
4 simple for customers. And I know that this sort of should  
5 be obvious, but people often jump to really cool future  
6 scenarios that maybe are not always thinking about what's  
7 going to be simple for the EV driver who's never been to an  
8 EV conference. And is not one of us and definitely would  
9 not be a kid in the candy store at these discussions.

10 For this all to work the way we want it to, we  
11 really need to get to scale with these vehicles. And from  
12 our perspective sales are going quite well and things are  
13 definitely picking up, but not at the scale that we need  
14 for EVs to really play a major value in sort of supporting  
15 the Grid. So to make that happen we've really got to focus  
16 on basic, basic things as part of this comprehensive  
17 approach. And that's what can we do on the incentive  
18 front? What can we do around rate design to make sure that  
19 people are indeed saving money when they go electric? And  
20 how can we keep going with the efforts that are underway to  
21 build out the infrastructure?

22 And the last thing that I'll just throw out  
23 there, I don't know if it came up earlier today, but I  
24 haven't heard it mentioned yet, what is the role of  
25 hydrogen in all of this as an energy carrier? And how do

1 those vehicles play into this whole discussion? So maybe a  
2 topic for another day, but I think it's important. Thank  
3 you.

4 MR. MIN: I'm Liang Min with the Lawrence  
5 Livermore National Laboratory. So my question is about I  
6 heard a lot of discussion a half hour ago regarding the  
7 communication protocol about electrical vehicles. Is there  
8 any discussion about cybersecurity concerns on the V2G  
9 perspective?

10 The reason why I've brought this up is when I  
11 entered this room this morning, I got a new product alert  
12 from DHS, regarding the new research. They realized that  
13 there's a limit to the consequence in terms of cyberattack  
14 on electrical vehicle charging stations alone, because  
15 there's a lot of the protocols we're talking about are  
16 Internet-based protocols. And a lot of electrical vehicle  
17 charging stations are Internet connected. So I want to  
18 learn from the working group, has there been any discussion  
19 about cybersecurity around the V2G perspective?

20 MR. CRISOSTOMO: So I'll have to answer this in a  
21 kind of an unofficial off-roadmap perspective. So for the  
22 Air Force Base, the Base in Los Angeles, the command needed  
23 to go through a very rigorous development process to allow  
24 for their third parties Akuacom, LBNL, to work together and  
25 develop the software in order to manage their fleet.

1           MR. PRATT: That's called an authority to test  
2 certification.

3           MR. CRISOSTOMO: Right, so they had to go through  
4 a military-grade set of security requirements to allow for  
5 external control to occur according to the AGC, the CAISO's  
6 automatic generation control signal. That's one of our  
7 primary forays into the understanding of cybersecurity for  
8 VGI in an official agency capacity. And I say that,  
9 because cybersecurity wasn't -- I don't believe identified  
10 as a key activity or subset under the goals that we  
11 highlighted.

12           However, I know I'm personally starting to look  
13 deeper into technologies that would allow for the  
14 protection of EV charging commands, based on Internet  
15 protocol communications. Perhaps it could be a critical  
16 part in our technology roadmapping process that Matt from  
17 the CEC will be launching later this year. But there are  
18 methods to protect charging from man-in-the-middle attacks,  
19 and external attacks that we definitely have to ensure to  
20 avoid potential catastrophic effects on simultaneous  
21 charging, in a geographically-concentrated area. I agree  
22 that it's needed.

23           MR. GRAVELY: So this is Mike Gravelly from the  
24 Commission, on the Energy Commission. So cybersecurity is  
25 a topic that we're spending quite a bit of attention on,

1 and the Chairman of the Commission asks us a lot.

2 But it is a two-sided coin, in a sense that in  
3 our case doing public research, so you rapidly run into an  
4 environment that you need to be in a classified  
5 environment. So we don't go that way with the public.

6 We work with the utilities quite a bit. So I  
7 guess the general answer is it's a very -- it's in the news  
8 almost every day now, almost. So we've very aware of it.  
9 We do look at the different options, so in some cases you  
10 can do research about cybersecurity techniques. And it's  
11 not until you enter the classified codes, your other  
12 things, that it becomes classified. In some cases the  
13 strategy is actually intended to be sensitive.

14 So all I can say is it is a top issue. It's an  
15 issue that comes up all the time we address in our research  
16 now going forward. One of the tasks that we have going  
17 forward, is for the individuals to talk about how they are  
18 going to address cybersecurity. We don't have an approved  
19 solution or minimum or maximum. We just ask how they're  
20 going to address it and what their plan is if they have any  
21 attacks.

22 But again I think it is a topic that's very high  
23 on the priority list. But it's also a topic that's  
24 difficult to discuss in too much detail in a public  
25 environment, because it's intended to not give away what



1 you're doing to the people who are trying to do it.

2 MS. DE LEON: Good afternoon. My name is Niki De  
3 Leon and I work for Kitu Systems. We are an EV network  
4 service provider, as well as an integrator for the Internet  
5 Of Things.

6 I'd like to thank the panel again for discussing  
7 this roadmap. And echo what Dean was saying that we're  
8 very pleased at the collaboration involved with the VGI  
9 Communications Protocol Working Group. And the efforts on  
10 behalf of the CPUC, the CEC and the ISO to address grid-  
11 integrated vehicles.

12 I'll say I come from the energy industry and I'm  
13 an accidental transportation stakeholder. So I see the  
14 load capacity factor of electric vehicles as a huge  
15 opportunity to take advantage and help support the  
16 integration of renewable resources on the Grid. That said,  
17 I also want to be aware of the customer satisfaction with  
18 EVs to build the number of EVs in California and  
19 nationwide. So I think it's important to strike a balance  
20 and acknowledge both halves of this issue.

21 As mentioned earlier during the Energy Storage  
22 Roadmap, we're asking for clarity from the CPUC regarding  
23 access of grid-integrated vehicles to the DSO and ISO  
24 services and markets specifically with regards to Rule 21  
25 and bidirectional vehicles. The IOUs' definition of Rule

1 21 has been a barrier specifically to projects such as NSI  
2 School Bus Program and the NRG Settlement V2G projects and  
3 other RD&D projects throughout California.

4 I'd like to mention that some of these vehicles  
5 have capabilities to provide more than energy services.  
6 That there also are smart inverter capabilities to support  
7 reactive power and volt/var control. So we're talking  
8 about a multiple-services resource here at the vehicle  
9 level. I welcome your thoughts on how overlapping access  
10 requirements for energy storage inverter technologies,  
11 especially storage of the stationary and the mobile type,  
12 can be addressed specifically through Rule 21 method.

13 And lastly, I'd like to make a comment about the  
14 submeter program. I think this is different than the  
15 Submeter Protocol that Noel had mentioned before. But the  
16 CPUC Submeter Pilot Program, Kitu as a meter data  
17 management agent (MDMA), would like to support this CPUC  
18 Submeter Pilot Program as it enables electric vehicle  
19 tariffs for residential customers. And it's lower-cost  
20 than deploying additional infrastructure through utility-  
21 grade meters.

22 And as the MDMA, we can attest to the customer  
23 interest in this program. And EV drivers have expressed  
24 high interest in the (indiscernible) ability in charging  
25 and it allows for multiple tariffs at the residential

1 level. So we support that program and we hope to see that  
2 Phase 2 is successful and that it continues to come to a  
3 fully developed program in the future. Thank you.

4 MR. GRAVELY: Thank you.

5 Anybody else in the room with comments?

6 MR. PETLIN: Hi, Gabe Petlin, from the Energy  
7 Division. I'll also echo I thought that was an excellent  
8 presentation. I think the Roadmap is really clear and  
9 important. I have one small question and then a sort of  
10 bigger question. I'll just fire them both off.

11 The smaller question is, while it's super  
12 important to look at the roadmap and put in place all the  
13 different pieces of the puzzle to enable more grid value  
14 from electric vehicles, are there low-hanging fruit from  
15 existing electric vehicles that we're not fully tapping  
16 into? That's sort of the first question, in terms of  
17 getting more grid value out of these existing vehicles.

18 And then the second question, someone had asked  
19 the question whether the Roadmap needs to be updated,  
20 refreshed. And I don't have an opinion about that, but I  
21 would just ask if there is going to be some successor  
22 roadmap on vehicle-grid [integration], should it be about  
23 overall electric vehicle adoption? I mean, as we heard  
24 that we're somewhat behind reaching the goal, so if we  
25 really want to reach the goal maybe we need to have a

1 broader roadmap. And make sure that vehicle-to-grid is a  
2 piece of that, but the larger question is about how we're  
3 going to meet that goal. Because it's ultimately about the  
4 customer adopting an electric vehicle, whether or not they  
5 optimize it for the Grid. We have to get more vehicles on  
6 the road, so those are my questions. Thank you.

7 MR. GRAVELY: So Noel, you might have mentioned  
8 it, but there is a roadmap the [Energy Commission]  
9 Transportation Division has for the infrastructure piece  
10 that they are managing. It may be worth looking at the new  
11 ARB goals for infrastructure in VGI, and thinking about  
12 maybe, as we go forward.

13 One of the questions the Chairman asked, when he  
14 asked to set this panel up, was to determine if there were  
15 some future actions or changes. So this may be a point in  
16 time where integrating, as you mentioned before, the  
17 different areas into a consolidated roadmap, maybe official  
18 as an action to think about and discuss on the 30th or  
19 29th, when we have the next workshop.

20 MR. CRISOSTOMO: Right, so as some of you know, I  
21 was previously at the CPUC Energy Division working on grid  
22 integration. But as I transitioned over to the [Energy  
23 Commission] Fuels and Transportation Division my key task,  
24 which remains in progress, is the development of the  
25 statewide EV charging infrastructure deployment strategy.

1 Which intends to be that fusion function as Kiel was  
2 mentioning, between both technology, and reducing adoption  
3 barriers to the deployment of sufficient charging to allow  
4 for more freely-accessible charging and use of EVs.

5           So the VGI roadmap, in and of itself, is a bit  
6 incomplete. And there were some claims that we are putting  
7 the cart before the horse when we developed the roadmap.  
8 But the theory of grid integration then, and remains today,  
9 is that if we don't lay the groundwork for getting the  
10 rates right and getting charging stations economic as a  
11 result of getting the rates right. Preparing customers to  
12 be familiar with the need for flexibility in the load given  
13 the fact that -- I mean we didn't notice then, but given  
14 the fact that time-of-use rates will be mandated in 2019 --  
15 all those are kind of basic things that nevertheless are  
16 critical for grid integration.

17           And so while we are capacity-constrained in terms  
18 of infrastructure, and the number of vehicle resources that  
19 would be even able to participate in markets, the need and  
20 foresight that the agencies had then to be prepared for  
21 potentially higher rates of adoption than were expected, I  
22 think remains a critical element to reducing overall costs.  
23 Not only to the drivers themselves, but to the ratepayers  
24 and taxpayers who are increasingly being asked to support  
25 the electrification of not only light-duty vehicles, but

1 eventually medium, heavy, off-road vehicles, aviation,  
2 rail, maritime. And so that is, as Dean said, 50 percent  
3 of our emissions.

4           And so there is a public policy consideration  
5 around who should be responsible for the upgrades related  
6 to the electrification of the transportation sector. So if  
7 we don't do it intelligently, we might be in a case where  
8 we're thinking several years down the line that if we only  
9 were able to load-level and have the functionalities to  
10 load-level. Because those were critical lessons that were  
11 learned from Europe, especially when they started to think  
12 about what would happen when they would shut down their  
13 nukes, put a feed-in-tariff online, and have the European  
14 Commission regulate the carbon emissions from the transport  
15 sector?

16           A basic conclusion was that intelligence was  
17 needed. And so that's kind of an enabling function and the  
18 primary role for VGI. Thoughts on that?

19           (Audio issues.)

20           UNIDENTIFIED SPEAKER: Not on what you just said,  
21 but I was just thinking about your question, Gabe. And so  
22 the VGI Roadmap is one of the activities of the ZEV Action  
23 Plan, which came out of the Governor's goal of 1.5 million  
24 vehicles on the road by 2025. So it is part of a more  
25 holistic plan.

1           But I think to Noel's point, in terms of where we  
2 are today, which involves more than vehicles and all these  
3 different layers, I think if we were to have some successor  
4 to the roadmap I would want to answer the question of where  
5 would that fit in the context of the ZEV Action Plan? In  
6 the context of existing activities at the CPUC, the DER  
7 Action Plan, what Noel's going to be working on? And where  
8 would it be able to add value? I know that there are gaps  
9 there, but I think that's something we do need to think  
10 about, knowing that there are these sort of high-level  
11 plans.

12           And things have been updated. Other things need  
13 to be updated, but just really understanding where would a  
14 successor to the roadmaps fit within the current landscape.

15           MR. KLAUER: So also on the -- this is Peter  
16 Klauer, California ISO, on Gabe's comment about low-hanging  
17 fruit in terms of some of these smaller resources, notably  
18 the electric vehicles and with other things I'm kind of  
19 surprised that we haven't seen more of. But I do know it's  
20 happening as more localized services from these vehicles,  
21 like building to home, how can I leverage my EV within my  
22 own power consumption integrated into my home use?

23           If I have PV on my system, I don't need to  
24 necessarily to go buy a separate stationary battery and put  
25 it in my garage if I have an electric vehicle that sits in

1 my driveway? You know, you can integrate it into your home  
2 in a way that helps you take advantage of time-of-use  
3 rates, it helps you provide backup power if the Grid goes  
4 down. I mean, I think there are a lot of use cases in that  
5 area that could also be used.

6           The work that we've done across the agencies for  
7 the L.A. Air Force Base is arguably the most complex  
8 configuration of a resource providing services to the  
9 transmission grid operator, but we did it. Technically, we  
10 did it. There's still some policy issues that need to get  
11 worked out to simplify, to make it easier, and to make it  
12 more cost-effective. But I do think you're on point in  
13 thinking what are some other uses and other value streams  
14 for these vehicles? Especially when you're talking about a  
15 single vehicle or maybe a couple of vehicles.

16           The real model for the ISO, and I think largely  
17 for the DSO, would be aggregations of these vehicles and  
18 fleets of these vehicles. That's where you get sort of the  
19 critical mass to help connect them to the grid. But I do  
20 think that customers will start to hopefully see additional  
21 thought going into "how can I make my vehicle or my battery  
22 serve me in other ways to help me manage my energy  
23 consumption?"

24           MR. CRISOSTOMO: And to add to the point around  
25 what you're saying with managing energy consumption, I'd



1 forgotten to add this to the presentation board, before I  
2 sent it off to Gabe. But related to customer interest in  
3 VGI-like services, I recently found a University of  
4 Michigan transportation survey finding that 73 percent of  
5 the 500 people that they surveyed throughout the United  
6 States, including a number of people in California, that 73  
7 percent of the sample preferred optimized charging versus  
8 on-demand charging. Sixty-five percent of that sample  
9 preferred renewable-based optimizations versus a time- or  
10 price-based optimization. And even this surprised me, 84  
11 percent preferred a vehicle that could have the capability  
12 of back-feeding into the Grid.

13           And so I think there is consumer willingness to  
14 participate in these types of programs. We might need to  
15 kind of localize those results to California and cross them  
16 with our portfolio of EPIC, ARFVTP, and demand response  
17 pilots that we've been talking about briefly today. But I  
18 think that we'll find just naturally that of the CVRP  
19 participants, the Clean Vehicle Rebate Program participants  
20 funded by the ARB, that a quarter of them already have  
21 solar on their homes, so there are low-hanging fruits in  
22 that respect. That vehicles, if timed to charge when solar  
23 production is available, that's a key thing that we would  
24 need to figure out technically how to measure.

25           MR. TAYLOR: If you don't mind, I wanted to add I

1 think we probably can do both the sophisticated things that  
2 are relatively complex and the basic things. I'd like to  
3 kind of echo the comments from General Motors. In fact  
4 I've heard this from all the automakers that we should  
5 focus on a lot of the basics or I think the gentleman said  
6 the "low hanging fruit". So we do need to remind ourselves  
7 and step back. Do we have all the rates designed well? Do  
8 we have demand charges designed well? We hear that from  
9 the Air Resources Board a lot, that that's a major  
10 impediment for them to even consider adopting regulations  
11 more, because they don't feel the demand charges issue is  
12 solved.

13 Are people knowledgeable in this area? And our  
14 experience has been, "No." There's a huge need for  
15 additional market education and outreach. Are the dealers  
16 capable and being good participants in this system, like  
17 they could be? Probably no, so there I just named four  
18 basics that we probably don't have near as good as we  
19 should. And there's more than the three IOUs. There's 50  
20 utilities in this state, so how well are we doing on these  
21 basics? At the same time, certainly we can work on the  
22 more sophisticated things too, because it's important to do  
23 both.

24 MR. CRISOSTOMO: I guess my question and response  
25 would be, are there things preventing the utilities from

1 designing better rates? Would you care to elaborate?

2 (Colloquy off mic.)

3 MR. TAYLOR: I think that would be maybe a  
4 question if you did like this VGI Roadmap. You could focus  
5 on both basics and on the more sophisticated things, so  
6 that's a really good question. I think it's worth  
7 something maybe (indiscernible) us all today, but it's  
8 certainly worth exploring.

9 MR. PRATT: This is Kiel from the Energy  
10 Commission. What I can comment in response to that is some  
11 of these considerations might resolve into, you could say,  
12 "disbursed roadmaps." In other words, plans of action for  
13 facility owners or sites. What kind of value streams do  
14 they want to tap into? How much complexity are they  
15 willing to engage with, so they can make an informed  
16 decision on their own cost-benefit, both in terms of  
17 monetary costs in complexity, number of actions, number of  
18 interactions, within the facility and within the Grid.

19 MR. TAYLOR: I think we're all suffering from  
20 bandwidth issues. You know, whether you're the site host,  
21 you're the regulating utility, the regulator, we're all  
22 dealing with that. I mean, there's 120 actions in the ZEV  
23 Action Plan, what are the top 5? And nobody's ever told us  
24 that. It seems like we could do more focusing on getting a  
25 few things really well implemented and done.

1 MR. CRISOSTOMO: So one partial response to that  
2 is in interviews for the infrastructure deployment  
3 strategy, one of the challenges that EVSPs had consistently  
4 raised is that there are a number of factors that unless  
5 you tackle all of them simultaneously, the model is  
6 challenged. And so there is a need to prioritize those  
7 combinations of site effects and education. Site effects  
8 from the fact that you're giving up a parking lot, rates to  
9 ensure that electrification is economic; once you have a  
10 site, simplicity in responding to the rate.

11 And that's a potential opportunity for  
12 aggregators and solution providers to come in. And those  
13 key three things are really crucial. And every one of the  
14 people that you listed in your comment are involved or must  
15 be involved in some way. So yeah, I agree.

16 MR. GRAVELY: Other questions from the group, or  
17 online? Is there anybody online who has a question,  
18 identify yourself and then ask your question or make your  
19 comment.

20 (No audible response.)

21 MR. GRAVELY: Okay, not hearing any comments. Go  
22 ahead, and then we'll -- go ahead -- you can take us off.

23 UNIDENTIFIED SPEAKER: Are we --

24 MR. GRAVELY: Go ahead.

25 UNIDENTIFIED SPEAKER: Sorry, this is

1 (indiscernible) -- I just had a comment to --

2 (Audio cuts in and out online.)

3 MR. GRAVELY: I'm sorry, we're having a really  
4 hard time with the communications off of the WebEx, because  
5 you're breaking up. Okay.

6 MR. CRISOSTOMO: By text.

7 MR. GRAVELY: Just type it in or send it and  
8 we'll respond to it.

9 UNIDENTIFIED SPEAKER: Will do.

10 MR. GRAVELY: Any other questions in the room?

11 (No audible response.)

12 Okay. Thank you, very much. So again if you  
13 have a question, feel free to send it in through the  
14 question there.

15 So any last comments before the panel here,  
16 before you go? Anybody making any closing comments?

17 MR. PRATT: I can comment on a bit as far as the  
18 V2G (vehicle-to-grid) demonstration at Los Angeles Air  
19 Force Base and the really complex technical implementation  
20 that had to be done for that to work. It is a complex  
21 choreography in terms of the resource responding to the  
22 four-second interval automatic generational control signal.

23 And as far as our flexibility for research, it's  
24 fortunate that we had a military base willing to undertake  
25 this kind of effort. And with the fleet management

1 practices that it's able to bring to bear to incorporate  
2 this new type of fleet management practice and resource.  
3 Similarly, other research sites and test areas have special  
4 capabilities or higher EV penetrations. And so there is a  
5 lot of different efforts and different facilities'  
6 capabilities that feed into this early stage research and  
7 looking into the future and addressing the problems early.

8 (Off mic colloquy.)

9 MR. CRISOSTOMO: While we're getting that out,  
10 just a quick response to one of Nikki's questions. The  
11 reference to the Submetering Protocol, those pilots were  
12 eventually going to lead into the development of the  
13 protocol. So they are one in the same.

14 AUDIO TECHNICIAN: All right, so the question  
15 from Sean is a high-level comment. It is important to have  
16 roadmaps and these three have proven useful. As we look to  
17 the future we need to consider how to practically integrate  
18 these technologies and markets. And we should consider  
19 drawing a bright line between resources connected directly  
20 to the transmission grid versus an enormous number of small  
21 resources connected directly to the distribution system.

22 This raises the opportunity for the utility  
23 distribution system operators, or DSOs, to manage the  
24 interface between the two categories. This can address the  
25 issue of conflicting CAISO and local dispatch calls and

1 impacts, as well as managing multiple use cases for  
2 individual or aggregated DER and its participation in  
3 multiple markets while signaling to optimize application to  
4 the highest value service at any time. Establishing a  
5 single coordinating entity for DER within each distribution  
6 service area can go a long way toward opening up access  
7 between markers and these multiple DER resources.

8 MR. CRISOSTOMO: So I know that that's not  
9 specific to vehicles, but one thing that's on my reading  
10 list was published by More Than Smart yesterday about the  
11 T&D interface. Peter, are you familiar with that one?

12 MR. GRAVELY: Peter can address that a little  
13 bit?

14 MR. KLAUER: Yeah, well just a little bit. But  
15 there's this ongoing discussion in terms of what the future  
16 operation sort the Grid looks like. And the one vision is  
17 that the ISO extend its network ability and dispatchability  
18 down into the distribution systems.

19 The other end of the spectrum is that there is  
20 this emergence of a distribution system operator that can  
21 basically interact with the ISO at the T&D interface. And  
22 that's kind of what we're starting to see evolve now, is  
23 that discussion and kind of how that would pan out. I  
24 mean, I think it's safe to say that the ISO at this point  
25 in time does not have an intention to model the

1 distribution system and dispatch resources in their  
2 entirety at that level.

3 But what you're seeing is really an interesting  
4 time where there's a better understanding of the fact that  
5 the T&D system needs to be more integrated. And they need  
6 to share information and they need to collaborate and they  
7 need to build a system from top to bottom. And that's what  
8 you're starting to see. So I think the comment's a good  
9 one. And I think that that goes to speak in terms of where  
10 are these resources providing the most value at the lowest  
11 cost.

12 And yes, we can create technical pathways for  
13 them to participate at the transmission level, but you have  
14 to always ask yourself is that the right place for them to  
15 be and can they do that cost effectively? Are there other  
16 opportunities for them to provide services at different  
17 levels and what would that look like? So the work -- the  
18 More Than Smart group -- there's a lot of efforts going on  
19 right now, kind of starting to hash that out and talk that  
20 through. So I think it's a very relevant conversation.

21 MR. GRAVELY: Okay. Thank you, Peter.

22 Yeah?

23 MR. PRATT: I can say a little bit more about  
24 that too. The comment appears to be describing a kind of  
25 fractal-looking arrangement. And if you're talking about



1 alternatives, one being giving the ISO the ability to have  
2 a more fine-grained view into the Distribution Grid, but  
3 there might be issues with handling that amount of  
4 information.

5           Whereas, with the comment and as Peter was  
6 referring to, you may have another level. And it would be  
7 more of a fractal or self-similar model where the actors on  
8 each level deal with limited information bandwidths and  
9 have their own locus of control that they're responsible  
10 for. And that can go all the way down to the facility.  
11 You might have multiple energy systems interacting on a  
12 facility level.

13           And there are some hard constraints that you must  
14 optimize against, right? Maximize something, subject to  
15 constraints. And obviously your facility might have those,  
16 such as the need for reliability and minimizing the demand  
17 charge. And then at each level, as long as those  
18 constraints are met, you then have the means of optimizing  
19 and possibly providing services or flexibility up a level.  
20 And it seems to be a logical way to operate. It's just  
21 there are many paths to possibly get there.

22           MR. GRAVELY: So thank you very much for the  
23 panel here.

24           And then so I think we have a few minutes and  
25 Gabe, you can join us. And then since we have a few

1 minutes left in the public comments section, I will give  
2 people the opportunity to make comments on all three plans,  
3 or the earlier two plans. Just in case somebody in the  
4 room wants to make something for the record or make any  
5 comments that they didn't get a chance to make earlier, now  
6 is an opportunity to discuss any of the three plans.

7 (No audible response.)

8 MR. GRAVELY: Okay. I'm not seeing any takers  
9 and nothing online, it looks like from there.

10 So I guess we'll go ahead and you guys can stay  
11 here and move either one if you want. We'll just kind of  
12 wrap up here. Can you bring back the original presentation  
13 that just shows how to give written comments and stuff, the  
14 first presentation?

15 So for those of you online, again we mentioned we  
16 do have a court reporter here and the information will be  
17 put into written format and will be included on the website  
18 once it's finalized and the slides are all present.

19 And again there will be a summary workshop on  
20 DER. And again the definition of DER, the three roadmaps  
21 today: Energy Efficiency, DR (Demand Response), Storage,  
22 and VGI are all considered DER, as are other things such as  
23 renewables and CHP (combined heat and power) and other  
24 types of distributed connected resources. So for the  
25 purposes of moving forward, you can say again the PUC is

1 doing quite a bit of work in the area of the DER Action  
2 Plan, the DRP and the different integration plans. So in  
3 many cases we are addressing issues that affect all three  
4 of these roadmaps, not just a single roadmap. And we are  
5 also, as many of you know, we are developing a microgrid  
6 roadmap. We've had three workshops. We have two more  
7 planned. We expect to finish up that roadmap in time to be  
8 included this year also in the 2017 IEPR.

9 With no other comments, Gabe you want to -- we'll  
10 let you talk last or any final comments, Peter, before we  
11 go?

12 (Off mic colloquy.)

13 MR. KLAUER: So I guess the ISO was on the energy  
14 efficiency and demand response, so some of the takeaways I  
15 have is that we're continuing to work these challenges,  
16 right? So one is the continuous improvement in terms of  
17 incorporating demand response in planning and procurement  
18 processes. Another is to demonstrate greater utilization  
19 of DR to help with operational challenges that are being  
20 faced at the ISO level, in terms of the renewables and  
21 other goals.

22 We also want to look for opportunities to grow in  
23 our response capacity for system dispatchability. We can  
24 do that a couple of different ways. We can expand the base  
25 of load-responsive resources. We talked about the

1 extension of technologies into the appliance domain to help  
2 add to that base. We also want to look at, perhaps being  
3 able to manage load not just as a curtailment in typical  
4 demand response, but also load management in terms of  
5 increasing load at times of need.

6           We've had some interesting discussion on the role  
7 of the transactive energy and in terms of those solutions.  
8 And an understanding of how that will move forward in an  
9 ISO market setting, versus a regional market. It's likely  
10 that as that technology develops and matures, we'll start  
11 to see maybe some pilots of that in the distribution  
12 system. And I think ultimately at the end of the day,  
13 we'll start to see kind of that DSO / TSO interface start  
14 to build. And I think part of that will be based on some  
15 transactive type of solution.

16           Talk about hydrogen a bit. I think in terms of  
17 does hydrogen need its own effort? Does it need a roadmap?  
18 Does it need more attention? I think I can say that today  
19 I think hydrogen does have a role at the ISO as a  
20 participating mode. I know we've had discussions in terms  
21 of power-to-gas, where you actually create the hydrogen and  
22 then you incorporate that, maybe you're going just in fuel  
23 infrastructure.

24           The challenge there is that we're really talking  
25 about two different resources. We have a load resource and

1 then we have utilization of the hydrogen-created generation  
2 resource and often they are not located in the same  
3 locations. And that presents sort of a physical challenge  
4 in terms of grid operation. So to the point, why didn't  
5 the Storage Roadmap include some of those technologies?  
6 Part of it had to do with we're focusing on a single sort  
7 of technology or resource, a battery, a chemical battery  
8 that can actually act as both a load and a gen in the same  
9 location.

10 But I think it's a good comment. I think as  
11 California moves forward in terms of utilizing hydrogen, I  
12 think hydrogen is an excellent load for demand response and  
13 for other energy efficiency and demand response types of  
14 programs.

15 So that's what I took away from the energy  
16 efficiency and demand response side.

17 MR. GRAVELY: Just a quick summary, and I think  
18 in general the roadmaps discussions today have been that  
19 there a lot of activities. I would encourage anybody who  
20 wants to identify specific actions that weren't brought up  
21 today, that are not being addressed or want to identify  
22 specific actions that they feel there are (indiscernible)  
23 of what's being addressed. It just helps when I prepare  
24 this summary for our Chairman from that.

25 But in general it seems like we are progressing

1 forward. And mostly we kind of figured that VGI would be  
2 the one that's probably changed the most in the last four  
3 years compared to the other roadmaps. There are a lot of  
4 activities in all three areas.

5 So anyway, again I appreciate all your comments  
6 and recommendations. And again the period for this  
7 particular workshop through the 27th, feel free to send  
8 your comments in electronically. And if you want to mail  
9 them in there's an address that you can mail the comments  
10 in.

11 This again comes from the notice that provided  
12 you the information on how to come here or how to dial in.  
13 So it's all repeatable online.

14 MR. PETLIN: Thanks. I'll just say for the  
15 Storage Roadmap that looking back at the framework created  
16 around expanding revenue opportunities and reducing the  
17 cost of integrating and connecting to the Grid, and also  
18 streamlining and clarifying policies to increase market  
19 certainty, that those are still serving us well as good  
20 principles to try to look at when we try to enhance the  
21 value of storage.

22 And the tracks that we created: planning,  
23 procurement, rate treatment, interconnection and market  
24 participation. You can point to at least one either  
25 ongoing or specific proceeding for initiatives at either of

1 the agencies where those issues are being actively  
2 addressed, so I think it's a work in progress, but I think  
3 we have made some good progress on Storage.

4           Some of the comments from today that caught my  
5 attention as far as potential areas of focus would be the  
6 jurisdictional roadmap to interconnection, sort of mapping  
7 out the lines of responsibility across different  
8 jurisdictions between utility, FERC, CPUC and the CAISO.

9           I thought another interesting comment was  
10 permitting consistency across local jurisdictions. Now,  
11 that's certainly not something the CPUC works on directly,  
12 but maybe that's something the CEC can help support  
13 research and best practices across local jurisdiction.

14           And then the bidirectional interconnection issue  
15 for integrated vehicles, that's sort certainly an  
16 interesting one and could be possible to address in the new  
17 Interconnection OIR that we're planning to start later in  
18 the year. So definitely good ones to think about and we'll  
19 read the transcript and see what else there is.

20           Anyone else want to comment on their roadmaps in  
21 terms of taking these sort of last steps?

22           MR. GRAVELY: I'll just make one follow-up  
23 comment from the research area. We use these roadmaps to  
24 plan our future research and to design research projects.  
25 So in any of the three roadmaps if there are specific areas

1 of research that you consider very valuable, that are not  
2 being addressed, feel free to make those comments. So we  
3 can include those in our gap analysis and research plans,  
4 as we move forward with the research to support these  
5 activities.

6 MR. PETLIN: Great. Well, I want to thank all  
7 the three agencies for all their work in putting this  
8 together, especially Mike, for leading the overall  
9 initiative. But there's a lot of good staff collaboration  
10 to pull this together and make it very productive, so good  
11 job to everyone. Thank you very much.

12 And I guess we're going to adjourn with that.  
13 Okay, thank you. Thanks for coming today. (Applause.)

14 (The workshop was adjourned at 3:07 P.M.)  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25




**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of August, 2017.

A handwritten signature in black ink that reads "Juliana Link". The signature is written in a cursive style and is positioned above a horizontal line that extends to the left across the page.


Juliana Link  
CER-830

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of August, 2017.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520