

DOCKETED

Docket Number:	17-IEPR-03
Project Title:	Electricity and Natural Gas Demand Forecast
TN #:	220936
Document Title:	Transcript of 08/03/2017 IEPR Lead Commissioner Workshop on the 2017 CA Energy Demand Preliminary Electricity Demand Forecast
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/29/2017 11:17:13 AM
Docketed Date:	8/29/2017

CALIFORNIA ENERGY COMMISSION

In the Matter of:

IEPR Lead Commissioner) Docket No. 17-IEPR-03
Workshop on the 2017)
California Energy Demand)
Preliminary Electricity)
Demand Forecast)

Electricity and Natural Gas
Demand Forecast

CALIFORNIA ENERGY COMMISSION
ROSENFELD HEARING ROOM - FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, AUGUST 3, 2017

10:00 A.M.

Reported by:

Susan Palmer

APPEARANCES

COMMISSIONERS

Robert Weisenmiller, Chair

Andrew McAllister, Commissioner

Janea Scott, Commissioner

ENERGY COMMISSION STAFF

Heather Raitt, Project Manager

PRESENTERS

Chris Kavalec, Energy Commission

Aniss Bahreinian, Energy Commission

Scott Shepard, Navigant Consulting (Via WebEx)

Asish Gautam, Energy Commission

Lynn Marshall, Energy Commission

Hongyan Sheng, Southern California Edison

Tim Vonder, San Diego Gas & Electric

Nate Toyama, Sacramento Municipal Utility District

AGENDA

	<u>Page</u>
Introduction Heather Raitt, California Energy Commission	5
Opening Comments Chair Robert Weisenmiller, California Energy Commission Commissioner Janea Scott, California Energy Commission	6
Statewide Forecast Results and Methods Chris Kavalec	7
EV Forecast Aniss Bahreinian	53
Perspective on EV Forecasting Scott Shepard (via WebEx), Navigant Consulting	79
Distributed Generation Asish Gautam	97
Electricity Rate Scenarios and Update on Time of Use Analysis Lynn Marshall	146
Individual Utility Planning Area Forecasts	
Los Angeles Department of Water and Power Energy Commission staff presentation, Chris Kavalec Comments from Los Angeles Department of Water and Power	162
Pacific Gas and Electric Energy Commission staff presentation, Chris Kavalec Comments from Pacific Gas and Electric	166
Southern California Edison Energy Commission staff presentation, Chris Kavalec Comments from Southern California Edison Hongyan Sheng	129 133

AGENDA

	<u>Page</u>
San Diego Gas & Electric	170
Energy Commission staff presentation, Chris Kavalec	
Comments from San Diego Gas & Electric	
Tim Vonder	172
Ken Schiermeyer	175
Los Angeles Department of Water and Power	154
Energy Commission staff presentation, Chris Kavalec	
Comments from Los Angeles Department of Water and Power	
Sacramento Municipal Utility District	184
Energy Commission staff presentation, Chris Kavalec	
Comments from Sacramento Municipal Utility District	
Nate Toyama	186
Public Comments	197
Closing Remarks	198
Adjourn	201

1 P R O C E E D I N G S

2 10:05 A.M.

3 SACRAMENTO, CALIFORNIA, THURSDAY, AUGUST 3, 2017

4 MS. RAITT: All right, we'll go ahead and
5 get started. Good morning. Welcome to today's
6 IEPR Workshop on the California Energy Demand for
7 2018 through 2028 -- excuse me, sorry -- the
8 forecast -- we're having a Workshop on the
9 Preliminary Forecast Demand for 2018 through
10 2028.

11 I'm Heather Raitt, the Program Manager
12 for the IEPR.

13 Normal housekeeping items.

14 If there's an emergency and we need to
15 evacuate, please follow staff to the Roosevelt
16 Park, and it's across the street, diagonal from
17 the building.

18 Our workshop today is being broadcast
19 through WebEx, so parties will be recorded. We
20 will be posting the audio recording in about a
21 week and a written transcript in about a month.

22 At the end of the workshop today, we will
23 have an opportunity for public comments. We'll

1 limit those to three minutes per person. You can
2 go ahead and, if you're in the room, fill out a
3 blue card and give it to me, if you'd like to
4 comment at the end of the day.

5 And then also on WebEx, just go ahead and
6 raise your hand if you have a comment at the end
7 of the day. And then we'll also open up the
8 phone lines for folks who are on the phone.

9 Materials for this meeting are available
10 at the entrance and on our website. And written
11 comments are welcome and due August 24th.

12 And with that, I'll turn this over to the
13 Chair.

14 CHAIR WEISENMILLER: I want to thank
15 everyone for being here today and, obviously, the
16 staff activity, putting this together.

17 So one of the central things the Energy
18 Commission does is demand forecasting. And this
19 is a critical step in the process which we now
20 and the end of the year when we're adopting
21 Demand Forecast, in terms of putting out
22 preliminary numbers. Obviously, these are, by
23 definition, preliminary. So we're going to be
24 looking for input from folks on how to do better,
25 and look forward to getting a pretty lively set

1 of feedback.

2 Now, having said that, we also have been
3 around long enough to understand that the
4 documents are just coming out, so much of the
5 feedback is going to be in the written comments.
6 But at least this is a good chance for the staff
7 to make the presentation for we Commissioners to
8 ask some questions, get some public comment or
9 questions. And then, again, looking forward to
10 everyone digging in deeply and providing more
11 detail and feedback later.

12 So, again, thanks for being here.

13 COMMISSIONER SCOTT: Good morning. This
14 is Commissioner Scott. I don't have anything to
15 add to that, but I will just echo it.

16 MS. RAITT: Great. So our first speaker
17 is Chris Kavalec from the Energy Commission.

18 MR. KAVALEC: Good morning. I'm Chris
19 Kavalec from the Energy Assessments Division.
20 Before I get started with my presentation, I
21 wanted to say a couple of things about the
22 agenda.

23 In every forecast we have one factor that
24 draws the most interest, that becomes the most
25 critical in the forecast. And during the

1 recession it was the economy. Other years it's
2 been efficiency. This year it's the combination
3 of electric vehicles and photovoltaic adoptions.
4 The reason for that is that it makes the most
5 difference in terms of our forecasts this year
6 versus our 2016 forecast, and our forecast versus
7 the utilities' own forecasts.

8 So we're going to have presentations on
9 each of those, of course. And I've asked Aniss
10 Bahreinian to give a high-level summary of the
11 way that we forecast electric vehicles, as
12 compared to how other forecasts are done.

13 And we're also lucky enough to have
14 Nagivant making a presentation over the phone
15 right after that, discussing their forecast
16 methods, which were adapted by Edison for their
17 Electric Vehicle Forecast, which happens to be a
18 lot higher than ours. So we'll learn a little
19 bit, hopefully, about the different types of
20 methodologies and forecasts that are out there
21 for electric vehicles.

22 We're also going to hear, along with our
23 forecasts -- forecasted rate scenarios that we're
24 using in this preliminary version, we're going to
25 hear an update on the Residential TOU Analysis,

1 which will be an important factor in our hourly
2 load forecasts that we're planning to do for the
3 Revised Forecast.

4 And in the afternoon, of course, we'll
5 have presentations on the individual planning
6 areas, the five major planning areas. I don't
7 expect that to take too long, number on, because
8 our -- the -- a couple of the forecasts are very
9 similar, so there's not a lot to talk about in
10 terms of differences.

11 And the other thing is that the IOUs are
12 ahead of us when it comes to the analysis of what
13 we call the peak shift, the impacts of moving the
14 peak hour to later in the day. Their peak
15 forecasts incorporate the peak shift, while ours
16 does not yet. That won't be until the Revised
17 Forecast. So it's hard to make a comparison
18 between our peak forecasts and their peak
19 forecasts. Okay.

20 Before I get to the forecasts, I wanted
21 to talk a little bit about recent trends in terms
22 of statewide sales. Then I'm going to talk about
23 methods, assumptions and inputs, giving a high-
24 level summary, then summarize our statewide
25 results, and then talk about next steps and what

1 we're planning to do for the Revised Forecast.

2 Okay.

3 So here's a graph of statewide
4 electricity retail sales since 1990. You'll
5 notice the jump in the late '90s with the tech
6 boom, followed by the electricity crisis in 2001,
7 along with the recession. And relatively steady
8 growth until we reach 2008 and we have another
9 recession. You can see that clearly there. And
10 then since 2012, electricity sales have been flat
11 or declining.

12 So the question was, at least for me,
13 during the recession, how was electricity demand
14 and sales going to respond as the California
15 economy began to recover? Was it going to be
16 like past episodes where we have a sustained
17 period of growth and demand after a recession?
18 Or were we doing enough with our demand
19 modifiers, efficiency and so on, to prevent that
20 sort of bounce-back effect from fully happening
21 this time?

22 So what I did here in this graph was I
23 took the historical trend from 1990 to 2007 and
24 sort of plunked it down at the bottom of the
25 recession in 2010. And so this is -- and that's

1 the green-dotted line. So this is basically
2 showing, if out of the recession we grew at a
3 historical average rate, what would sales have
4 looked like?

5 So you see in the first two years there
6 where the historical trend is matching the sort
7 of bounce-effect that's happening after the
8 recession, but then after 2012 these diverge.
9 And so in 2016, we have a pretty healthy, what I
10 call a gap there between what sales would have
11 been had we followed the historical trends from
12 2010 on and what we actually saw in 2016.

13 So let's see what's going on here, some
14 of the obvious things, for me at least, were a
15 big increase in self-generation, particularly PV.
16 And so what we call the residential PV boom began
17 really in 2012. So we went from a few hundred
18 megawatts installed capacity to around 3,300 by
19 2016.

20 Our intensified, continually intensified
21 energy efficiency efforts, as well as market
22 transformation -- I guess an example of that
23 would be in the case of light bulbs where
24 customers are now pretty comfortable with the
25 high-efficiency lighting. And it doesn't, in

1 most cases, require an incentive anymore to get
2 someone to buy an LED light, because customers
3 have become comfortable with them, they're happy
4 with the features, so it doesn't take incentives
5 to keep that going.

6 We've had some significant rate increases
7 for customers from 2012 to 2016, particularly in
8 the case of PG&E, San Diego, and LADWP. So even
9 though the tiers for those rates have flattened,
10 overall the average rates have gone up,
11 especially in those three cases.

12 A lower population, well, we've now
13 dipped below one percent growth a year, whereas
14 most of the 1990 to 2007 period you have, you
15 know, 1.5 percent, 1.7 percent some years. The
16 overall average was around 1.2 percent. And
17 really, the only other time that happened in this
18 historical period is back in the mid '90s when we
19 had the base closures, the faltering economy, a
20 housing bubble and so on. The population growth
21 was very low in California in the mid '90s. But
22 since then it's gone back up to, you know, above
23 one percent a year, until recently where we're
24 less than one percent a year. And the difference
25 between now and back in the mid '90s is that DOF

1 and others project this below one-percent growth
2 per year to continue.

3 Okay, back to our forecast, what we call
4 California Energy Demand 2018 to -- that should
5 be 2018 to 2028 Preliminary Baseline Forecast,
6 and we call that CED 2017 Preliminary, for short.
7 The 2017 is in there because that's the year
8 we're working on the forecast.

9 Important methods, assumptions and inputs
10 that go into our forecast.

11 First of all, when we forecast, we
12 forecast at the planning-area level. And these
13 are our eight planning areas for electricity, the
14 IOUs. We have one group in Northern California
15 that represents the utilities that are not part
16 of CAISO, which we call Northern California Non-
17 California ISO, or NCNC, which the biggest
18 utility in that group is SMUD. LADWP, a couple
19 of the smaller utilities, Imperial, Burbank,
20 Glendale. And then Valley Electric Association,
21 which is really small but it's its own
22 transmission access charge area within CAISO, so
23 we keep it separate.

24 We also forecast for natural gas, and
25 these are the natural gas planning areas, the big

1 three, plus the rest, it's the smaller ones
2 grouped into what we call other.

3 And we like to show this impressive
4 looking graph to intimidate stakeholders into not
5 arguing with the forecast, but it never works.
6 So at the top here we have our economic and
7 demographic drivers behind the forecast. And, of
8 course, we're calibrating and scaling to actual
9 historical electricity and natural gas
10 consumption.

11 In the middle of the graph there we have
12 our traditional sector models that we've used for
13 a long time, with residential and commercial
14 being the most complicated, and those are full
15 end-use models.

16 Along the sides there we have what's
17 becoming more and more important in our forecast,
18 on the right-hand side in the yellow box, self-
19 generation. We have models to predict self-
20 generation including PV adoption.

21 And as we'll talk about today, we have
22 separate models to project electric and natural
23 gas vehicles on the left-hand side there.

24 So we aggregate this all up into a
25 summary model. And then consumption projections

1 at the end-use level are sent to our peak model
2 where load shapes are applied and we develop a
3 peak for each year. This will change now, as I
4 alluded to earlier, because -- or we'll have an
5 important addition after this forecast as we
6 start doing -- projecting hourly loads. What
7 we're projecting now is strictly annual totals
8 for sales, consumption and peak demand.

9 As usual, we do three baseline cases,
10 high demand, low demand and mid demand, to try to
11 capture the uncertainty around any forecast that
12 you do. So a high-demand case will have the
13 higher economic and demographic growth, more
14 climate change impacts, higher projections for
15 electric vehicles, lower electricity rates, and
16 less self-generation, leading to higher sales.

17 And the low-demand case is the opposite
18 of that, lower econ demo projections and so on.

19 And then we have the mid-demand case, the
20 most important one. It ends up getting used for
21 planning purposes. That has assumptions falling
22 in between the high- and the low-demand cases.

23 For our economic assumptions, we're using
24 scenarios developed by Moody's. Our mid-demand
25 case, as usual, is the Moody's, what they call

1 their baseline scenario. In the low-demand case,
2 we have their scenario referred to as lower long-
3 term growth. The reason we use that one, we
4 choose that among their low scenarios, is that
5 the other low scenarios have less growth in the
6 short run, but by the end of the ten-year period,
7 they revert back to the baseline case. So it
8 doesn't give us a lot of difference ten years
9 out.

10 For this forecast, we asked Moody's to
11 develop a high, a special high-demand case, which
12 we refer to as the custom high scenario. And the
13 reason we did that is that in the past we've used
14 Global Insight's, what they call their optimistic
15 case for the high-demand scenario.

16 But the problem was always inconsistency
17 between Moody's and Global Insight. So we might
18 end up with a higher commercial forecast in a
19 high case but a lower industrial forecast, just
20 because of the difference in projections between
21 Moody's and Global Insight. And the problem with
22 Moody's, always before, was their high-demand
23 scenarios were always very close to the mid-
24 demand case. So we asked them to develop a more
25 aggressive high-demand case specifically for us,

1 so that's what we're using.

2 Overall, the drivers themselves don't
3 make a lot of different relative to our last
4 adopted forecast. There's not a big difference
5 among the economic drivers, compared to what we
6 used last year. The action, as I referred to
7 earlier this year in the forecast is really on
8 the EV side and self-generation.

9 A comparison of our economic assumptions
10 by demand case with our three new demand cases
11 and the 2016 forecast, personal income, comparing
12 the two mid cases, the third column and the fifth
13 column, a little bit lower personal income
14 growth, a little bit lower population and
15 households projections, a little bit higher
16 projections for manufacturing output, and then
17 commercial employment which drives the forecast
18 for the commercial sector, practically identical
19 between our new mid case and the 2016 mid case.

20 Okay, turning to energy efficiency,
21 compared to our last forecast, we're
22 incorporating new programs, 2016 and 2017 utility
23 program savings for both the IOUs and the POUs.
24 Those were included in the 2016 forecast, but
25 were part of additional achievable energy

1 efficiency, so they were not part of what we call
2 the baseline case. So just to make that clear,
3 what we're presenting today is what we call a
4 Baseline Forecast in that it doesn't include
5 additional achievable energy efficiency. That
6 will be included in the Revised Forecast.

7 We're also incorporating standards that
8 weren't in the Baseline Forecasts before, the
9 2016 Title 24 updates. As I mentioned, we will
10 have additional achievable energy efficiency as a
11 tool to develop what we call a Managed Forecast
12 by the time of the Revised Forecast for both IOUs
13 and POUs.

14 We also have some efficiency savings
15 beyond our traditional AAEE being developed by
16 the Efficiency Division in support of SB 350. So
17 these would be sort of, quote, nontraditional
18 efficiency savings that come from other means
19 besides utility programs and our Building and
20 Appliance Standards. So depending on the
21 progress that they make with these additional
22 efficiency savings and how solid we think the
23 savings estimates are, these could be included in
24 our forecast as an additional source of AAEE, so
25 we'll see how that goes.

1 Other key assumptions and inputs will be
2 discussed in upcoming presentations this morning,
3 electric rates, light-duty electric vehicles, and
4 self-generation featuring PV.

5 Other assumptions and inputs that go into
6 our forecast, the impact of climate change, we
7 get temperature scenarios from Scripps Institute
8 of Oceanography that we use to develop trends for
9 annual maximum temperatures and cooling degree
10 days and heating degree days. And we apply that
11 to regression models to get -- to estimate the
12 impact of a warming climate on electricity,
13 natural gas consumption, and electricity peak.

14 We weren't able to get the newest
15 scenarios in time for this Preliminary Forecast.
16 So what we're using for this, for now, is what we
17 used in 2015 as a placeholder. But for the
18 Revised Forecast, we'll be incorporating the
19 newest temperature scenarios.

20 Anyway, the impact of climate change in
21 our Preliminary Forecast gives around, in the mid
22 case, an additional 800 gigawatt hours by 2028,
23 and an additional 650 megawatts in annual peak
24 demand by the end of the forecast period.

25 We include, aside from electric vehicles,

1 other transportation electrification, which
2 includes -- including high-speed rail. This also
3 includes things like port electrification,
4 forklifts, truck refrigeration units, other
5 applications suited to electrification. And our
6 analysis, together with our consultant, estimates
7 an impact from these other sources of
8 transportation electrification of around 850
9 gigawatt hours by the end of the forecast period
10 statewide.

11 Load modifying demand response, there is
12 some demand response programs that we include on
13 the demand side, and those include critical peak
14 pricing, peak time rebates, time of use, and
15 permanent load shifting. The rest are on the
16 supply side and get incorporated when resource
17 planning is done. So this is actually a pretty
18 small part of the total DR, but that's what goes
19 on the demand side. And, of course, we need
20 natural gas rates, both for our natural gas
21 forecasts, and also for developing our
22 electricity rate scenarios.

23 Some of the statewide results, first
24 looking at baseline, again, no AAEE, electricity
25 consumption, we have our three new cases, purple,

1 dark blue and green, high, mid and low,
2 respectively. And then we show the mid case from
3 our last forecast in 2016, which is in red.

4 So we start out lower than we did in the
5 2016 forecast because we've added a lot of
6 efficiency program impacts in the first couple of
7 years that weren't there in the 2016 forecast.
8 After that, growth is similar, but the new mid
9 case stays below the old mid case because of the
10 addition of the 2016 Title 24 updates, as well as
11 a slightly lower electric vehicle forecast this
12 time in the mid case.

13 In California, we always like to talk
14 about our record in terms of electricity
15 consumption per capita. You see, particularly
16 since, in the last few years, it's been pretty
17 flat or declining, but overall, relatively flat
18 since 1998, at least compared to the nationwide
19 consumption per capita, and we project it to
20 remain relatively flat in the first part of the
21 forecast period. But then as we add more and more
22 electric vehicles, it starts to hike up a little
23 bit. And in the high demand case, it's
24 increasing because of the higher economic and
25 demographic growth, it's increasing, basically,

1 throughout the forecast period. And this will,
2 of course, change once we incorporate additional
3 achievable energy efficiency. They won't
4 increase by nearly as much.

5 As we will talk about later today, we
6 have a higher forecast for self-generation,
7 particularly for photovoltaics. And that creates
8 the difference you see here between sales in the
9 mid demand cast last time and the mid demand case
10 for this Preliminary Forecast, so that's the red
11 and the blue. Again, you see the distance
12 between the two. That's coming from higher self-
13 generation, which reduces sales.

14 COMMISSIONER MCALLISTER: Chris, can I
15 ask a clarifying here?

16 So, you know, you mentioned all the
17 doubling activity. Maybe there's more to come on
18 this, I'm not sure. But -- so we do have the
19 sort of two Type 2 efforts going on,
20 complementary efforts going one, one to quantify
21 sort an AAEE tradition, and then the other sort
22 of beyond that which are, you know, a little more
23 market oriented. You can call them speculative.
24 But I think, you know, if we get the kind of
25 market shifts that we're working for, then they

1 could very well prepare. They're just not as
2 predictable in terms of, you know, a modeling
3 construct. So, you know, we have the Energy
4 Analysis Division working on the AEEE piece, the
5 Efficiency Division working on the above, you
6 know, program piece.

7 In terms of incorporating that second
8 piece of efficiency into at least a scenario of
9 the forecast, what's your thinking on that, you
10 know, sort of a doubling-compliant forecast, if
11 you will?

12 MR. KAVALEC: Although we don't know
13 whether it's going to reach doubling; right?

14 COMMISSIONER MCALLISTER: I guess that's
15 my question, really, is that, you know, we're
16 talking about sort of the sum of the two efforts
17 is sort of almost a doubling under roughly a
18 status quo approach with some assumptions
19 underneath it. There is a gap between where we
20 think we'll kind of get on the natural in a true
21 doubling. Obviously, our task over the next, you
22 know, 13 years is to figure out where to get
23 those new savings and actually get to doubling.

24 But I guess a scenario that sort of
25 expresses what a doubling would look like, if we

1 get there, kind of seems like it would be a
2 helpful reference to have, even if it doesn't
3 sort of follow -- I mean, it's not going to
4 follow -- it's not going to come naturally out of
5 a model, you know, okay, you change these
6 assumptions, you get to doubling.

7 But I guess, you know, I'm kind of
8 wondering what your toolkit is to produce
9 something like that, possibly as kind of a
10 reference, so the world would know, okay, here's
11 roughly what the, you know, net demand, the
12 managed forecast would look like if we achieved
13 our doubling goals?

14 MR. KAVALEC: So two parts to that.
15 Creating a doubling scenario is pretty simple
16 when you're not also doing an analysis of all the
17 component parts that get you to that doubling.

18 COMMISSIONER MCALLISTER: Yeah. It's
19 like a macro.

20 MR. KAVALEC: Yeah. It's pretty easy to
21 go in and say, okay, we're going to double the
22 efficiency, here's what the forecast looks like.
23 So that could certainly be a scenario we could
24 do.

25 But in terms of, let's say, the mid case,

1 how much of that gets incorporated, as I said,
2 depends on how much progress is made in that
3 effort and how solid we think those savings
4 estimates are. So if, you know, if -- we can
5 include some portion of them, depending on the
6 analysis that's done.

7 COMMISSIONER MCALLISTER: Yeah. I mean,
8 I'm actually, really, I'm enjoying this process
9 of trying to figure out how we're going to get to
10 doubling because it's kind of forcing everybody
11 to be real, you know, and sort of, okay, what's
12 going to -- in a way, it's just surfacing the
13 long-term tension that we've had between sort of
14 the optimists and the skeptics about, you know,
15 okay, well, gosh, we really -- you know,
16 California does efficiency, we're going to do it,
17 on the one hand and, well, is it really showing
18 up and, you know, we need absolute proof on the
19 other hand.

20 And so I think it's actually healthy to
21 have that conversation. And really, I guess,
22 sort of that bookend of, you know -- I mean, it
23 doesn't have to be a bookend, maybe we exceed the
24 doubling, I don't know, but having that
25 expressed. And then, you know, the overall

1 narrative being, look, he's what our goal is.
2 It's a big, gnarly goal and we're doing our best
3 to get there.

4 In the -- you know, however, if we think
5 about sort of the way we understand how
6 efficiency percolates and gets -- you know,
7 investments happen and efficiency actually takes
8 place, you know, here's our best guess as to sort
9 of on the natural, what we would get. And having
10 that narrative to be able to tell, I think is a
11 really helpful thing. I mean, these are things
12 that the staff, the respective staffs are putting
13 together and I think are going to help us there.
14 I just want to make sure that kind of gets to its
15 logical expression visually in the forecast so
16 that we can, you know, really keep people's eyes
17 focused on what's necessary to actually increase
18 the probability that we'll get or exceed the
19 goal.

20 So anyway, we can talk about this
21 offline. But I think it's really important at
22 this juncture, since SB 350 is so central to what
23 we're doing this year, and we're really, you
24 know, taking off with that effort, so this helps
25 us construct the narrative that's going to keep

1 it sort of relevant and positive for the next
2 decade, so --

3 MR. KAVALEC: Yeah.

4 COMMISSIONER MCALLISTER: -- appreciate
5 that.

6 MR. KAVALEC: Much more discussion to
7 come, obviously.

8 We also want to be clear, though, that
9 when we do a scenario like this, when we assume a
10 goal is met, we don't treat that as -- or we
11 shouldn't treat it as a forecast, we should treat
12 it as a scenario.

13 COMMISSIONER MCALLISTER: Yeah. Yeah. I
14 got it

15 MR. KAVALEC: Okay.

16 COMMISSIONER MCALLISTER: That's exactly
17 my point, is that we -- a scenario that sort of
18 expresses that goal would be, I think, really
19 helpful to have, as long as we're clear about
20 what it is.

21 MR. KAVALEC: Similar to sales, we see
22 the impact of additional PV in our 2017 forecast,
23 compared to 2016. So you see the gap there
24 between the red, the mid from last time, and the
25 dark blue, the mid from this time.

1 Then this is, to be clear, this is the
2 baseline non-coincident peak, meaning it's the
3 simple sum of all the individual planning areas
4 coincident peaks that may happen at different
5 hours.

6 We also do a natural gas forecast, which
7 we don't usually give as much attention to
8 because we've been more interested in electricity
9 issues in the last few years. But we do a
10 natural gas demand forecast with the same basic
11 models we use for electricity.

12 I'm not going to talk too much about it
13 today because we have an upcoming workshop on
14 natural gas where I'm going to provide some more
15 details of our end-user forecast. But I just
16 wanted to show the statewide forecast and make
17 one point about natural gas compared to
18 electricity, and that is how weather sensitive
19 natural gas demand is because heating is such an
20 important end-use for natural gas. So changes in
21 weather, hotter or warmer years are going to make
22 a big difference in total natural gas
23 consumption.

24 So looking at history versus our
25 forecast, you see that big jump in 2016, going

1 into the forecast period. And the reason for that
2 is 2016, as well as 2015 and 2014, were very warm
3 years with very few heating degree days. Once we
4 get to the forecast period, we go back to, quote,
5 normal or average weather, which means a lot more
6 heating degree days, which means a jump upward in
7 natural gas consumption. So that's what's going
8 on there.

9 Here's the sum total of committed
10 efficiency program savings. Those are efficiency
11 program savings that are included in our baseline
12 forecast. So this includes the IOUs, as well as
13 all the POUs. And you can see that we're
14 reaching around 19,000 gigawatt hours in 2017,
15 the accumulation of all our program savings,
16 which amounts to about a six-and-a-half percent
17 reduction in consumption.

18 And then you see the big drop-off after
19 that. And the reason for that is we're not
20 adding new first-year savings after 2017 because
21 we're only including committed program savings.
22 And the drop-off is steeper than it otherwise
23 would be because there are still a lot of
24 lighting programs in the committed programs,
25 efficiency programs, which don't have a long

1 expected useful life. So once that EUL is --
2 you've reached the EUL, you're losing all those
3 lighting savings and it goes down pretty quickly.
4 And this would look a lot different once we
5 incorporate the program savings from AAEE and
6 other sources for our Revised Forecast.

7 Light-duty electric vehicle electricity
8 consumption, we project around 1.7 million
9 vehicles on the road by the end of the forecast
10 period.

11 Here you see our three new forecasts
12 versus what we projected in the mid case in 2016.
13 You'll notice the difference in shape. And
14 what's going on there is that in 2016, we were
15 using the previous compliance scenario developed
16 by CARB, the compliance scenario to meet the ZEV
17 mandate. And in that compliance scenario, it
18 required a lot more electric vehicles. And
19 therefore, we had to kind of torture the model to
20 increase the rate of electric vehicle adoptions
21 so that we could match ZEV, per the compliance
22 case as it was at the time.

23 Since then, another compliance scenario
24 has been done. And a lot higher range has been
25 observed and was assumed in the new compliance

1 case. And the higher the range of an individual
2 vehicle, electric vehicle, the more credit that
3 it gets towards ZEV. So this means you require
4 less electric vehicles in the new version of the
5 compliance case and our forecasts at this time,
6 using that, the ZEV mandate because it requires
7 less vehicles. So that's why you see the
8 straight lines versus the curved line to match
9 the ZEV in 2016.

10 Self-generation impacts, you see the big
11 difference by the end of the forecast period
12 between our new forecasts and what we did in
13 2016, and that difference is coming almost
14 exclusively from a higher PV forecast, which
15 we'll talk about more in a few minutes. But by
16 the end of the forecast period the two mid cases
17 differ by around 1,200 megawatts.

18 Okay, so that's a high-level summary of
19 our results. And this afternoon we'll go into
20 more detail with the planning area forecasts.

21 But now I want to talk about what we're
22 thinking about, what we're planning for our
23 Revised Forecast, which we'll get started on very
24 soon and will be released late in the fall or
25 early in the winter.

1 So for efficiency, we are, as I
2 mentioned, developing -- in the middle of
3 developing AAEE estimates for the IOUs with the
4 help of CPUC/Navigant. And this time, as we had
5 last time, we're also going to develop an 8760
6 set of load impacts for AAEE for incorporation
7 into our hourly load forecasting model. We're
8 going to develop, as I said, AAEE for as many
9 POUs as we have time for during this cycle. And
10 as we talked about earlier, if feasible,
11 incorporate other efficiency savings provided by
12 the Efficiency Division that goes beyond our
13 traditional AAEE.

14 And as far as PV impacts, in 2019 we have
15 an update of Title 24 which is -- one of the
16 purposes is to address the zero-net energy
17 requirement. On both the efficiency side and on
18 the PV side. So it has certain requirements for
19 both efficiency and PV. Now the 2019 Title 24 in
20 AAEE terms is considered uncommitted because it
21 hasn't yet been implemented.

22 So I propose that we use the same
23 principle for the PV -- additional PV impacts
24 attributable to the 2019 Title 24 update, meaning
25 that our baseline forecast will include a sort of

1 unconstrained forecast for PV adoption. And then
2 the managed forecast would include an additional
3 chunk of PV that comes from the implementation of
4 the 2019 Title 24. So it would be in two pieces,
5 just like we have efficiency in two pieces, an
6 uncommitted and a committed version, so --

7 COMMISSIONER MCALLISTER: I think that
8 makes sense. And, you know, just I'm sure you're
9 already doing this but just to sort of make it
10 clear, as, you know, we have an open rulemaking
11 and a pre-rulemaking phase on the Title 24 update
12 for 2019. And so the efficiency requirements, I
13 think, are something that, you know, we've done
14 it for many cycles and it's sort of more
15 understood. And so I think you can probably have
16 narrower bands of uncertainty around that just
17 from the get-go, starting now. I think it's
18 pretty clear where that's going to land, you
19 know, more or less, you know, some details
20 remaining to be hashed out.

21 But on the PV side, you know, we have the
22 makings of a proposal. When we open the
23 rulemaking there are going to be, you know, quite
24 a number of stakeholders involved in that. And
25 so where do those requirements for PV

1 specifically fall? I just ask that you sort of
2 keep a pulse on that process with the Efficiency
3 Division staff to make sure that you're, you
4 know, in the right ballpark as you go forward.

5 So thanks.

6 MR. KAVALEC: And a key role will, of
7 course, what you assume about compliance. And I
8 think that's going to require some more
9 discussion, both with the stakeholders and with
10 the Efficiency Division, because that's going to
11 make the big difference, is whether you assume 90
12 percent compliance or 50 percent compliance.

13 COMMISSIONER MCALLISTER: Well, I think
14 we can assume a very high level of compliance on
15 the new construction side.

16 But really, I think the question is:
17 What is compliance? What is compliance going to
18 mean in practice? Because not everybody is going
19 to be able to install a PV. And so part of the
20 conversation going forward is, you know, what do
21 we do with shaded lots? What do we do with
22 situations where it's problematic, you know,
23 high-rise buildings and whatever?

24 And so I think what compliance means to
25 how many buildings in terms of the actual

1 kilowatts of PV that go in, that's really the
2 question. I mean, we see high compliance with
3 the Building Code on the new construction side,
4 so I'm less concerned about just the builders
5 doing what they're supposed to do. But we're
6 going to end up with a set of rules for the
7 Building Code that are going to allow people
8 options. And we need to make some assumptions
9 about what options we think they're going to
10 take. So that's, I think, where the uncertainty
11 mostly lies on that.

12 MR. KAVALEC: Turning to electric
13 vehicles again, as I said, this will be a
14 difference maker in terms of our forecast versus
15 other forecasts and where we end up at the end of
16 the day.

17 So I propose, given the difference in
18 methodologies and results so far that we've seen
19 for our EV forecasts, that we dedicate a demand
20 analysis working group meeting to electric
21 vehicles methodologies and discussions of
22 scenarios that we should develop for the Revised
23 Forecast.

24 Also, to involve the Joint Agency
25 Steering Committee, including CARB, of course, in

1 establishing final electric vehicle scenarios.
2 I've talked to them. They've agreed to get
3 involved in this. And this is similar to what
4 JASC did a few years ago when they directed the
5 AAEE scenario effort.

6 So we also want to refine and improve
7 usage assumptions for electric vehicles. It's
8 one thing to predict the number of car and trucks
9 on the road, but how much they're going to be
10 driven relative to a gasoline vehicle is
11 important and critical in determining electric
12 consumption. So we're using pretty crude
13 estimates that we want to refine.

14 We're also working on developing EV
15 charging profiles so that we can incorporate an
16 8760 set of loads for electric vehicles into our
17 hourly load forecasting model.

18 COMMISSIONER SCOTT: So I wanted to
19 underscore the importance of the DAWG meeting
20 that will be coming up. Chris and Siva are
21 working to pull contact information together for
22 me, so that we can make sure we have the
23 transportation electrification experts from the
24 IOUs to be sure to participate in the discussion
25 that we'll have about the EV forecast models and

1 the scenario development.

2 We also talked with the JASC about
3 whether or not we might want the PUC to be
4 involved, as well, so we can get additional
5 information on the parts that they are working
6 on, on the transportation electrification side,
7 and that's really important as well.

8

9 It's also important to note that we're
10 focused right now on light-duty electric
11 vehicles. But as you know, we're also talking
12 about medium-duty and heavy-duty electrification.
13 So what we come up with probably be short of the
14 amount of electrification that is a potential
15 there, and that's something that we are working
16 on.

17 And we're also looking into figuring out
18 how we can -- and maybe the way to do this is
19 kind of a scenario similar to the one that you
20 proposed, Commissioner McAllister, for the
21 doubling down on energy efficiency, you know,
22 what do the scenarios look like that reflect the
23 more aggressive electric vehicle adoption
24 forecast that was needed from folks like
25 Bloomberg, for example, or ICCT? And how can we

1 incorporate that in or use it for a comparison?
2 Because ours is very conservative compared to
3 some of those other numbers, just to give us,
4 again, kind of a sense of the range and what does
5 it look like.

6 So those are some additional things that
7 we're doing in this space to give this some
8 additional robustness.

9 But IOUs and folks, stay tuned for the
10 email from me inviting you to participate.

11 CHAIR WEISENMILLER: I've been holding
12 off generally, but just on the particular
13 question, I think all three of us, I could
14 probably safely say, and I suspect at least two
15 other Commissioners, who will be troubled by a
16 decrease in the ZEV loads. So certainly, this is
17 one we're trying to pull in more perspectives.
18 And, you know, basically, we both know, on PV and
19 ZEV both, we're sort of at the -- what we think
20 is the low part of the tail on the exponential
21 growth. And so trying to sort it out is
22 important.

23 But looking at all the things that are
24 going on, particularly on a global basis for ZEV
25 markets, it's just troubling. So, you know,

1 we're trying to make sure that we do a reality
2 check on it.

3 COMMISSIONER MCALLISTER: I guess maybe
4 this is more of a conversation among the
5 Commissioners. But I guess, you know, it seems
6 like really what's going on, really what tends to
7 go on, you know, having been through several
8 forecasts now and, you know, managed a couple of
9 IEPRs, I feel like there's, you know, that sort
10 of healthy skepticism. It's part of an inherent
11 in any forecasts, you know?

12 I mean, I think, you know, you want to
13 sort of try to -- you're trying to -- you have to
14 rank your information sources and, you know, use
15 the ones you think are best, you know, more
16 centrally, you know? And the others ones you
17 kind of sort of say, okay, well, maybe.

18 But it sort of helps you -- the less
19 certain ones kind of help you bound your -- but I
20 think, you know, if there's sort of a trend here,
21 it seems to me that we that are more involved in
22 the, you know, policy implementation, and then
23 also the conversations with the policymakers
24 about where they want to go, going forward, you
25 know, we kind of want -- we see a lot of

1 potential in this modeling to help inform us
2 about what we ought to be pushing for to get to
3 the goals; right? And so that's not exactly what
4 the forecast is sort of set up to do; right?
5 It's set up to sort of tell -- you know, sort of
6 crystal ball the future and, you know, based on
7 the best information we have.

8 And so I think there's a kind of need.
9 There's a thirst, you know, certainly for me, on
10 efficiency, and I think for Commissioner Scott on
11 the transportation, and those of us in our -- the
12 areas that we most oversee to kind of have a back
13 and forth about, you know, what if? You know,
14 what would it take? You know, what levers would
15 have to be bigger and different, you know, in
16 order to get to goal X? And so -- you know, and
17 how do we best take into account those
18 possibilities out there on the marketplace? You
19 know, if Bloomberg is right, then it would be
20 great to be able to look back a few years from
21 now and say, oh, that forecast, you know, at
22 least had a scenario that reflected that
23 possibility because, you know, at the time we
24 kind of figured that might happen, you know?

25 And so I guess I'm just, you know,

1 wondering maybe if there's -- if the amount of
2 interaction between the forecasting team and the
3 individual offices are --

4 CHAIR WEISENMILLER: Well, I think
5 that --

6 COMMISSIONER MCALLISTER: -- you know,
7 talking about some of these scenarios?

8 CHAIR WEISENMILLER: I think that using
9 the JASC with the ARB is a good next step. But
10 I'm also signaling that I'm highly -- I'm not
11 going to adopt a forecast that has ZEV dropping.

12 COMMISSIONER MCALLISTER: Uh-huh.

13 CHAIR WEISENMILLER: And I don't imagine
14 there's any votes for that on the full
15 Commission. That's just part of the reality
16 check of what we're seeing. You know, I've been
17 in China, god bless.

18 COMMISSIONER MCALLISTER: Uh-huh.

19 CHAIR WEISENMILLER: You know, I know
20 what the Chinese are doing on the electric ZEVs.
21 I've been in Germany. I know what they're doing.
22 Obviously, you guys weren't there, but I'm trying
23 to tell you, get the message.

24 COMMISSIONER MCALLISTER: Well, and
25 several countries have said they're going to --

1 you know, by 2040, they're not going to have any,
2 you know, fossil-powered cars.

3 So, you know, and I think another example
4 is the demand response. Like demand response has
5 been, you know, I think inadequate and
6 underperforming for years. But, you know, next
7 week we're having a workshop, sort of take the
8 top off of it and, you know, open up the engine
9 and see how we can, you know, tune it up to
10 perform better; right?

11 So, you know, there's sort of reality
12 projected for -- you know, past is prologue,
13 right, there's sort of that perspective. But
14 there's also like really aspirational goals that
15 we need to find a way to express in a way that
16 helps people understand what that would like in
17 the future. And, you know, the forecast is one
18 of the main things we have that does look
19 forward. And so I think there's a need, you
20 know, in that case, on efficiency and demand
21 response to have -- you know, basically, to help
22 use this process for better insight about what we
23 should do, what we should do, what we ought to
24 do, like a nominative question, you know, going
25 forward.

1 So anyway, just a thought for us to
2 ponder. Thanks.

3 MR. KAVALEC: Well, I'll agree with the
4 Chair, that things these days are looking pretty
5 rosy for electric vehicles. But it's still
6 important to do, you know, what ifs on a
7 pessimistic side, although, you know, whether
8 that becomes part of the planning forecast or
9 not, that's a decision to be made. But, you
10 know, let's not forget the unexpected flatness we
11 saw in PV adoptions in the last year. So we're
12 able to still -- I guess my point is, we're still
13 early in the market and it's still unpredictable.
14 So we need to do scenarios both ways, higher and
15 lower, I think.

16 Okay, finally, our hourly load
17 forecasting model that we're in the processing of
18 developing, this first round, we will have a
19 version of the model to project hourly
20 consumption loads for the three IOU TAC areas.
21 And incorporated in this hourly load forecasting
22 model will be, if all goes well, hourly impacts
23 of additional achievable energy efficiency,
24 electric vehicles, PV and residential time-of-use
25 pricing, to give us a net consumption after all

1 these impacts have been incorporated in a final
2 forecast for 8760 loads. And, of course, we want
3 to catch up with the IOUs in incorporating an
4 analysis of peak shift in our Revised Forecast.

5 So I guess that was all I had for now.

6 Additional comments/questions from the
7 Commissioners?

8 CHAIR WEISENMILLER: No. Again, thanks a
9 lot for this. It's a good presentation and it
10 certainly hit issues.

11 I wanted to -- so I've got a number of
12 questions, I just need to get it straight.
13 Basically, we were trying to hold things until,
14 you know, you got through.

15 But anyway, so more or less working back
16 through things, I thought your conversation on
17 the gap was pretty interesting. You know, it's
18 sort of -- if you recall, I think 2008 was the
19 first time in SMUD's history, maybe '08 or '09,
20 but I think it was '08, that they actually had a
21 decline, a decrease, a decline in sales from year
22 to year. And, you know, it certainly got their
23 attention. But as you said, that was sort of the
24 economic driver.

25 So now the question is how much are --

1 these are policy drivers. It seemed like, you
2 know, how much of that -- you know, you've got
3 the list of, you know, what could -- you know,
4 for Andrew's benefit, on slide six, what could
5 have been the factors. But the one thing we can
6 at least try to tease out of this, and I can
7 probably get into that a little bit more later,
8 is just we know the PV installation numbers year
9 by year. And so it's possible to tease out to
10 some degree, you know, what we would anticipate
11 from the increased PVs on that gap.

12 Obviously, I suspect there's going to be
13 other things left over, Andrew, that it's not
14 like the -- you know, but it will be good, at
15 least that part of it. The other pieces are hard
16 to figure out. But that should be, you know, a
17 reality check just on, are we talking 50 percent,
18 are we talking 80 percent PV versus some of the
19 energy efficiency parts?

20 MR. KAVALEC: Yeah. And I -- so, if I
21 have some time, I'd like to sit down and try to
22 tease out the individual proportions of these
23 impacts that are contributing to this gap.

24 As you said, the PV part is simplest.

25 CHAIR WEISENMILLER: right.

1 MR. KAVALEC: You just look at the
2 increase in PV. And that's responsible for about
3 a third of the gap.

4 CHAIR WEISENMILLER: Okay.

5 MR. KAVALEC: So we know that.

6 CHAIR WEISENMILLER: Yeah. Because, I
7 mean, the associated part, which again, thinking
8 more globally, you know, when you're in China,
9 say, they just -- this is pretty impressive that
10 we're starting to bend the curve now at a time
11 when the California economy is pretty vibrant,
12 you know? And that decoupling of economic growth
13 and sort of energy consumption certainly is a
14 very huge message in places like China or India
15 where they need to really grow their economies
16 and, you know, the more sustainable part.

17 So again looking at -- you know,
18 obviously, we'd all love to get into the weeds
19 here, too. But, I mean, from a big picture,
20 that's sort of a huge factor that I think people
21 need to understand a little bit about how -- or,
22 again, keep reemphasizing what the message is.

23 I noticed there's nothing on CCAs here,
24 which I'm assuming means that at least the PUC
25 has not asked us to untangle any of that?

1 MR. KAVALEC: Yeah. I'm leaving that for
2 the Revised Forecast.

3 CHAIR WEISENMILLER: Yeah. Okay. That's
4 good. I was just trying to understand that part.

5 And, you know, we talked. As you said, I
6 think the two things that are coming out, you
7 know, there will be a lot of miscellaneous stuff,
8 but, you know, trying to get the ZEV forecast
9 right, trying to get the PV forecast right.

10 And, you know, on PV, as you said,
11 there's been some turnover, although there was a
12 lot of -- you know, when people thought the tax
13 credits were going to expire, and looking at NEM
14 stuff, a lot of stuff accelerated in that, you
15 know, so that just in the year-to-year stuff you
16 could easily -- you know, the bottom line is,
17 again, trying to forecast this part of the tail
18 is hard. But there was a pretty good industry
19 trend to pull some of the sales forward, you
20 know, when the people thought the tax credit was
21 going to expire or try to beat the NEM stuff.
22 And then that should have -- you would expect
23 that to lead to some flattening after that.

24 Now again, longer term, you know,
25 presumably as we get -- hopefully we're getting

1 monthly data, or at least as we get more and more
2 data through the year, we might get a better
3 sense.

4 But ultimately, it would be important to
5 stay connected to the Title 24 Standard work
6 which is, you know, certainly going through its
7 own bumps and, you know, variations on this
8 particularly topic. And we're not there yet on
9 where that's going to come out.

10 Yeah, I also thought, just following a
11 point in Janea's comment, that, obviously, we
12 have enough of a headache on the light-duty
13 vehicles. But there's certainly more stuff on
14 the heavy-duty, although that might be more gas
15 forecast thing, you know? But again, that's
16 something that in a JASC context, at least when
17 you get there, I guess try to keep the ARB in the
18 room for the conversation about heavy-duty --

19 MR. KAVALEC: Right.

20 CHAIR WEISENMILLER: -- and that part of
21 it, so we don't get this piece nailed down and
22 suddenly discover near the end that the big issue
23 is what about heavy-duty, particularly the gas
24 side of it?

25 MR. KAVALEC: Yeah. Aniss can address

1 this more fully, but we do do a heavy -- medium-
2 duty and heavy-duty vehicle forecast. It
3 includes electric vehicles.

4 CHAIR WEISENMILLER: Right. Okay. I
5 think those are the ones I had coming out of
6 this. But again, thanks.

7 And I think one that is really
8 significant is your work on the sort of hourly
9 model.

10 MR. KAVALEC: Yeah.

11 CHAIR WEISENMILLER: You know, again, I
12 sort want to thank you for pushing that.
13 Obviously, as you said, I think the energy
14 efficiency numbers will continue to be issues,
15 particularly how we deal with the doubling, much
16 less how to deal with, you know, what we would
17 like to see in terms of federal appliance
18 standards.

19 COMMISSIONER MCALLISTER: Yeah. Yeah. I
20 mean, there are all sorts of issues and things.

21 CHAIR WEISENMILLER: I'll kinds of
22 issues. But I think big picture, if we can
23 really focus on the ZEV and PV, that will do us
24 well.

25 MR. KAVALEC: Okay.

1 COMMISSIONER MCALLISTER: So I just want
2 to mention, you know, increasingly, we're having
3 to integrate these conversations. So, you know,
4 we've got three divisions here, you know, that
5 really need to channel to Chris and the
6 Forecasting Team what -- all they know about
7 what's happening in this space. And certainly
8 the doubling is a big deal in a lot of pieces, a
9 lot of gears.

10 And I wanted to just underscore, you
11 know, my hopes for some of the analytical tools
12 that we're developing. You know, at the moment
13 it's mostly with the Efficiency Division and the
14 Energy Analysis Division. But the idea that
15 we're going to have a data lake that's got a lot
16 more disaggregated longitudinal information in
17 it, and a mandate from SB 350 to sort of untangle
18 what's going on with efficiency, in particular,
19 is going to -- you know, my hope for all that is
20 that a couple years from now we look back and
21 we're going to be able to do some of this
22 disaggregation that we're so -- you know, that
23 we're sort of watering at the mouth for. And,
24 you know, if we build the tools right and we have
25 it properly staffed and sort of, you know,

1 automated enough that it's not too labor
2 intensive, then I think we'll be able to,
3 actually, retrospectively have a lot more
4 knowledge about what happened, which make will
5 make life easier for you as we want to, you know,
6 project forward.

7 So, you know, the resources we're putting
8 into that, I think are going to help everybody.

9 MR. KAVALEC: Yeah. I didn't bring up
10 the topic of geographic disaggregation, but
11 that's still something in the mix. And it's
12 really going to depend on what we end up getting
13 in terms of regular data through the current
14 rulemaking, what we can support. So once we --
15 that -- those decisions have been made, then we
16 can sit down and say here's what we have and
17 here's what we're planning to do in the future in
18 terms of special studies and more geographic
19 disaggregation.

20 CHAIR WEISENMILLER: Yeah. I forgot to
21 ask you, I mean, there's always been this
22 perennial issue of where are we on the AAEE
23 studies, you know, in terms of timing and making
24 sure we get those, in a timely fashion, to feed
25 into the forecast. How are we doing this year on

1 that?

2 COMMISSIONER MCALLISTER: The Navigant
3 stuff?

4 CHAIR WEISENMILLER: Yeah, the Navigant
5 stuff, both in terms of, obviously, there's the
6 potential, there's, you know --

7 MR. KAVALEC: Yeah. Well --

8 CHAIR WEISENMILLER: -- the holes. I
9 mean, that whole thing is pretty foundational --

10 MR. KAVALEC: Uh-huh.

11 CHAIR WEISENMILLER: -- to what we're
12 trying to do. And, you know, obviously, things
13 always take somewhat longer than we hope.

14 MR. KAVALEC: They always do, but I think
15 if things go well we're on track. In the latter
16 part of August, we're going to begin the analysis
17 and develop the scenarios.

18 CHAIR WEISENMILLER: Okay.

19 MR. KAVALEC: But all the tools are
20 there. The potential study has been done. It's
21 just a matter of evaluating the scenarios that
22 have been done so far for the potential study,
23 think about additional new scenarios that may be
24 involved, and put those together and develop a,
25 you know, set of candidate scenarios for the

1 managed forecast.

2 The thing that, as I mentioned, before,
3 we have -- we also want an 8760 set of loads for
4 AAEE to be developed. That will take a little
5 longer, but hopefully that will be -- both of
6 those things will be ready to go by the time the
7 Revised Forecast is put together.

8 CHAIR WEISENMILLER: Okay.

9 COMMISSIONER MCALLISTER: So on that
10 front, so are you having any issues or barriers
11 related to sort of the differences between the
12 work that Navigant did for the IOUs versus the
13 POUs? Are you able to kind of navigate that?
14 Because I understand there are a few differences
15 between those two efforts.

16 MR. KAVALEC: Yeah. I haven't been
17 involved enough yet on the POU side to --

18 COMMISSIONER MCALLISTER: Okay.

19 MR. KAVALEC: -- give you a good answer.

20 COMMISSIONER MCALLISTER: Okay. Thanks.

21 MR. KAVALEC: Okay. So speaking of
22 electric vehicles, we will now turn to that topic
23 with Aniss Bahreinian, our EV expert.

24 MS. BAHREINIAN: Good morning,
25 Commissioners, stakeholders. Thank you for being

1 here.

2 Yeah, Chris is taller than I am, so I
3 have to bring it down.

4 Today we are going to talk about PEV
5 forecast, but we're going to talk about the
6 forecasting approach, not the numbers themselves.
7 The different numbers, as has mentioned
8 repeatedly, that there are differences between
9 different forecasts. And we're trying to
10 forecast on explaining our forecast, but in the
11 middle, I'm going to sprinkle some comparisons
12 with some of the most mentioned forecasts out
13 there, which is Bloomberg and others, so I'll be
14 talking about all of those.

15 So again, it is about methodology
16 elements. And we are going to first talk about
17 utilities, and then talk about our own
18 forecasting approach.

19 There are a number of scenarios of the
20 future out there regarding the PEVs. And these
21 scenarios, some of them are forecasts and some
22 are not forecasts. Some can be best
23 characterized as pathways that start with a goal
24 at the end, at some point in the future, and then
25 work their way backward.

1 What we do here is, obviously, the
2 forecast, but there are also different kinds of
3 forecasts. There are -- if you look at different
4 forecasts, you have -- some of them are supply
5 forecasts, they are heavily focused on supply,
6 such as Bloomberg, and some of them are heavily
7 focused on demand, which is entirely what we do
8 here. And then there are some forecasts that
9 have elements of both, both the supply and the
10 demand. Ideally, ideally, and in the long term,
11 perhaps, we can have a supply, a vehicle supply
12 model, in our own division, so that we can
13 iterate back and forth between the supply and
14 demand, but we are not there yet. That's
15 something for the future, we can certainly
16 address, but certainly not for this IEPR.

17 So the utilities have to have some idea
18 about what the future holds for them, because
19 they have to make infrastructure investments.
20 Infrastructure investments do not happen
21 overnight. They have to spend a lot of time and
22 they have to see some point in the future in
23 order to be able to make those infrastructure
24 investments.

25 If they overshoot, if in those estimates

1 or forecasts, if they overshoot, then they could
2 face the question of stranded resources. If they
3 undershoot, then they are going to have the
4 question -- the problem of reliability. So they
5 have to be -- they have to walk in a balance so
6 that they could address both sides.

7 Now the PEV projections, the PEV
8 scenarios that I have seen from different
9 utilities, essentially they are either, I mean,
10 to different degrees, depending on whose forecast
11 we are talking about. They rely on achieving the
12 existing state policies' goals. Of course, that
13 the laws that are in place are laws, and they
14 should be followed. And it is safe to assume
15 that the laws would be complied with.

16 They also rely on a 2014 study that was
17 done for California Electric Transportation
18 Coalition by ICF, and it was sponsored by
19 different utilities. So we will see different
20 elements of that, actually, in some of the
21 utilities forecasts. We, ourselves, have
22 actually used some of the TEA analysis in our
23 Off-Road Transportation Electrification Forecast.
24 However, when it comes to light-duty vehicle and
25 PEVs, we are using the internal CEC models, but

1 not everybody has those models. Therefore, there
2 has been a reliance on the TEA study.

3 This year, Southern California Edison is
4 relying on Navigant's forecast of technology
5 market shares. And they also -- some of the
6 utilities have also used our 2016 Energy
7 Commission IEPR updates for the EVs.

8 Now if you look at the TEA study, for
9 short, Transportation Electrification Assessment,
10 it was based on the ZEV that was originally
11 developed in 2012, so they used those numbers.
12 The ZEV 2012 has the compliance levels. If you
13 look at only the vehicles and not the ZEV
14 credits, it was based on approximately one-and-a-
15 half million.

16 Now our TEA study had three different
17 scenarios. One is -- and the names that I have
18 put there are exactly the names that were used in
19 the TEA study -- one is in line with current
20 adoption or what I call low, another one is in
21 between which is the mid in the middle of the
22 two, low and high, and then one is what they
23 called aggressive adoption. In the aggressive
24 adoption, they took the ZEV 2012 numbers, the
25 one-and-a-half, let's say, roughly, million

1 vehicles multiplied by three. So they just took
2 the ZEV mandate numbers that were coming out of
3 that, multiplied it by three, and they called it
4 aggressive adoption.

5 Notice, also, that, in line with current
6 adoption, which is the low, what is interesting
7 to know is that the low is based on a 50-50
8 distribution between hydrogen vehicles and PEVs.
9 So the assumption is if 50 percent of the ZEV
10 mandate is not by hydrogen vehicles, then the
11 other 50 percent would be. So they are taking
12 off -- hydrogen is already taking off 50 percent
13 of that, therefore you're going to have a low PEV
14 forecast.

15 Now about Energy Commission? These are
16 the scenarios that we are defining. We refer to
17 them among ourselves as common scenarios. And
18 the reason why we call them common scenarios is
19 that the data that we are using, the population
20 income and price data that we are using is the
21 same as is used by the rest of the Demand
22 Analysis Office.

23 Notice the first two. These are the key
24 inputs, of course. These are not all of the
25 inputs that you use. And some people were

1 saying, well, how can we duplicate your forecast?
2 Well, we have over 150 different variables. We
3 had a ton of data. For some things it is
4 impossible to just replicate it correctly,
5 accurately. But these three variables are
6 important variables in our model and in our
7 forecast. Population and income, essentially,
8 drive the population of the vehicles. So when we
9 are forecasting total population of all EVs,
10 population and income as two variables are the
11 ones that are playing the prominent role.

12 Look at the fuel prices, however, you can
13 see that fuel prices, we are mixing -- we are
14 moving the petroleum fuels and electricity and
15 natural gas in opposite directions. And the
16 reason why we do that is, again, we are
17 generating a demand forecast that should be
18 consistent with the rest of transportation and
19 electricity. So we want to generate one that --
20 we want to generate a forecast that will develop
21 the highest and the lowest in our forecast of the
22 EVs, because are exchanging that data with the
23 rest of the division and they are incorporating
24 it into their forecast.

25 So there, in the high demand, which can

1 do better as the high electricity demand,
2 petroleum fuel prices are high, electricity,
3 natural gas and hydrogen prices are low. So in
4 this case, electricity, natural gas and hydrogen
5 prices, when they are low, you could better call
6 it high alternative fuel vehicle.

7 In the mid case, of course, it is in
8 between.

9 And the low demand case, notice again,
10 petroleum fuels and electricity, they are moving
11 in the opposite direction, because we want to
12 substitute EVs for petroleum -- for ICE vehicles,
13 for gasoline vehicles.

14 Now the CEC's light-duty vehicle
15 forecast, is based on economic and demographic.
16 Again, as was evident in the previous slide,
17 economics and demographics have a lot to say
18 about the PEVs, about the MDVs, and they
19 determine. So if our economic and demographic
20 forecast are a straight line going up, that means
21 that our MDVs are going to be a straight line
22 going up. So if they're going at a curve,
23 because it is entirely determined by these
24 factors, they are going to take the shape of the
25 inputs, actually.

1 COMMISSIONER MCALLISTER: Aniss, can I
2 ask a clarifying question --

3 MS. BAHREINIAN: Sure.

4 COMMISSIONER MCALLISTER: -- on a
5 previous slide?

6 MS. BAHREINIAN: Sure.

7 COMMISSIONER MCALLISTER: So when you
8 have -- when you say the fuel prices are high and
9 low for, you know, petroleum fuels and
10 electricity and natural gas, hydrogen, is that
11 high and low relative to one another or high and
12 low just relative to some scenario of pricing?

13 MS. BAHREINIAN: It is --

14 COMMISSIONER MCALLISTER: Because, I
15 mean, you can argue that for EVs, you know, a
16 high electricity price and even a relatively
17 modest fossil fuel price, it's still going to be
18 cheaper to operate and EV, even in that scenario.

19 MS. BAHREINIAN: Yes.

20 COMMISSIONER MCALLISTER: So I guess I'm
21 kind of just wondering what the -- how that's all
22 structured?

23 MS. BAHREINIAN: Yes. We are just trying
24 to get the maximum. But the high and the low is
25 relative to the price scenarios for petroleum

1 fuel products versus electricity and natural gas
2 and hydrogen. We have three scenarios for each
3 of those fuels. So what we do, is we mix and
4 match the high scenario of the petroleum fuels
5 with the low scenario of the electric prices.

6 COMMISSIONER MCALLISTER: Within the
7 range of possible electricity prices --

8 MS. BAHREINIAN: Yes.

9 COMMISSIONER MCALLISTER: -- and gasoline
10 prices, respectively?

11 MS. BAHREINIAN: Yes.

12 COMMISSIONER MCALLISTER: Okay.

13 MS. BAHREINIAN: Absolutely.

14 COMMISSIONER MCALLISTER: Thanks.

15 MS. BAHREINIAN: So the CEC Light-Duty
16 Vehicle Forecast of 2017, the 2017 forecast is
17 based on our residential and commercial survey of
18 consumer preferences that was conducted by
19 Resources Systems Group, or RSG, on our behalf.
20 So we really have the latest data that anybody
21 wants. I mean, it completed in February 2017.
22 You can't get any more recent than that. And
23 then we used this -- the survey data is used to
24 update the models. So we do have a set of models
25 that we are using, but we keep updating it with

1 the new data because consumer preferences keep
2 changing, and as such we have to also develop new
3 models that are based on the new consumer
4 preferences.

5 Later -- and then also the last
6 projections of vehicle attributes, accounting for
7 announced and projected technology developments
8 in 2017 and beyond. So we search and look and
9 try to see, what are the latest projections of
10 vehicle attributes?

11 The CEC model is based on discrete
12 choices analysis that was originally developed by
13 Daniel McFadden at UC Berkeley. It is devised
14 from economic theories. It is based on economic
15 theory, it has a good foundation. And McFadden
16 used it to predict BART ride issue, before it was
17 even built. And the model has many applications
18 in transportation, energy and marketing.

19 Now the important part that you see here
20 is what is it that determined technology fuel
21 type choices? Now what determines all of those
22 economic and demographic factors, we forecast the
23 population of the light-duty vehicles and what is
24 being sold on the market. When it comes to the
25 trends between different vehicles and fuel types,

1 then these are the factors that are going to
2 enter into consideration of the consumers.

3 Number one is the consumer preferences
4 for different technology and fuel type. And what
5 it does, it allows the model -- allows the
6 consumers in the model to substitute between
7 different fuel types. If there is an increase in
8 preferences for EVs, then the consumers are going
9 to substitute EVs with gasoline vehicles, for
10 instance.

11 We also have preferences for vehicle
12 class. So these are two separate sets of
13 preferences. We check counts for substitution
14 between classes of vehicles. Now these are the
15 kind of substitutions that are related
16 specifically to fuel type and class. But as you
17 can see later, consumers also substitute for
18 other reasons.

19 Now this is the set of classes that we
20 have. Note here, we have 15 different classes of
21 vehicles versus, for instance, in the Bloomberg
22 really had only small, large mid-size and SUV.
23 We have to be more precise because we are
24 forecasting fuel demand.

25 Note here the light blue cells are the

1 sales that ensure all of the different classes,
2 gasoline, for instance, has different makes and
3 models in every single class of vehicle. So if
4 you want a van, if you want a large van, no
5 problem, you go to the store and you buy one that
6 is in gasoline.

7 The green cells are showing all of the
8 different technologies that are going to be
9 introduced into the market at some point in the
10 future. This is our best guess in it so far.
11 And we can actually use more input on this from
12 others if they have more information about the
13 classes that will enter the market.

14 And the white cells are the ones that
15 will never be introduced in this model. We're
16 not saying that they will never be introduced,
17 but in the model, those are absent. You can
18 notice here that between PEV, EV and FCV, you
19 have the most white cells in these columns.

20 Salmon colored cells are actually the
21 ones that are being deleted. Naturally, a lot of
22 diesel is getting out of the market, so you could
23 see most of the diesel makes and models are being
24 deleted, as well as one of the makes of fuel
25 cell -- I'm sorry, flex-fuel vehicles.

1 So the class is important. This is
2 another common thing between what we do and what
3 Bloomberg actually said. Bloomberg also believed
4 that class is important. It is very important to
5 introduce EVs/PEVs into the larger vehicle
6 classes, because consumers are moving in that
7 direction. Our survey shows that, Bloomberg was
8 emphasizing, so this is catching up, that
9 manufacturers have to build cars in the larger
10 vehicle classes, and that is important to the
11 consumers.

12 Another set of factors that we do
13 incorporate that do impact fuel type choice are
14 government incentives, state rebate, Federal Tax
15 Credit, HOV lane access, all of these are
16 important to the consumers, and these are
17 important. Our model actually accounts for these
18 separately. That's important because a dollar of
19 tax credit acts differently for the consumers
20 than a dollar of state rebate compared to a
21 dollar of price reduction. It is important to
22 include them separately. Most other models or
23 forecasts, they don't consider them separately.
24 They just up and down the price of the vehicle.
25 And we see that, actually, they have different

1 impact.

2 In one of the -- so these are also our
3 policy variables. We are talking about policy
4 analysis. These are the variables that we are
5 using for policy analysis. So one exercise that
6 we did was, okay, what does it take to get to the
7 4.2 million?

8 And what we did was by changing these
9 incentives over time and in a way that doesn't
10 increase -- that is what is called revenue
11 neutral, how can we increase taxes on gasoline
12 vehicles, for instance, or fees on gasoline
13 vehicles and rebates on PEVs or FCVs, so that we
14 could reach the 4.2 million? So we can exercise
15 these. It's possible because we have these
16 policy variables.

17 What are the other determinants of
18 technology fuel type? Well, very important, it's
19 the vehicle price. Vehicle price is very
20 important in choice of the consumers. If the
21 manufacturers can manage to bring the prices
22 down, consumers are going to buy EVs. Because in
23 our survey it shows that consumers actually have
24 higher preferences for EVs, for PEVs. That has
25 been shown in the most recent survey that we

1 have, which is why we are forecasting more EVs
2 than PHEVs.

3 This is, again, very entirely consistent
4 with what Bloomberg is doing. Actually, I think
5 that perhaps Bloomberg is the only forecaster
6 that is forecasting like we do, that EVs are
7 going to grow in the market. Even though they
8 are looking at it from the supply side, we are
9 looking at it from the demand side, we are both
10 reaching the same conclusion: EVs are going to
11 overcome the other ZEVs.

12 Fuel economy, of course, is very
13 important. If you are underestimating fuel
14 economy of BEVs or overestimating them, it's
15 going to have impact on consumption of
16 electricity, so that is an important factor.

17 Cost per mile is very important, fuel
18 cost per mile. So if the electricity prices and
19 gasoline prices, when we are looking at them in
20 terms of how much it costs to drive one mile,
21 that is what we are considering in our forecast.
22 We do not look at the price of gasoline and price
23 of electricity, versus how much it is going to
24 cost to drive one mile. This is going to be
25 impacted not only by the price of the fuel

1 itself, but also by the fuel efficiency of the
2 vehicle.

3 Maintenance cost is another factor.

4 Range; this time around we have noticed
5 it has gained significance. I think that perhaps
6 one reason why it has increased significance this
7 time is because consumers are now more educated
8 about the EVs. So increasing the range of
9 vehicle is going to have impact.

10 Acceleration is actually important. And
11 NREL has found that acceleration has great impact
12 on choice. We have found the same thing in our
13 survey and in our forecast.

14 Number of makes and models is important,
15 not as important as some of the other factors,
16 but still, it is an important factor.

17 And then refueling time, refueling time
18 is very important. And I have to tell you that
19 when I was watching a documentary on Bloomberg,
20 they were showing all these screens with the
21 stream of data that is coming every second from
22 different places from every part of the world. I
23 was really intimidated. I was saying, well, how
24 can we ever compete with that? We don't have all
25 of this. Even now as I'm talking to you about

1 Bloomberg, what I'm saying is not based on
2 reading the actual report, because we don't have
3 access to it. I have only read the executive
4 summary, and I have participated in the webinar
5 that they had yesterday.

6 But even so, with all of the data that
7 they have, which is, as I said, very intimidating
8 to us, with all of that data, they still didn't
9 even mention Toyota's new technology on batteries
10 that is going to actually reduce the refueling
11 time. Even they didn't have that in their study,
12 with all of the data that they have at their
13 access.

14 So this is an evolving market, it's in
15 flux. And still, things are not settled yet.
16 There's a lot of uncertainty.

17 In addition to all of those factors, we
18 also account for infrastructure. And the
19 infrastructure enters our model in terms of time
20 to fuel station.

21 Now of all these, as we have been
22 mentioning, actually, since 2013, vehicle price
23 is the more important factor. What can we do
24 when Bloomberg puts out that forecast, which is
25 mostly a supply-based forecast? But Bloomberg is

1 saying that battery prices are going to come down
2 to \$73.00. When battery prices come down, then
3 what will happen? Price of the vehicles are
4 going to come down. So then maybe we can
5 incorporate Bloomberg information into our
6 forecast as to the vehicle prices and the range.
7 So what we can do is to look at what they have
8 generated and incorporate that into our
9 scenarios. And perhaps we can develop another
10 alternative scenario after discussion at DAWG and
11 with the CPUC and everybody, so that we can
12 increase the number of PEVs in our forecast.

13 If I have time, I would talk more, but I
14 think I'm done. Our OM is telling me I'm done.

15 CHAIR WEISENMILLER: Great. Thanks. I
16 just want to reiterate, we're not adopting a
17 forecast. I'm not voting for a forecast that has
18 ZEV going down. Everything that's occurring now
19 in the market is in a positive direction.

20 As you indicated, every day you see more
21 stuff. For example, the Financial Times, this
22 morning, talked about the economic can put an
23 impact on the general manufacturers for the high
24 luxury vehicle, saying they're really threatened
25 now, that comparing the number of parts in, you

1 know, the latest Tesla, there's 7,000; there's
2 30,000 in their cars. And so that has -- gives
3 them a fundamental competitive disadvantage which
4 they now have to overcome.

5 Now again, I realize I'm not trying to
6 say, okay, let's go through every press release
7 today that would lead you to think -- you know,
8 because the Volkswagen settlement, is that in
9 here. You know, the thing is, is that -- I mean,
10 you know, it's just -- come on. I mean, if you
11 look at the waves coming, there's a lot of
12 uncertainty on timing of this stuff. It's pretty
13 clear where it's moving. Diesels are gone. You
14 know, basically battery costs are coming down.

15 Again, we keep talking about the battery
16 giga factory here. China has tons of giga
17 factories. You know, they have like 11 compared
18 to 1. You know, they have very, very aggressive
19 goals. I mean, why is Toyota moving into ZEVs
20 after going Toyota Prius oriented or hydrogen
21 oriented? It's because they're able to sell cars
22 in China. You know, obviously, it's a lot easier
23 in China when you say, okay, you're in Beijing,
24 you want a car tomorrow. You want a BEV
25 tomorrow? Or you can get in a lottery and maybe

1 sometime in the next few years, you might get an
2 IC engine. Obviously, everyone doesn't have that
3 power. But, you know, that really forces the
4 OEMs to start, you know, getting pretty
5 aggressive on this, you know?

6 So again, getting back to the consumer
7 preference, I appreciate that. But I'm just
8 telling you, in terms of everything we see, it's
9 not just Bloomberg. You know, by looking across
10 the board, everything is saying, my god, we went
11 down, you know, and thinking, trying to figure
12 out that you could easily say, well, we went down
13 because X happened, because, you know, this
14 happened or that happened.

15 So, you know, anyway, it's just we're in
16 a very tough time. I think certainly going
17 forward, you know, using the working group,
18 bringing ARB in, but certainly, you know,
19 listening to what the utilities are saying,
20 getting the best information at this time. But I
21 think as we do that, you know, it's going to
22 force us to rethink these.

23 MS. BAHREINIAN: And thank you very much.
24 And we appreciate -- I appreciate all the input
25 and feedback and guidance that we get.

1 I should also -- one of reasons why we
2 are coming down, compared to the previous
3 forecast, I want to just explain that. Because
4 in the Revised Forecast in 2015, we made a number
5 of changes. One was that we increased
6 conservation preferences over time. So we
7 developed to scenarios that made it in the high
8 scenarios that were based on increased
9 preferences.

10 What we have done in this Preliminary
11 Forecast that we have released, we kept consumer
12 preferences constant, which is not realistic
13 because we know consumers are going to have
14 improved preferences. And we can work with DAWG
15 and others in order to develop a better way, a
16 good way to increase consumer preferences, as
17 opposed to one that is arbitrary.

18 The other thing that we did was, if you
19 recall from 2015, these are David Green's, really
20 inspired by David Green and the Academy's study
21 on --

22 CHAIR WEISENMILLER: Right.

23 MS. BAHREINIAN: -- transition to
24 alternative fuel vehicles. And what we did, they
25 said in their study, which wasn't a forecast, but

1 what they were saying was that in order to meet
2 the goals, we're going to have to see vehicle
3 prices coming down to parity with ICE vehicle
4 prices in 2050. So in the mid scenario, in the
5 2015 IEPR, we made the assumption, we
6 artificially lowered the prices of vehicles to
7 the same level, to parity with gasoline vehicles
8 in 2050. In the high case, we made it more
9 aggressive and we lowered the prices, brought
10 them to parity in 2030.

11 CHAIR WEISENMILLER: But I'm telling you,
12 the Financial Times said today --

13 MS. BAHREINIAN: Yeah.

14 CHAIR WEISENMILLER: -- looking at the
15 number of components, prices will be lower, okay?
16 And I should also note from your preference, when
17 the state talks ZEV, we're sort of indifferent on
18 whether it's hydrogen or battery, it's ZEV. So,
19 I mean, I guess that's something we haven't got
20 to and how do we deal with that split, a
21 question?

22 But, you know, certainly in terms of --
23 so it's not, gee, hydrogen is occurring, so we're
24 not going to hit ZEV, it's cumulative.

25 MS. BAHREINIAN: Yes. And I should --

1 one of the things the class table letter showed
2 you, this one, you see that you have FCV here.
3 And there are only three classes that are
4 populated by FCV.

5 CHAIR WEISENMILLER: Uh-huh.

6 MS. BAHREINIAN: One of the things that
7 we are doing, one of the things that we have
8 looked at, is another kind of an FCV called plug-
9 in hybrid FCV --

10 CHAIR WEISENMILLER: Uh-huh.

11 MS. BAHREINIAN: -- which is used now in
12 Europe, but we don't have it in the U.S. market.

13 Bloomberg is right in looking at global
14 market. Because when it comes to supply, it is
15 really global market that impacts it. It is a
16 global market because manufacturers are producing
17 for the global market. They don't produce for
18 California --

19 CHAIR WEISENMILLER: No. GM sells --

20 MS. BAHREINIAN: -- or the U.S.

21 CHAIR WEISENMILLER: -- more cars in
22 China than it does --

23 MS. BAHREINIAN: Absolutely.

24 CHAIR WEISENMILLER: -- in the U.S.

25 MS. BAHREINIAN: And Tesla also sells in

1 China.

2 So if there are some vehicles or
3 technologies that are available in the global
4 market, say in Europe, plug-in hybrid FCV,
5 chances are that those are going to migrate at
6 some point to the U.S. economy.

7 So what we are thinking, also, about
8 doing, in addition to increasing the number of
9 classes that are in this table, we're also going
10 to add another one that is called plugin hybrid
11 FCV. And we did a test with the model, and we
12 noticed that the consumers really liked that. If
13 we add this plugin hybrid FCV, the sales went up
14 of the ZEV vehicles.

15 So there are a number of options that we
16 are going to have to discuss and consider when we
17 are in conversation with DAWG or the CPUC and ARB
18 on increasing the number, making it more
19 realistic, increasing the high scenario, the mid
20 scenario versus the low scenario. We could
21 increase the high scenario and create another
22 alternative scenario that addresses all of these
23 different changes, even though there may be
24 uncertainty about it.

25 CHAIR WEISENMILLER: Okay. Do you have

1 anything?

2 COMMISSIONER SCOTT: No. I mean, I think
3 the challenge between the Preliminary Forecast
4 and the Revised Forecast is there's a lot of work
5 left to be done in between preliminary and
6 revised. It's kind of potentially analogous to
7 seeing the line without the AAEE in it. That
8 completely changes what the picture looks like.
9 The conversations that need to be had within the
10 DAWG have not happened yet, and those will make,
11 I'm assuming, those will make quite a difference
12 in what this looks like between now and revised.

13 Additionally, the conversations that we
14 have with ARB, talking about the scoping plan,
15 the ZEV mandate, other things like that, I think
16 also have the potential. And those conversations
17 have not taken place yet, but they are important.

18 And I agree with you, our trend lines are
19 extremely conservative and not reflective of
20 what's sort of happening the real world around
21 us. And that's something we need to figure out,
22 kind of, as well between now and that Revised
23 Forecast.

24 CHAIR WEISENMILLER: Yeah. Well, we need
25 to get onto the other big topic, you know, the DG

1 part.

2 MS. BAHREINIAN: Yes.

3 CHAIR WEISENMILLER: But I'm certainly
4 going to encourage you to work closely with Staff
5 on this topic.

6 MS. BAHREINIAN: We will.

7 CHAIR WEISENMILLER: And look forward to
8 Staff working well with you on it. Thanks.

9 MS. BAHREINIAN: thank you very much.

10 MS. RAITT: So next we have Scott Shepard
11 from Navigant Consulting. He's going to be
12 presenting via WebEx.

13 Go ahead, Scott. You can let me know
14 when you want me to change your slides.

15 MR. SHEPARD: Okay. Can you confirm that
16 you hear me?

17 MS. RAITT: Yes, we're ready. Thanks.

18 MR. SHEPARD: Oh, okay. Thanks. Well,
19 thank you, everyone, for letting me present.

20 Sorry I can't be there. I'm joining you from
21 England. But I am a former California resident.
22 And had I still lived there I would be there.

23 So anyways, my name is Scott Shepard. I
24 am an Analyst with Navigant Research. And I
25 manage the Electric Vehicle Research Service for

1 Navigant Research. And what I'm going to be
2 presenting on here is the methodology that we use
3 for the annual public, the Electric Vehicle
4 Geographic Forecast Report, which takes our
5 global forecast of national markets and
6 disaggregates it among the North American markets,
7 that is to say it is a forecast that produces
8 sales forecasts and population forecasts for
9 states and provinces in North America, and then
10 sub-state populations within both those
11 countries, so basically looking at core base
12 statistical areas and census conglomerations in
13 Canada and the United States, respectively.

14 With that, I think we can move on to the
15 next slide. Thanks.

16 So just a real quick agenda here. I'm
17 going to provide an overview, only about the
18 technology competition model, while providing an
19 overview, really, of some of the sensitivities
20 within the model, some of the uncertainties about
21 it. We have a slide in the back that provides a
22 little more explanation about the actual
23 calculations that are driving the model and where
24 particular inputs are weaving their way into the
25 actual calculations. And then the second part is

1 to discuss our disaggregation method.

2 So with that, we can move on to the next
3 slide.

4 So while you have this in front of you,
5 I'll just provide an overview of what's going on
6 in the model at a high level.

7 So our forecast is driven by -- at the
8 national level. We are doing this top-down
9 approach to assessing the competitive relative
10 value of each powertrain fuel combination within
11 a market.

12 So we look at the light-duty vehicle
13 market and we split it up into two classes. The
14 class that involves all passenger car or body
15 types, such as hatchbacks, sedans, coupes, what
16 have you, and then the class of vehicles that
17 includes -- that are larger, basically the light-
18 truck classes is what it's commonly called, and
19 that includes crossovers, SUVs and compact
20 pickups

21 And then in those two classes we look at
22 12 different combinations of powertrains and
23 fuels. And those powertrain and fuel
24 combinations included, you know, the internal
25 combustion engine powered by diesel or gas, the

1 hybrid powered by diesel or gas, by the battery-
2 electric vehicles, fuel cell-electric vehicles,
3 basically all of those possible combinations. We
4 do a grind-up assessment on what the average
5 costs of those vehicles are based off of their
6 unique vehicle components, such as for batteries,
7 the -- I'm sorry, for battery-electric vehicles,
8 the battery, for fuel-cell vehicles, it is the
9 fuel cell that's within the vehicle that is
10 providing power to the battery.

11 So from that ground-up assessment of the
12 vehicle costs, we then assess what the purchase
13 cost of that vehicle are using information on
14 government additions and subtractions, basically
15 taxes and subsidies. And we then account for
16 operating costs, basically doing what any fleet
17 operator would do in terms of assessing which
18 vehicle they're going to purchase for their
19 state, which is to do that total cost of
20 ownership analysis for each vehicle on a certain
21 ownership period. So our period is roughly
22 36,000 miles or three years.

23 And once we have identified that overall
24 cost structure for the vehicle, based off of
25 these more, I guess, easily findable or

1 quantitative economics, we then factor in some of
2 the more qualitative aspects of each technology,
3 the primary component being infrastructure. And
4 that component we view as, agnostically across
5 all powertrain fuel combinations, a penalty that
6 is added to a powertrain fuel combination if that
7 powertrain cannot compete, its infrastructure
8 cannot compete with the market-leading option.
9 And we model that as a -- that penalty based off
10 of the costs that would have to fall on somebody
11 who is adopting the vehicle and would likely have
12 to use an alternative vehicle for a certain
13 percentage of trips through a period of
14 ownership.

15 So that's a high-level overview of the
16 model methodology and the major pull factors.

17 Within that method, we're able to test
18 certain input parameters, such as oil prices,
19 lithium-ion battery prices. A lot of the work
20 that we do, besides just putting this report out,
21 in terms of custom projects, we often test
22 sensitivities to subsidies or government policy
23 changes.

24 The report that we produce, I mean, I'm
25 talking about here, we typically keep all

1 policies, major policies that are impacting the
2 vehicle market, such as the Federal Tax Credit or
3 corporate average fuel economy standards or the
4 EV Program, as staying as their written
5 throughout the forecast period we're looking at.
6 But with some of the lower level market
7 interventions from some national players, we
8 typically have those particular incentives or
9 subsidies or interventions building out along a
10 timeline that aligns with the reduction in the
11 battery price or the premium moves (phonetic) of
12 the vehicle for battery-electric or plugin-hybrid
13 vehicles. And the reason for that is these
14 policies are typically highly uncertain in terms
15 of their length or longevity.

16

17 So given that, you can see some of the
18 major sensitivities when you look at regarding
19 our input parameters. And as you see on the
20 chart to the left, you have oil prices and
21 battery pack prices. And those are the two major
22 areas of uncertainty that are also fairly
23 volatile. Definitely, oil prices are more
24 volatile than lithium-ion battery prices.

25 And so this just gives you a sense of how

1 our model works in terms of the competitive
2 components within it, in that if you are tweaking
3 your oil price up, you are tweaking your oil
4 price, you are diminishing the relative
5 competitive value of the conventional or the
6 stop-start vehicle against the plugin vehicles,
7 battery-operated vehicles, battery-electrics and
8 the plugin hybrids.

9 So you can see the benefit that is
10 created when you toggle up oil prices one
11 percent, or whatever, you have a net benefit of a
12 just slightly over two percent impact on plugin
13 vehicles in 2017. The sensitivities are not
14 linear. There's a curve incorporated, and they
15 change over time. For instance, if you were to
16 look out, you know, to 2050, you'll eventually
17 see that tweaking up oil prices does not help
18 hybrids anymore, and eventually it starts to hurt
19 them because it makes battery-electric and plugin
20 hybrid vehicles so much more competitive.

21 You can see this dynamic in the chart
22 below, oil prices, in that it's showing the
23 impact of lithium-ion battery pack price
24 declines, which initially provide a benefit to
25 hybrids because they're also benefitting from a

1 slight decrease in battery pack prices. But that
2 quickly dissipates as plugin vehicles become more
3 competitive on behalf of the battery pack price
4 decline.

5 So with that, we can move onto the next
6 slide, where I discuss some of the other major
7 uncertainty areas within the model. So this is
8 really to provide a sense that, you know, we
9 generally, within our reports, we're looking at a
10 more major macro area-type parameters that are
11 influencing the model. The ones that we don't
12 typically look at for our (indiscernible) reports
13 are these ones, in terms of flexing certain
14 scenario parameters, but we've definitely done
15 that before.

16 And this just gives you a sense of what
17 particular parameters are affecting what
18 components of the model conceptually, and in real
19 life. So Federal Tax Credits, they impact the
20 total cost of ownership for the vehicle. If you
21 were to remove that, the sensitivity to that
22 particular variable, it would be very high. I
23 mean, you'd significantly impact the market in
24 the near term. But the deviation from what we
25 have built into our forecast is very low. It's

1 not -- we don't see that as likely to go away.
2 But -- and that's just an example for all the
3 rest to follow.

4 Some national stakeholder interventions
5 are inclusive of everything from utility
6 incentive programs to state subsidy in the same
7 programs, local government incentive programs,
8 the Electric Buy America Program. At the time
9 this report was being developed, EBA hadn't been
10 really produced yet or put together. So when the
11 update to this report comes out, the impact of
12 EBA will be integrated into the update.

13 Let's see here, so we can see some of the
14 other components. There is one thing I should
15 touch on here, is automaker support and vehicle
16 availability timeline. That's an area of very
17 high uncertainty. We get a lot of different
18 feedback coming in about product development
19 timelines and deployment dates and where vehicles
20 are being deployed. So generally, we try and hit
21 the mark with timelines, but that is highly
22 proprietary data that doesn't usually come out
23 exactly how we hope it would.

24 In terms -- and I guess this is an
25 important area for me to point out now, and I'll

1 probably touch on it later again, but in terms of
2 how that relative competitive valley that I was
3 speaking to earlier is influencing model outputs
4 is the relative competitive value aligns with the
5 average figure for sales per model. So if you
6 have a high relative competitive value, meaning
7 you have a very competitive vehicle based off of
8 its TCO, it's total customer ownership, then
9 you're going to see higher than average vehicles
10 sold per model put into the market.

11 And that's where the vehicle availability
12 component becomes very important. Because if we
13 have a very high relative competitive value for a
14 particular technology but there's no technology
15 in the market, then -- and we say that there is
16 going to be, then our forecast can be off by a
17 substantial amount. So it's an important area to
18 point out here in terms of uncertainty.

19 And the last one I'll speak to here is
20 the uncertainty of automated vehicle systems and
21 how they might impact the overall transportation
22 system. This report is really at the end of a
23 series of models that are looking at how various
24 transportation technologies are impacting the
25 market, or will impact the market when they are

1 adopted. And so looking out past 2025, you know,
2 and longer, into 2035 and 2050, we can assume
3 that some form of automation is going to be
4 impacting the transportation sector. And in that
5 capacity, we need to develop a way in which we
6 can understand how it's going to impact the
7 market and either improve the conditions for
8 certain types of powertrain and fuel combinations
9 or not.

10 And we can go to the next slide.

11 So this is our forecast for the next ten
12 years, well, next nine years, I guess, now, on
13 the plugin electric vehicle market in North
14 America. Our motto is it's demand driven and
15 it's supply driven. There is that demand point
16 where we're assessing the relative competitive
17 value of each powertrain fuel combination. But
18 there's also the supply component which is that
19 of vehicle availability. And the vehicle
20 availability component is being driven not just
21 by the automaker announcements that we see coming
22 to the market, but it's also being driven by fuel
23 efficiency standards and the ZEV Program.

24 So we are doing assessment of where the
25 market needs to be at, at 2025, in terms of

1 volume for automakers to be compliant, and within
2 their range because there is a range by which
3 automakers can be compliant in terms of strategy.
4 It can be a certain amount of plugin vehicles and
5 a certain amount of hybrids and whatnot. And
6 from that point we have a number of models that
7 we're predicting come into the market past the
8 near-term projection that we have, which is
9 usually three to four to five years, because for
10 the (indiscernible), unless you know about
11 automaker strategy.

12 So that helps us get an idea for where
13 automakers will be in 2025, is looking at those
14 particular supply-side drivers. And by that --
15 by 2025, we're predicting market share for
16 planned vehicles at around seven percent of the
17 United States market.

18 And, yeah, with that, I can move on to
19 the next slide.

20 So Aniss was discussing earlier about the
21 way this model is working in terms of
22 conceptualization. This provides a little bit of
23 an overview regarding our high-level approach to
24 the market in terms of the total cost of
25 ownership. Now that's seasons with the relative

1 competitive value.

2 This is our state disaggregation method.
3 There was another disaggregation that we do for
4 sub-state of sub-province populations. But at
5 the state level, we're kind of operating on the
6 same principle in that we are trying to determine
7 the total cost of ownership at the state level.

8 So we've done it at the national level,
9 and now we're doing it at the state level to try
10 to desegregate what our national picture looks
11 like when we chop it up into all its component
12 parts. And that gives us an assessment of what
13 the market share is likely to be in each state,
14 based off of the particular sub-national
15 interventions that are happening at the state
16 levels, the unique aspects going on the market
17 concerning vehicle preferences, the demographics
18 of the market, infrastructure development within
19 the market.

20 As you can see within this influence
21 diagram, there is a feedback that is created
22 between the state PEV population and the
23 infrastructure. And that goes back into what I
24 was talking about in regards to how we factor in
25 infrastructure as an agnostic component for all

1 powertrain fuel combinations in that the -- all
2 these fuel combinations basically get a penalty
3 for not having a really competitive
4 infrastructure field. But the infrastructure is
5 also driven by the plugin -- by the alternative
6 fuel population. And as you have an emerging
7 population, you have a better business case for
8 that infrastructure. And you create a loop over
9 time where one influences the other.

10 And so what we're seeing in this model is
11 that as plugin vehicles come to certain markets,
12 then make the business case in those markets
13 better over time, and therefore attract more and
14 more sales. And that's just something I wanted
15 to point out here is that's one of the components
16 to our model that is one of the reasons we see
17 California becoming a very strong plugin electric
18 vehicle market in the future.

19 So something I would like to point out
20 about California particularly, we have done a
21 number of surveys on the national market. And in
22 comparing the surveys that we get back, we have
23 found, typically, that California responses show
24 that consumers typically have low vehicle
25 capability requirements. That means they are

1 more willing to purchase a vehicle at the lower
2 vehicle range in terms of battery-electric
3 vehicle, and they're less concerned about other
4 vehicle capability requirements, like all-wheel
5 drive, they're less concerned about battery
6 reliability, whereas other portions -- whereas
7 other regions in the United States are more
8 concerned about those, significantly more
9 concerned about those aspects of vehicle
10 ownership than in California.

11 There are other attributes to the
12 California population that also would precipitate
13 that they would be interested in plugin electric
14 vehicles rather than other options, besides the
15 fact that they often say more than other pops
16 that they are interested in plugin electric
17 vehicles, which is a question we do ask on our
18 survey.

19 But besides all these points, there's
20 also the aspect that California has typically had
21 aggressive stakeholder interventions. And these
22 should be noted because they do contribute to
23 that feedback, that positive feedback loop. And
24 the component of the analysis that is also
25 important to note is that the federal purchase

1 incentive phases out based off an OEM volume cap.
2 And as you create more positive conditions for
3 one state, that state is more likely to attract
4 more of those federal purchase tax credits over
5 the forecast period.

6 And that increases the benefits to the
7 state at the expense of other states. Because we
8 have a Supply Forecast, that state becomes, in
9 terms of the feedback loop, fairly strong in
10 terms of attracting sales into the future
11 because, for one, it's diminished the
12 infrastructure penalty factor than some other
13 states that have a smaller population and that
14 can't really sustain strong growth for that state
15 in terms of getting rid of that penalty based off
16 of the PEV population along.

17 So it's just one more thing to note in
18 terms of what's going on in our model and some of
19 the forces that we've seen over time that are
20 important to point out.

21 So we can move to the next slide.

22 So lastly, this is the overall forecast
23 that we have presented in this iteration of the
24 Electric Vehicle Geographic Forecast, which in
25 our basic condition puts the plugin electric

1 vehicle penetration rate at roughly 30 percent in
2 2025. And that is beating ZEV, as we all know.
3 You'll see a lot of the penetration, the
4 increasing penetration, coming in the next two
5 years, 2017 being a year of significant
6 improvement, and then 2018 being a year of --

7 MS. RAITT: We lost you, so hang on just
8 one second here. What's happening? Okay. So,
9 Scott, are you still there? We can't hear you
10 anymore.

11 CHAIR WEISENMILLER: Okay. So just on
12 logistics that you're --

13 MS. RAITT: Uh-huh.

14 CHAIR WEISENMILLER: -- as we try to deal
15 with this part, we're running late, as you
16 probably noticed. We had hoped to cover the PV
17 issue before lunch. Obviously, this is an
18 important issue. So I thought it would be better
19 to come back fresh after lunch, than to try to
20 squeeze it in, frankly. So just so you get a
21 sense that, yeah, you can take a break at this
22 point. A lot of people appear to jump up
23 instantly.

24 And my presumption is that we can or
25 should be able to compress a little bit the

1 comparison part later this afternoon. Obviously,
2 it's very important, you know, how this stuff is
3 allocated among utilities and, as we all know,
4 even within the utilities. But I think we can
5 make that a little simpler, because I suspect the
6 utilities need more time to dig in to what's
7 going on here. And I think it would be better to
8 give, again, full attention on the PV issue, you
9 know, a less crazy fashion than saying it's now
10 12:15, let's start and see how fast we can get
11 through it or, you know, or how late we're going
12 to run. And I've checked with both my
13 colleagues, they seem to be happy.

14 So anyway, hopefully we're back soon on
15 this.

16 MS. RAITT: Okay. I'm sorry, it sounds
17 like we're just going to have to be cut off on
18 this presentation. I'm sorry, Scott.

19 CHAIR WEISENMILLER: Well, that's good.
20 You know, again, it's certainly been helpful to
21 have this, you know, different perspective. It
22 certainly raises some of the basic questions
23 we've been struggling with by a simpler model.
24 But again, you know, hopefully we'll have the
25 reports filed on the record. And if he could --

1 I certainly encourage him to provide any written
2 comments he wants to, although I suspect it's
3 going to be more, here's my report --

4 MS. RAITT: Uh-huh.

5 CHAIR WEISENMILLER: -- which is fine.

6 So let's --

7 MS. RAITT: Let's have a break and come
8 back at one o'clock --

9 CHAIR WEISENMILLER: Yeah. Exactly.

10 MS. RAITT: -- to talk about DG then.

11 CHAIR WEISENMILLER: Right. Okay.

12 Thanks.

13 MS. RAITT: Thank you very much.

14 (Off the record at 12:05 p.m.)

15 (On the record at 1:05 p.m.)

16 MS. RAITT: Here we go. So we have Asish
17 to talk about Self-Generation. Thanks.

18 *MR. GAUTAM: Good afternoon,
19 Commissioners, members of the public. Kind of
20 empty today. My name is Asish Gautam. I'll be
21 going over the Private Supply Forecast for this
22 IEPR. First, just a quick outline of my
23 presentation.

24 I'm going to give a little bit of
25 background info for this IEPR Preliminary

1 Forecast, and then I'll give an overview of the
2 data and the methods and some of the changes
3 we've made for this Preliminary Forecast.

4 And then I'll present the statewide
5 results and then some of the next steps and take
6 questions after that. So a lot of the changes we
7 made for this Preliminary Forecast is due to some
8 of the issues we faced trying to finalize the
9 forecast in the 2015 IEPR.

10 Some of the issues we were struggling
11 with back then was the possible changes to the
12 NEM Program by PUC, and the possible expiration
13 of the federal tax credit. And when we finalized
14 the forecast back then we made some conservative
15 assumptions on these two topics.

16 And of course, the PUC largely left the
17 NEM Program unchanged and made some modest
18 reforms, and then the tax credit was extended.
19 And so our forecast became very conservative in
20 outlook. And then in the 2016 IEPR we brought
21 together forecasters from the utility, the
22 National Labs, to talk about how they prepare
23 forecasts for DG adoption.

24 And then we also explored the whole idea
25 of the peak shift phenomenon. So let's see. So

1 here's the list of the different data sources
2 that we've relied on to prepare the Preliminary
3 Forecasts for DG this IEPR.

4 The first three gives us the install
5 capacity for PV, and then there's also solar hot
6 water. And then the last source gives us
7 generation data, both onsite and export for large
8 co-gen plants that we're including in our
9 forecast.

10 So for this forecast our base year, our
11 last historic year is 2015. And so at the end of
12 2015 we have about 7,000 megawatts of PV and CHP.
13 PV was just roughly under 4,000 megawatts. We
14 estimated total generation to be about 19,000
15 gigawatt hours.

16 So our PV makes 50 percent of the
17 installed capacity. It's about one-third of the
18 energy impact. The reason for that is the co-gen
19 plants operate on much higher capacity factors.
20 So they account for more of the energy.

21 There's roughly about an equal split
22 between Northern California and Southern
23 California when it comes to the PV install
24 capacity; about two-thirds of the PV capacity
25 install in the residential sector, about a third

1 in the commercial building sector, and then the
2 other sectors, like ag and industrial.

3 Let's see. Some of the other changes
4 that we've noticed since the 2015 and '16 IEPRs
5 has to do with the large, national installers
6 have kind of exited the market. And then also,
7 with the decline in PV cost there's been a trend
8 away from solar leases to more customer-owned
9 systems. Okay.

10 So next, I'm going to give a little
11 overview on the forecasting approach. Again, the
12 approach we take is to look at customer response
13 to a cost-benefit or economic indicators such as
14 payback period. For this forecast we're also
15 experimenting with a different metric called bill
16 savings, and I'll talk about that a little bit
17 later.

18 And then we use -- apply a Bass Diffusion
19 Curve to trace out the additions over time. It's
20 kind of a workhorse for us in regards of
21 estimating future adoption. There are other
22 entities that also used a similar kind of
23 framework.

24 And we had three demand scenarios with
25 varying levels of housing stock, growth in floor

1 space and growth in retail rates. And so we have
2 some differences about scenario. Some of the
3 changes that we made for this IEPR Forecast are
4 mainly in the residential sector.

5 We've incorporated TOU rates and periods
6 just for the IOUs and SMUD. The reason we
7 focused on the IOUs and SMUD is because we
8 actually have some load research data that we can
9 use to apply the TOU rates and periods.

10 For the other POUs we're focused on using
11 the annual average sector rates that's been
12 prepared for this IEPR. We've also segregated
13 usage by different consumption buckets so that we
14 have low, medium and high-usage customers.

15 In prior IEPRs we only had one single
16 profile for a climate zone. So we tried to
17 expand on that with this IEPR. Let's see. One
18 of the things that we noticed is that for this,
19 the TOU rates that we have seen so far, the peak
20 periods that move later in the evening, and so
21 there is some reduction in bill savings.

22 Let's see. So most of -- I believe most
23 of the peak period starts between 4:00 to 9:00
24 p.m. So it's not as coincident with the PV
25 generation. Again, so when we followed up with -

1 - mainly with NREL from the last 2016 IEPR
2 regarding how they approach forecasting for PV
3 adoption, they did a survey and they found that
4 bill savings was a better predictor of
5 willingness to adopt solar.

6 And so we have reached out to them about
7 some of the data and methods and they've offered
8 some assistance to us in implementing their
9 approach into this IEPR Forecast. And so for
10 this IEPR Forecast, again, we're using monthly
11 bill savings for IOUs and SMUD, and then we have
12 an updated payback curve for the other utilities.

13 And then we didn't have a whole lot of
14 updates from the commercial sector, but we did
15 update our payback curve. So for a given payback
16 we now have more adoption related to the payback
17 curve we were using in prior IEPRs.

18 And this is based on an analysis that in
19 the PUC's NEM tool that they had retained E3 for.
20 So that's where we use it. One other change that
21 we did make for this IEPR -- and there's always a
22 call for more geographic disaggregation. And
23 you've heard from Chris about the limits we have
24 because of our econ demo data and other issues.

25 One thing we tried to do for this

1 forecast was to kind of pull out the POU's that
2 get aggregated into the IOU planning areas. So
3 the main reason for doing that was to have a more
4 -- basically having a service area forecast,
5 basically.

6 But we have reached some data issues,
7 because a lot of the POU's that we have broken out
8 don't have comparable load research data or were
9 not in our last RASS or CEUS survey, and so we
10 were kind of borrowing results based on the
11 climate zone that they're in as a placeholder for
12 this IEPR.

13 And depending on how future surveys and
14 the database go forward, if we can get better
15 data to characterize usage for those POU's that it
16 would help improve our estimates there. And then
17 let's see.

18 We spent some time on working on a data
19 storage model, but this is -- we're not able to
20 finish it in time for the Preliminary Forecast.
21 I'm just going to give a quick overview of where
22 we have gone with this.

23 So we're targeting three different
24 segments. There's the standalone storage,
25 storage for new customers paired with PV system

1 and not -- and then we're also trying to look at
2 how all the adopters of PV systems may also be
3 looking to adopting a storage system, as well.

4 There's a little bit on system sizing
5 here. We really saw this coming out of the PUC
6 SGIP data about a five-kilowatt and three-hour
7 duration, some simple assumptions on round-trip
8 efficiency and cost trends from the SGIP data.

9 Some preliminary findings just right now,
10 standalone storage is -- has a limited potential
11 because the peak to off peak ratios are not
12 enough to incentivize standalone storage, but
13 storage with PV happens to have the most
14 promising potential.

15 For our setup we're looking at maximizing
16 the -- or disbursing consumption from PV before
17 charging up the battery storage system and trying
18 to limit the exports. And then the discharge is
19 based off the TOU rates.

20 Again, this is still an ongoing effort.
21 And then we started a little bit on the -- for
22 the commercial sector, but we haven't made as
23 much progress. For there, we're looking to
24 displace demand charge -- or save on demand
25 charges.

1 Again, some other updates regarding NEM.
2 We presented in the February Methods and Data
3 Workshop about how we will come up with some
4 options and present it to the DAWG and to our
5 Joint Steering Committee.

6 So here are the three options we have.
7 For the low demand we're assuming that the
8 current NEM Program stays as is in the forecast
9 period. In the mid demand we assume that your
10 exports will be only credited at 10 cents a
11 kilowatt hour.

12 The high demand is the same as the mid,
13 but we added a \$3 kilowatt charge, based on the
14 capacity of your PV system. And we didn't find
15 much opposition to our proposal in the DAWG or
16 the JASC. And just given the uncertainty
17 surrounding how NEM may change in 2019 due to
18 maybe incorporating locational benefits and
19 whatnot from the DRP.

20 So this seemed to be kind of a --
21 something that people are okay with for now. And
22 then depending on how things go forward in
23 future, PUC proceedings may have to kind of
24 revisit that in the future IEPRs.

25 Oh, and yeah, we also updated assumptions

1 on the federal tax credit, which has been
2 extended till 2021 and has a kind of a step-down.
3 So first, we're going to present results for the
4 statewide PV energy. So we see PV -- the
5 estimated energy growing from 6200 gigawatt hours
6 to between 29 to 35,000 gigawatt hours.

7 All three scenarios are substantially
8 above the mid case from the 2016 IEPR. The
9 differences among the scenarios are basically
10 coming -- well, there are econ, demo and rate
11 differences, but mainly, it's due to the
12 assumptions surrounding NEM.

13 And then we also have much faster growth,
14 about 13 percent a year, in the mid case relative
15 to the -- 2016 mid case. And the next slide here
16 kind of shows that -- the install capacity
17 projections by the different planning areas.

18 You can see for the POUs we've found that
19 the updated payback curves that we're using gives
20 us very similar results, not similar, but very
21 close to each other. And so the econ demo
22 variables kind of dominate.

23 And so what happens is the -- we have
24 slightly more PV in the high demand scenario than
25 the low demand scenario. So it's kind of flipped

1 from the way we usually estimated results by the
2 scenario. And the underlying capacity in total
3 is about 17,200 megawatts to just under 21,000
4 megawatts.

5 About 70 to 78 percent of the capacity is
6 in the residential sector, and we also notice
7 substantial increase in additions in the more
8 inland forecast climate zones because of slightly
9 higher housing growth and commercial floor space.

10 One thing we noticed that, so when we do
11 the update for the revised forecast we'll change
12 our last history from 2015 to 2016. And what
13 this means is that we'll still show some year-to-
14 year growth, but we know for 2017, the first
15 quarter installations are down quite a bit.

16 There's been a number of explanations
17 offered. There were some weather-related issues
18 in the beginning of the year so that, you know,
19 that not enough installations were being done.
20 Another reason was that installers may be trying
21 to get more familiar with the TOU rates now that
22 PG&E San Diego and just recently Edison have gone
23 to the NEM 2.0, which requires customers to go
24 take service on the TOU rate.

25 One other reason is that when the large,

1 national installers exited the market their
2 impact is more felt now because they accounted
3 for a lot more of the installations.

4 CHAIR WEISENMILLER: I think the other
5 thing, certainly, is at one -- when you look at
6 the data on installations it's very fragmented.

7 MR. GAUTAM: Yeah.

8 CHAIR WEISENMILLER: And at one point the
9 theory was for some of the people, like Solar
10 City, was you know, we're going to try to blast
11 forward now, get as much market share so we can
12 become dominant. And now, it seems like a lot of
13 them are dealing more with, oh, my gawd, cash
14 flow, you know, that, you know, the goal was to
15 survive, not to become the largest solar
16 installer.

17 And so there has been some retrenchment.
18 I'd be very curious to see the second quarter.

19 MR. GAUTAM: Yeah.

20 CHAIR WEISENMILLER: Or third quarter
21 numbers as you try to sort out the trends.

22 MR. GAUTAM: Yeah. So the PUC does have
23 results for their -- for the IOUs up to the June
24 of this year. And wherever you are right now is
25 about where we were for all of 2014. So I think

1 we touched on this early in the morning about,
2 you know, they may have been in kind of a rush to
3 get under the expiration of the tax credit and
4 maybe the changes in NEM, and that we may be
5 coming back to more, I mean, normal rate of
6 installations.

7 CHAIR WEISENMILLER: Exactly. I mean,
8 that's where we probably need to -- again, right
9 -- I mean, the reality, I remember we had a --
10 back in the biennial reports in the '80s we had
11 one where I think we kept missing the gas
12 forecast.

13 At some point it was just, I forget
14 whether we jammed it down or jammed it up, but
15 figuring whatever we were going to do it was
16 going to be, you know, flip it from too high to
17 too low.

18 MR. GAUTAM: Yeah.

19 CHAIR WEISENMILLER: And then correct
20 things. And so but yeah, I think there's at
21 least a theory on pulling forward, now you get
22 the markets -- all this uncertainty, you know.
23 So trying to smooth your way through it is not
24 easy.

25 MR. GAUTAM: Yeah. So --

1 CHAIR WEISENMILLER: But we're just
2 trying to get to the best we can, and I assume
3 the more -- better data we get going forward the
4 more points it gives you at least to try to
5 smooth through.

6 MR. GAUTAM: Yeah. Let's see. Here we
7 have the statewide non-PV results. I'm only
8 showing the mid cases, because our results for
9 the high and low tend to be very close because of
10 offsetting effects between them. For the co-gen
11 you may have smaller -- higher floor space, but
12 lower bill savings. So they kind of tend to
13 smooth things out.

14 We have a higher mid case in this
15 Preliminary Forecast because we have changed the
16 -- we have a higher forecast for energy storage
17 systems. And I'll show you in the next slide
18 here. Again, so we weren't able to finish our
19 forecasting tool for the energy storage systems.

20 What we're doing is simple trend analysis
21 for this type of -- for Preliminary Forecast.
22 We're expecting about 400 megawatts higher based
23 on recent trends in the SGIP data. You can see
24 in the early part of the forecast the mid case in
25 the 2016 IEPR is a little bit higher, and this

1 was mainly concentrated in Edison's service
2 territory.

3 And when we spoke with Edison's staff it
4 turned out that there were some data issues with
5 the SGIP data set that we used in the 2016 IEPR,
6 and that's been corrected for now. So that kind
7 of explains that, why we started a little bit
8 lower relative to the 2016 IEPR.

9 One of the things that we've been
10 struggling with storage is that it's a fairly
11 recent technology to hit the marketplace and so
12 we don't have that longer historical time series
13 to kind of do a forecast. So that's something
14 that will probably struggle for some IEPRs.

15 The other things that, taking some
16 lessons learned from under-forecasting PV in
17 prior IEPRs, we note that there's a lot of
18 interest in storage. There's been dramatic cost
19 reductions in storage. The PUC has revamped
20 their SGIP Program to fund about -- the total
21 funding is now dedicated to storage, about 80-85
22 percent of it.

23 And there were two other -- there was a
24 bill floating around in the Legislature, SB 700,
25 which would have created like an Energy Storage

1 Initiative modeled under the CSI Program, similar
2 to the PV. I don't believe it was signed into
3 law.

4 But again, there's a lot of strong policy
5 support for storage, and it's one of the things -
6 -

7 CHAIR WEISENMILLER: The reality, too, is
8 if you sold your PV to well-to-do, really,
9 adaptors, you've got a great client list to go
10 back and sell storage to. And so the -- you
11 know, again, you can -- the easier customers then
12 try to keep pushing along on some of the other
13 stuff.

14 But it is associated with net metering.
15 You know, depending on what happens on net -- you
16 know -- basically, in the NEM proceeding I think
17 it was -- Solar City was on one side of the issue
18 and Tesla was on the other, with the Tesla
19 Battery people saying, wait a minute, with net
20 metering why is anyone buying batteries. So but
21 I think you're going to see a healthy amount of
22 up sales.

23 MR. GAUTAM: Yeah.

24 CHAIR WEISENMILLER: Right.

25 MR. GAUTAM: Okay. For new construction,

1 this is really getting at what Chris had touched
2 on earlier about how to approach the 2019
3 Building Standards, where basically, the ZNE
4 option here. So we do do a forecast for new
5 construction, but the question is how to account
6 for a ZNE compliance scenario.

7 And as Chris had mentioned, we may try to
8 do a baseline forecast and incorporate the
9 additional PV into a managed forecast. One of
10 the things that has come out with our
11 conversations to the utilities is that our
12 forecastings for residential sector is primarily
13 focused on single-family homes.

14 There are some utilities that are
15 expecting more multi-family units to be built
16 than single-family. So we're going to have to
17 revisit how we treat multi-family and -- for the
18 revised forecast.

19 CHAIR WEISENMILLER: Yeah. The issue is
20 more complicated than even we've got to. One of
21 them is we've always assumed, Commissioner
22 McAllister and I, that we cannot require solar on
23 shaded roofs.

24 MR. GAUTAM: No.

25 CHAIR WEISENMILLER: For example. Now,

1 that gets to the question of how many shaded
2 roofs are there.

3 MR. GAUTAM: Yeah.

4 CHAIR WEISENMILLER: And but also the --
5 or just leave it as the Building Standards'
6 proposals are evolving now and not getting -- you
7 could certainly have follow up conversations with
8 the staff on it, but it's getting more
9 complicated.

10 MR. GAUTAM: Okay. Again, we'll be
11 working with the staff on efficiency and utility
12 stakeholders to -- probably in a DAWG setting to
13 try to kind of hash some of these things out.

14 COMMISSIONER MCALLISTER: I wanted to
15 just chime in on that. And you know, we had a
16 little bit of this conversation with Chris in the
17 morning, but certainly, you want, you know,
18 anything, you know, I can do to help facilitate
19 that conversation with staff and, you know, with
20 Efficiency Division.

21 And it's becoming increasingly important
22 to try to anticipate I think what's -- what may
23 or may not happen. I think the PUC is in a
24 position to inform this maybe more than we might
25 assume in this building, because they are

1 actually starting to think about, you know, their
2 2019 Rulemaking on time of use, on opt out time
3 of use for everybody.

4 That's going to go into the marketplace
5 and probably impact PV uptake. And also, the NEM
6 3.0, you know, they got to get to that. So I
7 think that the relative economy of solar in the
8 new construction, but -- certainly, but also,
9 just across the whole market is going to change
10 in ways we don't necessarily know right now. So
11 but it's going to happen early on in this
12 forecast period, right?

13 MR. GAUTAM: Yeah.

14 COMMISSIONER MCALLISTER: So I think we
15 kind of need to be prepared for that, and at
16 least incorporate that into the narrative. On
17 the new construction, yeah, I think the -- again,
18 we're having a very robust conversation now with
19 the PUC.

20 And so I think we need to, you know, make
21 sure that we're listening to them and trying to
22 anticipate what might happen. There's, you know,
23 this cautious conversation is definitely
24 gathering some steam in both conversations in
25 Title 24, and over in their future rule-making

1 topics.

2 MR. GAUTAM: Okay. So the next slide is
3 going to talk about some of the -- this makes it
4 easier -- talk a little bit about rate reform and
5 then the changes that, as we've seen, are an
6 important step, but you know, in the future rate
7 designs can take different dimensions.

8 Just going to think about, you know, we
9 have so much renewables it's more than possible
10 that our rates could reflect more wholesale
11 prices, and especially in the solar generation
12 hours that might not incentivize solar, but other
13 load modifiers could benefit, like EV charging,
14 battery storage charging.

15 And then Commissioner McAllister touched
16 on the NEM 3.0 decision about how locational and
17 system benefits could be incorporated. We also
18 paid attention to the Suniva and Solar World
19 trade case. The ITC has agreed to hear their
20 complaint back in May. From the *1:31:10 of rate
21 online is that if the plaintiffs get the ruling
22 they are looking for, then most of the impacts
23 may be felt more on the utility scale solar, and
24 maybe large commercial industrial solar and maybe
25 not as much in the residential and smaller

1 commercial, but that remains to be seen.

2 There's also the issue of the tax reform
3 moving nationally. So it's kind of hard to kind
4 of read right now, but I think the House plan has
5 a 20 percent -- going back to the 20 percent
6 marginal rates. So that could -- would impact
7 leases.

8 But again, we've already seen a shift
9 from leases to cash-owned systems. So I'm not
10 sure what -- how much more of an impact that may
11 be.

12 CHAIR WEISENMILLER: Also, solar is a
13 global market.

14 MR. GAUTAM: Yeah.

15 CHAIR WEISENMILLER: So China last year
16 put in 30 gigawatts. They're going to put in 30
17 gigawatts this year. So in terms of economies of
18 scale stuff --

19 MR. GAUTAM: Yeah.

20 CHAIR WEISENMILLER: -- you know, the
21 costs are coming down. Now, there are arguments,
22 in fact, President Picker and I got a letter
23 from, you know, the pro tem, saying that, you
24 know, again, there's a bunch of -- the question
25 is, do people buy a lot of solar between now and

1 when the tax credits go away.

2 And that encouraged us to encourage the
3 utilities, you know, this is more utility of
4 scale, but I'm sure, as you know, the PV panels
5 can go on the roofs, they can go utility of scale
6 and there's probably going to be, again, some
7 degree of real -- depending on what happens on
8 tax credit reform, could be a real push on how do
9 you get the stuff out the door.

10 MR. GAUTAM: Yeah.

11 CHAIR WEISENMILLER: You know, between
12 now and that point in time. And again, this
13 weird jump up and then step down.

14 MR. GAUTAM: Yeah.

15 CHAIR WEISENMILLER: Afterwards.

16 MR. GAUTAM: Yes. And then the third
17 bullet about transition, just trying to get is
18 there's been a lot that's been said about, you
19 know, with the increasing competitiveness of the
20 EG, what are we seeing, how do we see things like
21 retail trace happening, moving forward in
22 California.

23 A few months ago the CEC and the other
24 agencies had a workshop on this very topic about
25 how there's an interest by local communities to

1 care about where they get their energy from, and
2 depending on how some of these policies go
3 forward there could be greater incentivizing and
4 more DG adoption.

5 Especially, there's been more focus on
6 the disadvantaged communities. And then so it's
7 depending on how -- what kind of funding
8 opportunities have been identified. So I think
9 there's some Cap and Trade type funding to be
10 allocated to this area, but I think a lot of it
11 is kind of up in the air right now, because
12 there's a lot of -- in the various workshops that
13 we've had there's a lot of institutional type
14 issues like, you know, what do you do about
15 multi-family in terms of overcoming some of the
16 split incentive issues.

17 So then finally, I just want to leave
18 with some of the next steps. We'll be updating
19 our historical data for 2016, try to complete our
20 storage analysis, and then we'll be taking a look
21 at the comments that have been submitted for the
22 Preliminary Forecast to try to incorporate it
23 into the advance forecast.

24 And then we're also kicking off a project
25 with NREL to prepare for the 2018 and '19 IEPRs.

1 They have developed some sophisticated modeling
2 tools that we hope to incorporate and we think
3 this will help better serve our stakeholders
4 longer term.

5 Other issues. So there is a rulemaking
6 effort to collect more interconnection data. I
7 think the rule-making was filed with the overall
8 real soon. So the comment period might have
9 started already. We'll be coordinating with
10 stakeholders in other venues and how the demand
11 forecast is used, like the DRP and the IRP and
12 whatnot.

13 We're also trying to coordinate more
14 internally, especially with our EPIC staff,
15 because they have released a number of
16 solicitations about important forecasting of, for
17 example, solar generation profiles, micro grids
18 and whatnot.

19 So we're very interested in their
20 findings and seeing ultimately how we can
21 incorporate back into the demand forecasts. I
22 think that was it for me -- oh.

23 CHAIR WEISENMILLER: Oh, okay. So a
24 couple basic questions. I mean, one of them is
25 the theme that emerges from your presentation,

1 and certainly our questions back and forth, is
2 there's an awful lot of uncertainty on the PUC
3 side.

4 MR. GAUTAM: Yeah.

5 CHAIR WEISENMILLER: You know, as you've
6 indicated, our base cases have been too low
7 historically. There's been some perturbations.
8 And all of us are scratching our head on NEM tax
9 credit and everything else.

10 So at least, how do we reflect in a range
11 of scenarios that uncertainty, you know, around
12 the base case? You thought about that much?

13 MR. GAUTAM: Well, I mean, the scenarios
14 that we have are more focused on longer term
15 economic drivers, so not as much on things that
16 would be unique to just PV or DG in general. To
17 be honest with you, it is difficult to even try
18 to think about what other factors can -- we can
19 incorporate to do a sensitivity.

20 I mean, we have the standard things like
21 retail rates, but we still can get -- have a
22 handle on how rate design can evolve. We had
23 just spoke earlier about how rate design could
24 include other elements, such as more a reflection
25 of wholesale prices, or maybe even moving away

1 from energy only to maybe demand charges, as
2 well.

3 So there are, you know, a number of
4 scenarios you can do, but to quantify the
5 uncertainty, but I'm still struggling with the
6 same issue on how do you isolate just the factors
7 that impact DG only, as apart from all the other
8 longer term drivers.

9 CHAIR WEISENMILLER: Just, I think, you
10 know, obviously, the expected case is what we're
11 going to use for planning.

12 MR. GAUTAM: Yeah.

13 CHAIR WEISENMILLER: But I think part of
14 -- if we can untangle some of the connection
15 between policy and the range and the
16 uncertainties, again, that's -- be helpful in the
17 policy context. I guess the other one is, in
18 terms of, you know, historic self-gen and co-gen,
19 you know, that's -- in terms of a scenario which
20 again, if anything, I am expecting not rapid
21 growth, but some degree of shrinkage. And the
22 question is, how well are we doing on picking up
23 the shrinkage there?

24 MR. GAUTAM: So it didn't make it into my
25 PowerPoint, but we did do a scenario, and I read

1 about for existing co-gen plants what happens if
2 some of these plants can't get a contract for
3 selling their exports back.

4 And so if plants cannot get -- so we
5 worked with the staff in our supply office to
6 develop some scenarios here. And so one of the
7 assumptions we made was that if co-gen --
8 existing co-gen plants, as their contracts come
9 up to expiration and they -- we assume they can't
10 get a contract -- new contract, then we can have
11 about a 50 percent reduction in the onsite
12 generation.

13 I can't recall off the top of my head
14 right now what that translates to capacity, but
15 it could be substantial.

16 CHAIR WEISENMILLER: Yeah. Well, no. I
17 know we're working on our tracking progress on
18 SGIP numbers and staff's bringing a lot into
19 this. It's not done yet, but basically just to
20 reflect that, you know, while we have pretty
21 aggressive goals for growth there, realistically,
22 it's shrinkage.

23 MR. GAUTAM: Yeah.

24 CHAIR WEISENMILLER: You know, certainly
25 that's something which again has to be captured

1 in the forecast of what the expected case is.

2 MR. GAUTAM: Yes. So for our expected
3 case for existing plants we assume that the level
4 of generation that we have in the base year, we
5 hold it flat. And the reason for that is because
6 the bulk of the co-gen plants are in the larger
7 industrial and mining sectors.

8 We don't try to forecast growth in there,
9 but we do try to do a forecast for smaller scale
10 co-gen, using the PUC's SGIP data as a source.
11 And now that you bring it up, there is an
12 interesting issue here regarding more
13 requirements for generation projects, and that
14 rebate program to start blending renewable gas.

15 And so it's one of the things we really
16 did not have time for this preliminary effort to
17 spend time on, but I think the way the PUC's
18 approach -- the Rebates Program is set up, I
19 think by 2020 you're supposed to be at about 100
20 percent renewable, some kind of 100 percent
21 renewable gas instead of natural gas. So there
22 could be a transition away from gas-fired --
23 natural gas-fired co-gen to digester gas or
24 something else like that. But that's --

25 CHAIR WEISENMILLER: Well, certainly, in

1 the renewable gas workshop we had people were
2 throwing around numbers like \$15 a million for
3 renewable gas, and not large quantities of it.
4 So it's going to be pretty hard to make the
5 economics, as well.

6 MR. GAUTAM: Yeah. Okay.

7 COMMISSIONER MCALLISTER: Yeah, just a
8 couple questions. I guess I'm wondering sort of
9 what's the latest on the quality of the
10 interconnection data you're getting. Seems like
11 that's kind of been an ongoing issue, mostly
12 resolved as of, you know, last couple years, I
13 think, but I just wanted to check in with you on
14 that.

15 MR. GAUTAM: Yeah. So right now we are
16 requesting monthly interconnection by ZIP Code
17 for the major sectors through the -- or IEPR
18 forms, but these -- what we collect is just
19 simple capacity and customer count.

20 We still have to rely on the PUC's and
21 the Commission data to tease out trans and
22 install costs, things like that. So the changes
23 that we submitted as part of our Rulemaking has a
24 much more expanded fields that's been added.

25 We will not collect some of the other

1 fields that we think we'd be interested in,
2 things like the cost and more system level
3 details, but it is kind of a decision to try to
4 treat outfalls -- try to get enough data that you
5 can do something with, and not try to burden the
6 filers too much, and it's still not clear to me
7 if the (indiscernible) of this data like the
8 system orientation total, things like that, so.

9 COMMISSIONER MCALLISTER: Yeah. So but
10 the PUC's interconnection database, is that
11 generally comprehensive in the IOU territories,
12 or is it -- you know -- is there a process that
13 guarantees that basically any interconnection
14 gets into that database?

15 MR. GAUTAM: So the PUC's interconnection
16 is limited to IOUs, which is the lion's share of
17 installations. From what I understand right now
18 is that their focus is on NEM PV, and so it does
19 exclude the non-export PV.

20 If I'm recalling correctly, it's probably
21 a difference about 400 or so megawatts. I'd have
22 to get back to you exactly what the total size is
23 for that segment.

24 COMMISSIONER MCALLISTER: But if it's
25 getting -- if a NEM installation goes in, in an

1 IOU territory you're pretty confident that it's
2 in that database, like if that's happening --

3 MR. GAUTAM: Well, we haven't had a
4 reason to suspect otherwise yet.

5 COMMISSIONER MCALLISTER: Yeah. Well,
6 no, I just -- well, it was just an issue, you
7 know, as the rebates expired there was no
8 automatic reason why that reporting would
9 continue to take place, and the PUC has made the
10 effort to have it continue, but I just kind of
11 was wanting to, you know, get a status report on
12 that.

13 I don't have any reason to assume that
14 it's not happening either. I just was sort of
15 curious.

16 MR. GAUTAM: Right. So there is a
17 difference between data collected in rebate
18 programs, then the rebates go away. But for
19 interconnection it's a pretty standard procedure
20 to, you know, request an interconnection
21 permission before you can even install your -- or
22 have it run.

23 COMMISSIONER MCALLISTER: Yeah.

24 MR. GAUTAM: So I think we have some
25 confidence that it should be capturing all the

1 installations in there.

2 COMMISSIONER MCALLISTER: Right. Okay.
3 Thanks. And then just curious about the market
4 itself for rooftop. Are there -- you know -- the
5 trends in terms of system size and things like
6 that, are you -- sort of what is that looking
7 like now?

8 And I just asked because, you know, the
9 Title 24 context, which is likely to be driving
10 PV on new construction to a great extent going
11 forward, you know, the required system sizes are
12 actually pretty small. And so just wondering how
13 you're taking all that into account and what the
14 system sizes you're working with are.

15 MR. GAUTAM: So if I'm recalling from the
16 data sets that we looked at, for residential it's
17 still the dominant size about five or so
18 kilowatts. There was an interesting report that
19 came out on GTM about how TOU rates may
20 incentivize larger system sizes to try to take
21 more generation in the later evening hours.

22 So you know, it's kind of up in the air
23 for getting how it may evolve going forward with
24 all these other changes in the play, in the mix.

25 COMMISSIONER MCALLISTER: Yeah, okay.

1 I'll stop there, I guess. The next couple of
2 years are going to be really interesting. I
3 mean, I think we're going to be able to have a
4 lot more detailed, or at least a lot more
5 informed conversation in 2019 as we sort of get
6 to the endpoint of some of these discussions. So
7 great. Thanks a lot for all the work.

8 MR. KAVALEC: I want to change the order
9 a little bit here, because our friends from
10 Edison have an early flight to catch. So I
11 wanted to go ahead and do the Edison
12 presentation, and then we'll go back to our
13 presentation on rates.

14 COMMISSIONER MCALLISTER: That sounds
15 fine.

16 MR. KAVALEC: Okay, our first utility
17 planning area today is Southern California
18 Edison. And some highlights on the inputs and
19 assumptions that went into the Edison forecast.

20 Population growth of around 0.7 percent
21 per year, which is a little bit lower than the
22 State average of around 0.8 percent.

23 Growth in number of households a little
24 bit higher. Per capita income growth of 1.86
25 percent per year which is also a little bit lower

1 than the State average.

2 A little bit lower than half a million
3 light-duty EVs in our forecast projected to be on
4 the road in the Edison territory in the mid case.
5 More than half of those are battery-electric
6 vehicles. The rest are plug-in hybrids. And
7 that gives us electric vehicle consumption of a
8 little over 2,000 gigawatt hours in 2028.

9 Behind-the-meter PV, installed capacity
10 of 6,300 megawatts in 2028. And as I mentioned
11 earlier, our EV and PV forecasts are lower than
12 Edison's, and they can talk about that a little
13 bit.

14 Then, load-modifying demand response
15 impacts of for Edison of a little bit less than
16 100 megawatts in 2028. Again, that's pricing
17 programs, like critical peak pricing, peak time
18 rebates, as well as permanent load shifting.

19 So, for a little change of pace, what I'm
20 going to show here is consumption and peak end
21 use load because those are the basic building
22 blocks of our forecast. Our sector models
23 forecast consumption and then we adjust that to
24 get to sales, and then net energy for load.

25 Then our peak model forecasts end use

1 load at peak, meaning the total end use load
2 regardless of generation source.

3 So, looking first at consumption, for
4 Southern California Edison, very close in terms
5 of the mid cases in terms of growth. And then
6 peak end use load. So, really, one of the
7 benefits of doing a preliminary forecast is that
8 you'll sometimes catch things that look suspect
9 that you want to look into more.

10 And in this case I'm a little leery of
11 this jump downward between 2016 and 2017 in the
12 Edison service territory for peak end use load.
13 It could just be that we had unusual low load
14 factors in 2016. Or, it could be there's an
15 issue with the model's scaling and calibration
16 routine. But anyway, this is something I want to
17 look into and fix, if it needs fixing, for the
18 revised forecast.

19 Okay, so we have a consumption forecast,
20 then we take self-generation energy amounts and
21 we subtract that to give us sales. And you'll
22 see the flatness of the sales for Southern
23 California Edison, average annual growth around
24 0.3 percent.

25 And then to get to our net peak, which is

1 the peak that has to be served by the utility, we
2 start out with the purple line, our peak end use
3 load that I showed you earlier. You add in line
4 losses. You go up to the green line, which we
5 call gross generation. And from that you
6 subtract off self-generation, as well as that
7 small amount of load-modifying demand response,
8 and you get to the net peak which, as you can
9 see, is flatter than the peak end use load
10 because of self-generation.

11 You will see this for all the planning
12 areas, residential consumption via electric
13 vehicles and plug loads is growing at the fastest
14 rate among the sectors, followed by commercial
15 and then industrial.

16 The commercial growth is relatively low
17 for Southern California Edison because the
18 forecast from Moody's, for commercial employment
19 is relatively low, and that's the main driver.

20 So, my second bullet there, with less
21 growth in commercial, Edison's consumption grows
22 slower than the State average in the mid case.

23 And the end-use load peak grows faster
24 than consumption because of this suspect drop
25 that I talked about earlier. And also because

1 residential is growing at a much faster rate than
2 the other sectors and residential tends to be
3 peakier, so that drives up the end-use load at
4 peak.

5 Okay, comparing our -- well that should
6 say Edison, obviously. Comparison of our mid
7 case with SCE, submitted for that IEPR. As I
8 mentioned earlier, Edison has much higher
9 electric vehicle and PV forecasts. But aside
10 from that, and taking into account that their
11 forecast incorporates uncommitted efficiency and
12 ours doesn't, our sales forecasts are very
13 similar.

14 The peak forecasts, as I also mentioned
15 earlier, are not directly comparable at this
16 point because Edison's talented analysts have
17 incorporated the peak shift, which hasn't been
18 included in our forecast, yet.

19 So, I will ask Hongyan, from Edison, for
20 comments or response? Does she want to come up
21 here?

22 We will have a quick presentation here in
23 a moment, when we load it on.

24 MS. SHENG: Well, while the file's being
25 loaded, let me just introduce myself. My name is

1 Hongyan Sheng. I'm the Manager of load
2 forecasting at Southern California Edison.

3 First of all, I'd like to thank
4 Commissioners for providing this opportunity to
5 make comments at the meeting. I'm very
6 enlightened to hear some of the comments you made
7 earlier on with regard to how we need to work
8 together to explore the potential for future PV
9 load growth. I'll be happy to stay engaged with
10 the CEC forecasting team and other stakeholders
11 to ensure that we get to a reasonable consensus
12 for you.

13 I'd also like to thank the CEC
14 forecasting Team, and Chris, for working really
15 collaboratively with SCE forecasting teams
16 throughout the IEPR forecast process. We not
17 only learned a lot from each other, but also I
18 understand much better as to how we may close
19 some of the gaps we're seeing in our forecasts
20 that we will show later on.

21 But, hopefully, by highlighting some of
22 the differences we see today and also
23 understanding what's driving those differences,
24 we can feel much more positively about how we can
25 narrow those gaps, you know, toward the final

1 forecast.

2 So, first I'd just like to highlight, at
3 a high level, the major areas that we see, you
4 know, in existing forecasts. One of the main
5 differences, as Chris highlighted, is right now
6 SCE's forecast and CEC's are not directly
7 comparable. Peak shifting drives significant
8 differences between our long-term peak demand
9 forecast. So, we have a slide that we'll put on
10 later to highlight how much we think the impact,
11 how much impact there is between the forecast,
12 what we consider the shift, in fact, compared to
13 the projecting without considering the peak
14 shifting fact. So that will, hopefully, give us
15 a sense of how much that will help reduce the
16 differences we see, you know, in existing peak
17 demand forecast.

18 So, as I mentioned, we see the
19 differences in our peak demand forecast, but we
20 think most of that will be addressed through the
21 peak hour shifting impact that I believe Chris
22 and his team work on to incorporate in the final
23 demand forecast.

24 Another area driving differences between
25 our forecast is coming from the future projected

1 EV load growth. And I think Navigant's provided
2 some high-level overview of the methodology that
3 SCE had relied on. But we'll provide specific
4 views on the number of differences.

5 Another of the areas that we identified
6 is solar PV. And this time the main drivers for
7 the differences not necessarily comes from the
8 modeling between CEC and SCE, but rather it's
9 really driven by our assumptions about future
10 expected compliance rates, in the nature of the
11 Title 24, which we view it's likely to a mandate
12 with high compliance rates.

13 And I think the CEC forecast, the
14 compliance rate assumption is much lower. So,
15 we'd like to provide some highlight around that.

16 CHAIR WEISENMILLER: I think actually,
17 yeah, that would be good. I think the things we
18 really want to know, you know, is one, the shaded
19 roof question.

20 MS. SHENG: Yes.

21 CHAIR WEISENMILLER: Number two, the
22 sizing of what you're assuming on the PV part and
23 compliance. All three could be differences.

24 MS. SHENG: Yeah. I think those are
25 totally valid questions. SCE would like to work

1 with CEC Efficiency Division, CEC forecasting
2 team to continue to refine those assumptions.

3 As far as to the shading limitation
4 requirement, we have looked into NREL's, the
5 National -- you know, the Renewable Lab. NREL's
6 recent latest study, basically the shading
7 requirement for solar roof installation has
8 reduced significantly. Meaning that we don't see
9 much constraint any more from the shading
10 requirement for the solar rooftop installations.

11 However, in terms of sizing, I think SCE
12 will need to continue to explore the proper
13 sizing assumptions to make for the future new
14 home, you know, construction. What's the right
15 sizing? Potentially, for multi-family, the
16 sizing requirement will be more limited compared
17 to a single-family.

18 So, I think currently SCE, you know, has
19 not really differentiated single-family versus
20 multi-family in terms of the potential sizing
21 differences in the requirement. But we would
22 like to work with the CEC team closely to make
23 sure that some consensus view in terms of what
24 are the proper sizing assumptions, essentially
25 differentiated by single-family and multi-family.

1 CHAIR WEISENMILLER: I think the other
2 thing we struggle with is from a different
3 proceeding is that generally, you know, low-
4 income -- SB 350 low-income barriers effort,
5 we've been told that, you know, there's very
6 little solar in rented housing. And so, trying
7 to figure out, again, what your split is for
8 rented space and how that affects -- obviously,
9 we're all trying to figure out ways to improve
10 that. But at least at this point, you know, for
11 low-income/rental that's not an area of high
12 solar penetration at this point. And difficult
13 to move forward in the future.

14 MS. SHENG: Yeah, definitely, I think
15 that's why I think when we look at the specific
16 details we would try to work closely with CEC
17 Efficiency Division, and also our SCE internal
18 ZNE experts to make sure that we line up with the
19 best assumptions.

20 So, the first slide here is really just
21 highlights and, hopefully, help us to understand
22 that by incorporating peak shifting impact it
23 could mean significant differences in our long-
24 term projection.

25 What we look at here is by 2028, the top

1 line reflects the SCE existing peak demand hour
2 work. The dashed green line, below that,
3 reflects our hypothetical peak demand projection
4 results, incorporating peak shift demand and peak
5 shift impact. So, the magnitude of impact could
6 be as much as 2,000 megawatts.

7 So, hopefully, when CEC gets incorporated
8 the peak shift impact in the final forecast, our
9 peak demand forecast gap will be much reduced.

10 The next slide shows, if we can go to our
11 load EV, electrical vehicle forecast. Here's the
12 number of vehicles we are looking at that we
13 expect to be on roads by 2028. SCE right now
14 forecasts significantly above CEC's current
15 project. We're looking at about 1.8 million
16 light-duty EVs on the road by 2028, compared to
17 CEC's about half-a-million or so, and there's a
18 big gap there.

19 But we also look at CARB's scenario
20 where, you know, CARB is looking at by 2030 we
21 see -- let me see, I think we have a backup slide
22 here. Eventually, we're looking at about 4
23 million or so EVs on the road by 2030 or so.

24 So, our longer-term trajectory gets
25 really close to CARB's scenario. However, SCE's

1 a high look of acceleration happening in the
2 early ten years, rather than the later part. And
3 we even see there's more upside risk to the very
4 longer term, beyond 2030, if the early
5 acceleration occurs there's more upside risk to
6 our current forecast for the longer term. You
7 know, potentially we could see more EVs on the
8 road.

9 So, in terms of how we are looking at the
10 confidence around our EV load forecast, we really
11 are -- you know, as Commissioner, you mentioned
12 about there's news coming every day, and it's
13 just fascinating. What we'd like to highlight
14 here is former areas of key barriers that we look
15 at for EV, electric vehicle adoption. And, you
16 know, day by day we keep monitoring the changes
17 as we got to, you know, how these barriers get
18 addressed.

19 And so, what we highlighted here is,
20 first, in terms of technology costs, really we're
21 seeing battery costs not only decline
22 significantly in the recent history, but continue
23 to decline based on the most vendor projections.

24 At the same time we, you know, look at
25 the strong incentives existing to date just

1 provide tremendous economic basis for customer
2 adoption.

3 Another key areas of barriers that we
4 look at is the infrastructure. As most of you
5 know, the utilities within California are making
6 significant commitment to expand the charging
7 infrastructure to help bring forward more
8 electric vehicle adoptions, and so that we can
9 achieve more clean air goals for the State.

10 And that is really ramping up. But,
11 potentially, we have a lag behind our EV growth.
12 Eventually, we see a strong feedback loop, you
13 know, from expanding infrastructure to push for
14 more adoption in the marketplace.

15 The recent Volkswagen settlement funds
16 will be utilized to help expand the
17 infrastructure, as well.

18 The third areas of barriers we look at
19 is, really, all the actions taken by
20 manufacturers, and all the nations across the
21 globe. We've just been hearing different, you
22 know, existing news every week, it seems like,
23 from the key car manufacturers about different
24 product offerings, and different (indiscernible)
25 in terms of limiting the (indiscernible) car

1 sales by a certain time.

2 It seems like, you know, there are
3 different driving forces to make -- you know, it
4 could actually be a goal, just like the vehicles
5 that we have today.

6 And then the last area I think which is
7 really, really key to the eventual electric
8 vehicle adoption is our consumer awareness. We
9 recognize there's a lot of funding that's
10 provided to target EV, including disadvantaged
11 communities, to raise consumer awareness about
12 electric vehicles. All the way up from top DOE
13 funding to the programs. All of those I believe
14 that will become also the additional vehicles for
15 facilitating our consumer adoptions in the
16 future.

17 So, as we look across all of these key
18 barriers, how they're being addressed, you know,
19 in the real world we're really feeling very
20 positive about the future accelerated EV
21 adoptions.

22 COMMISSIONER SCOTT: I want to highlight
23 what you have just said. And I think that the
24 discussions that are going to take place in the
25 Demand Analysis Working Group coming up will be

1 really important to make sure that this type of
2 information is something that everyone is
3 thinking about and considering. And I'll be
4 looking forward to seeing what's in the PG&E, and
5 SMUD, and SDG&E, and LADWP plans as well.

6 And what you're showing also, on the line
7 previously with the -- I think it was actually in
8 your -- oh, no, it's in this one, too. With the
9 scoping plan, also underscores the importance of
10 the discussion that the Joint Agency Steering
11 Committee will have in this space.

12 MS. SHENG: Thank you. I also feel
13 excited about your initiative about getting all
14 of the stakeholders together to help analyze for
15 the future potential EV load growth.

16 So, the last area I will highlight
17 quickly is with regard to the nature of zero net
18 energy compliance. We work closely with our
19 internal analyzing experts, who then work really
20 close with CEC Efficiency Division. In our view,
21 you know, we really see the strong -- the
22 upcoming implementation of the ZNE will push
23 strongly on the compliance part. From the CDs,
24 you know, I see really close.

25 And as well as, you know, the nature of

1 the compliance, basically our experts see that
2 it's very easy for any inspector to check on
3 whether there is a solar PV rooftop system
4 installed or not. So, different than other types
5 of compliance, we believe the solar rooftop
6 system requirement will be very easy for anybody
7 to check on.

8 So, in our view, the compliance rate will
9 be pretty high. And we also consider that from
10 technical potential perspective, both single-
11 family and multi-family would be able to meet the
12 roofing requirement for solar PV system
13 installations.

14 So, we have assumed not just, you know,
15 for single-family, but also for multi-family
16 starts in our territory for the longer term.
17 About 90 percent of them will have solar rooftop
18 systems.

19 So that drives mostly the difference
20 between SCE solar PV forecast and CEC's current
21 solar PV forecast. Meaning that SCE's forecast
22 is much higher for the longer term because we are
23 assuming much higher ZNE compliance rates. And
24 also, we are applying it to all of the housing
25 starts, including the multi-family starts. But

1 definitely, we have more work to do in terms of
2 refining our sizing, you know, assumptions and
3 other restrictions.

4 COMMISSIONER MCALLISTER: So on that
5 point, you know, again we had somewhat this
6 conversation at the statewide level, with Chris
7 earlier, and Asish.

8 But I guess in terms of where, you know,
9 at the actual regulation the Building Code is
10 going to land, I think, you know, please make
11 sure you're keeping in touch with the staff in
12 the Title 24, in both divisions, I think in the
13 Title 24 and in the forecasting team about that.

14 And multi-family I'd say, you know,
15 that's probably less certain just because there's
16 likely to be a hard requirement in that sector,
17 at least for this go around of the update of the
18 Building Standards.

19 And then, I think on our side -- so,
20 you've got a bunch of local governments down
21 there that are looking at requiring PV, or
22 they're focused on net zero or, you know, the
23 different versions of this. And so I think it
24 behooves us, on our side, to keep track of that.
25 So, if you can help us do that and sort of keep

1 track of the local governments that are pushing
2 the envelope on this, then I think we'll get the
3 local piece of this in alignment, as well.

4 MS. SHENG: Definitely. We've been
5 trying to engage with both the forecasting team
6 at CEC, and then we just brought some
7 conversation between our ZNE experts and the CEC
8 Efficiency Division. And, hopefully, we can rely
9 on both their expert judgment to help us shape up
10 the final assumptions.

11 So, that's the areas that I would like to
12 highlight at this time. You know, as we
13 highlighted here, I believe most of these major
14 area differences, as we understand what's driving
15 those differences we have a strong belief that we
16 can really bridge those gaps by working closely
17 with CEC forecasting staff and bring out the most
18 consensus assumption for the final forecast.

19 CHAIR WEISENMILLER: Thanks for coming up
20 today.

21 MS. SHENG: Thank you.

22 MS. RAITT: Thanks. So, I guess we'll go
23 back to Lynn Marshall to discuss electric rate
24 scenarios and an update on time of use analysis.

25 MS. MARSHALL: Okay, good afternoon. So,

1 I have two topics I'm covering today. An
2 overview of the preliminary rate forecasts, which
3 are an input into the energy demand sector models
4 and into the self-generation model. And then
5 I'll give an update on work in progress for
6 estimating time of use load impacts for the
7 revised forecast.

8 So, just a brief recap. So, in the
9 context of the electric rate forecast, we have
10 the high energy demand/low rate case, we have
11 natural gas and carbon prices, best investment in
12 infrastructure, and we have higher demand so that
13 the average distribution rate tends to be lower.

14 And then on the low energy demand case,
15 we have high natural gas and carbon prices and
16 more investment in infrastructure.

17 Okay. So, in addition to the staff
18 common case inputs, like the natural gas and the
19 carbon credit prices, some of the key inputs are
20 the utility-specific energy and capacity supply
21 information and the utility revenue requirement
22 projections. So, this rate forecast was prepared
23 back in April. Much of that data hadn't been
24 submitted, yet. So, for this preliminary rate
25 forecast I haven't been able to review and update

1 all of the revenue requirements.

2 Those data are all now filed, so for the
3 revised forecast I'll be going through all of the
4 different revenue requirement components,
5 including the new AAEE, using the new preliminary
6 demand forecast. And then, we'll have a natural
7 gas price forecast by then.

8 So, these are the high prices I used.
9 The mid-case, the starting point is lower.
10 However, we still have a significant ramp up.
11 So, in the mid-case I think it increases by
12 something like 80 percent by 2020.

13 In the high price case it doubles by
14 around 2019 to 2020. So, this forecast has a
15 significant ramp up on gas prices that's going to
16 affect the wholesale prices.

17 Now, the NAMGas team has continued to
18 work on their modeling and I've been told they're
19 expecting the revised gas prices to be lower
20 overall.

21 For incremental renewable purchases I
22 have updated PPA prices for wind and solar from
23 the staff Cost of Generation Model. So, they're
24 starting off at something like current costs.
25 And then, as the production tax credit and

1 investment tax credits are ramped down I see
2 prices going up.

3 So, those are used to value incremental
4 purchases that utilities need to meet their RPS
5 target.

6 Okay, the carbon allowance price forecast
7 I haven't changed since the February workshop,
8 but I did want to bring these up just to say I
9 looked at the language of AB 398 to see how that
10 will affect it. The most significant implication
11 would appear to be the addition of price
12 containment points. So, I think that's mostly, I
13 think, to affect a high price trajectory and not
14 necessarily the end point.

15 The Haas Institute actually has done a
16 working paper looking at that type of market
17 regime with the price containment points. And
18 their assessment was it actually lowers the
19 probability of reaching a price cap. So, we
20 won't be able to -- I don't think Air Resource
21 Board will have new, proposed rules in time for
22 this IEPR, but we'll follow that.

23 So putting those pieces together, I also
24 looked at implied heat rates of recent Cal-ISO
25 energy prices from 2016 and the early part of

1 2017. And it was in the neighborhood of 7,300
2 Btus per kilowatt hour. So, that's reflecting
3 all those hours when renewable are along the
4 margin and depressing prices. So, I used that as
5 the heat rate.

6 So, we have a lower overall set price
7 forecast compared to 2015 forecast, but actually
8 we've got a higher rate of increase by the end of
9 the forecast reflecting the gas prices.

10 So, putting that all together, at the
11 statewide level we have the mid-case residential
12 statewide rates. A slightly higher rate of
13 growth, 1.2 versus 1 percent, and kind of the
14 overall driving forces are the overall lower
15 level of sales which pushes rates up.

16 The transmission costs for jurisdictional
17 rates increase much faster in the recent years
18 than was assumed in that forecast, so I'll have
19 to reevaluate that for the revised forecast.

20 And then we have the rising wholesale
21 price and some increases in the renewable prices.

22 Similar factors on the commercial side.
23 A higher rate of growth, one and a half percent
24 versus 7/10ths of a percent in the CED 2015.

25 Okay. So, as we look at the IOUs we have

1 some various kinds of overarching factors and
2 then some utility-specific issues that I'll point
3 out. And as I said, a lot of the assumptions are
4 going to change for the revised forecast, so I'm
5 going to point out already that things are going
6 to be different.

7 So, in PG&E residential rates, in the
8 PG&E forecast we have Diablo retiring. I did not
9 make any assumptions about preferred renewables
10 to replace Diablo. Now, since then staff has
11 developed a set of common case assumptions for
12 how to handle the Diablo retirement. So, in the
13 revised forecast I'll be adding more energy
14 efficiency, and some wind, and geothermal, and
15 phasing those in around 2024. So, that
16 trajectory will look quite a bit different.

17 And then a similar story on the
18 commercial side. So we have 2.2 percent annual
19 growth rate in this forecast, so that should come
20 down quite a bit, and probably closer to the CED
21 update May case.

22 In the SCE area, so SCE has a number of
23 balancing accounts and some tax refunds that
24 they've been paying back to customers. And as
25 those get amortized, I think around 2017-18, then

1 that's causing that kind of spike up in rates.
2 And then we have a general rate case that's just
3 getting started with -- I think, the potential
4 implications on these capital expenditures are
5 pretty large there, so that's something we'll
6 look at. So, it kind of drives the range of the
7 high/low, in addition to the variation caused by
8 high and low sales.

9 So, you know, in the high demand we have
10 almost flat rates versus a 4 percent in the low
11 demand case.

12 And similar story on the commercial
13 sector.

14 So, San Diego, I'm wondering about this
15 jump up. They have a number of things going on.
16 They have a delayed general rate case, increased
17 -- pretty large increase in the transmission
18 rate. They also have this balancing account to
19 account for residential cross-subsidies. That's
20 called the Track. And so there was, in 2017, a
21 large increase in that component, so that hit the
22 residential sector pretty high.

23 That said, I think when I calibrate to
24 move to the 2016 historic year that 2017 .03 is
25 going to come down a little.

1 Commercial side, and I should point on
2 the commercial rate San Diego has the highest
3 percentage of direct access, so this is actually
4 a weighted average of IOU customers and direct
5 access customers. So, the trend looks a little
6 different there.

7 So, do you all have questions on the IOUs
8 or you want to wait?

9 CHAIR WEISENMILLER: I just want to
10 observe, I think they have been using the
11 constant IER, or 7,300. The one disadvantage of
12 it is we're adding more and more renewables all
13 the time, which is driving -- you know, or
14 increasing the efficiency of the grid, I guess,
15 which is driving the heat rate down, you know,
16 blah, blah, blah.

17 So, there are some forecasts that I've
18 seen, you know, and it would be good to sort of
19 see if, basically, anyone has a forecast out that
20 captures some of that effect, as opposed to just
21 holding it constant.

22 MS. MARSHALL: Yeah. Actually, PG&E has
23 a methodology where they use a regression
24 methodology to estimate prices of function of the
25 heat rate. So, that kind of approach I think is

1 worth looking at. I didn't have time to go down
2 that path for the IEPR but, yeah, I think that
3 would be a -- there's other methodologies we
4 could use to capture that effect, so we'll keep
5 looking at that.

6 Okay. So, LADWP, they're about the
7 second year of a five-year rate action. And,
8 actually, the rate increases, as implemented,
9 prove to be actually set lower than what they had
10 originally proposed.

11 And then beyond that, these are -- we're
12 using scenarios from their analysis that they did
13 as a part of that rate case. So, these have not
14 changed a whole lot from the previous forecast,
15 except to true up to the adjustments to the
16 actual rate actions.

17 And then, NCNC that's mostly SMUD. So,
18 they have on the residential side I think they
19 have a one and a half percent increase in 2018,
20 and then 2019 they're holding rates flat because
21 that's when they will transition residential
22 customers to time of use.

23 Then on the non-res side, there was two
24 years of a one percent only increase. And mostly
25 those rate increases are to fund, I think,

1 additional capital to support infrastructure
2 investment. So, that keeps their rate increases
3 pretty low.

4 All right, so I'm going to use on to time
5 of use, unless you want to have any more
6 questions on that.

7 Okay, so the PUC has approved rate
8 designs for the IOUs to use for the 2018 default
9 pilot. That's our best estimate of what the
10 actual default rates will look like in 2019.
11 Most of those are a 4:00 to 9:00 peak period. A
12 couple of them have three periods. They are
13 testing some other rates and, generally, the IOUs
14 are moving towards offering multiple optional
15 time of use rates. But what I'm modeling here at
16 the rates that customers are most likely to be
17 defaulted on, but there are other options for
18 customers.

19 SMUD, the SMUD board has also voted to
20 implement a standard, what they call time of day
21 rate, in 2019. And that will have a 5:00 to 8:00
22 peak period. So, they're on the same timeline as
23 the IOUs.

24 So, key assumptions for this. We had a
25 couple of meetings with the DAWG on this topic,

1 including CPUC staff. So, the assumptions I'm
2 using at this point, I'm starting with price
3 elasticities from the Statewide Pricing Pilot.

4 I'm actually using those unadjusted
5 elasticities for load modifiers to use in the
6 self-gen forecast, on the theory that -- so,
7 that's an opt-in study, reflecting customers who
8 are engaged and aware that they're on a time of
9 use rate. And people who are installing PV are
10 probably also engaged enough and aware to figure
11 out that they're on a time of use rate and how it
12 works. So, those are what I gave to Asish.

13 To prepare the default load impacts,
14 there's some useful insights that we've gotten,
15 that I've discussed with the DAWG on the results
16 of the current opt-in pilot. And then,
17 importantly, we need to reduce the load impacts
18 using the SPP elasticities to account for the
19 fact that default customers, you may have many of
20 them who pay no attention or don't care that
21 they're on a time of use rate.

22 So, in the SMUD pilot, the load impacts
23 were about -- the default customers were about
24 two-thirds of the opt-in customers.

25 And then a final assumption is what

1 percentage of the population is actually going to
2 be defaulted? SMUD is going to be almost
3 everybody, anybody who doesn't opt out.

4 But for the IOUs, they have some
5 statutory exclusions. The largest category there
6 is the requirement that there be 12-months of
7 quality interval data. So, the IOUs have
8 estimated when you put together all of the
9 excluded categories that may be 65 percent of
10 residential customers will be eligible to be
11 defaulted.

12 All right, and then another key
13 characteristic is in the rate design what's the
14 ratio of the peak to the off-peak price that
15 really drives demand responsiveness in the model?

16 So, we're starting off with the adopted
17 PUC rate designs. And keeping those constant in
18 the mid and the high demand case, and then in the
19 low demand case we're letting that peak to off-
20 peak differential increase. So, that drives
21 increasing responsive peak impact reductions over
22 time.

23 And then the other aspect we're varying
24 on the scenarios is kind of what I've labeled
25 here, the engagement adjustment that lets you

1 reduce load impacts to account for kind of the
2 unawareness or unengagement of default customers.

3 So, in the mid case I'm using the SMUD
4 result. And in the high demand we have higher
5 reduction to the load impacts. And in the low
6 demand/high engagement I have 10 percent lower
7 reduction. Okay.

8 Now, I have some kind of preliminary
9 snapshot of work in progress. In these cases I
10 haven't varied the number of participants, so
11 this is kind of a comparative static step here.
12 For the next DAWG meeting, I think I'll also do
13 some additional scenarios that vary the
14 participation rate.

15 And then the caveat that all of these
16 results will change when I use the preliminary
17 demand forecast and account for AAEE.

18 So, these are peak period impacts over
19 the peak period. So, this is the peak period is
20 4:00 to 9:00 and these are the average impacts
21 over that time period.

22 So, you can notice that for PG&E, much
23 lower level impacts than SCE. The PG&E, that
24 rate has a much lower peak to off-peak ratio than
25 the Edison rate. PG&E's around 1.3 and SCE is

1 about 1.8. Right, so that really you see a
2 difference in the results there.

3 SCE also has more cooling degrees days,
4 generally. So, on the SCE side you can see as
5 you increase the peak to off-peak ratio in that
6 low case it drives results up close to 250
7 megawatts.

8 These are average peak periods, so once I
9 have translated those to an hourly shape, you'll
10 get a higher -- the absolute impact will be
11 higher, okay.

12 So, then on the bottom row we have San
13 Diego and SMUD. And again, San Diego has a peak
14 to off-peak ratio of about 1.6. That's
15 relatively low for a time of use rate. SMUD's is
16 2.4. So, you can see the difference in impacts
17 there.

18 So, looking across months, and I've got
19 to put a couple caveats in here. So, I'm using
20 elasticities from the Statewide Pricing Pilot.
21 They only had one year of data for the non-summer
22 months. It was not that large of a sample. So,
23 these all need to be reevaluated once we get a
24 full year of load impacts from the ongoing
25 default. That will give us a real solid basis of

1 comparison for what the non-summer month load
2 impacts look like.

3 And also, that study didn't include any
4 three-period rates, so I'm using it to model
5 these three-period rates. How well, how
6 appropriate that is I'll be able to judge when we
7 get the next load impact result from the opt-in
8 pilot.

9 So, the other thing to notice about this
10 is this suggests that we have overall some energy
11 conservation going on. Right, the peak
12 reductions are much bigger than the off-peak
13 increases. The summer load impacts from the opt-
14 in study did suggest that we have conservation.
15 But again, we need to look at the whole year of
16 impacts before we can be certain of that.

17 The SMUD Pilot Study I think did not find
18 any conservation. It was all switching between
19 periods.

20 And then you can see, right, the load
21 impacts are really driven by cooling degree hours
22 and AC saturation so a much lower level of
23 reductions in those non-summer months.

24 So, for San Diego and SMUD, kind of
25 similar results. San Diego has a -- they both

1 have three period rates. And again, when I get
2 more results from the pilot study I can evaluate
3 how well this is modeling.

4 You know, in the San Diego, the San Diego
5 three period rate there's a rate just like this
6 in the Default Pilot Study. And economics would
7 suggest that people reduce in the mid-peak, but
8 that is not actually what they did. They
9 actually conserved. So, San Diego has a
10 relatively high mid-peak rate. You'd actually
11 expect some load reductions.

12 That's not actually what they did. So,
13 there's some counter intuitive things, so we'll
14 have to look at all of these together, and
15 discuss that with the DAWG to see what
16 assumptions we finally want to make for the final
17 set of forecasts.

18 So, next steps. So, as I mentioned, I'll
19 go through the -- I think that will come out in
20 August and September to look at the full year
21 load impacts in more detail, and then implement
22 the hourly load data that Chris will need for the
23 hourly forecast. And then, we'll be having
24 another workshop with DAWG to talk about the
25 specific assumptions we want to use.

1 So, any questions?

2 CHAIR WEISENMILLER: No. Thanks.

3 MS. MARSHALL: Okay.

4 MS. RAITT: Okay, so back to Chris
5 Kavalec to discuss Los Angeles Department of
6 Water and Power's forecast.

7 MR. KAVALEC: Okay, on to the remaining
8 planning areas' forecasts. This slide gives a
9 summary of the growth rates for the different
10 planning areas, the big five. Actually, for SMUD
11 the planning area is Northern California non-
12 CAISO, but we really don't have a representative
13 for that area to comment on the forecast.

14 So, we're presenting SMUD's forecast,
15 which is most of that planning area, anyway.

16 So, looking at the mid cases for sales
17 and peak, you'll see that the highest growth
18 rates come in the two POUs, LADWP and SMUD.

19 And the reason for that there are, in
20 relative terms there is less PV adoption. So
21 that's a reduction to sales and peak impacts
22 compared to the IOUs.

23 Also, because LADWP has, in relative
24 terms, a fairly high EV forecast for its size.
25 And SMUD has, among the five utilities here, has

1 the highest projected growth rate in population,
2 so that drives up its sales and net peak.

3 Okay, LADWP, population growth is the
4 lowest among the five planning areas. But per
5 capita income growth is the highest. And this is
6 something I want to check on with Moody's for the
7 revised forecast because this seems high to me,
8 compared to previous estimates. And LADWP, in
9 doing their forecast, is using a much lower rate
10 coming from UCLA. So, I want to check on this.

11 A couple hundred thousand light duty EVs
12 on the road in 2028, in the mid case. More than
13 half of which are battery/electric vehicles.
14 Leading to consumption of around 860 gigawatts in
15 2028 from electric vehicles.

16 PV installed capacity of 678 megawatts in
17 2028, in the mid case.

18 Consumption, you see that big difference
19 at the beginning of the forecast between the mid
20 case from 2016 and the new mid case, or all three
21 new cases. And that's coming from a correction
22 to the sales, the historical sales number. We
23 had a much higher number initially filed through
24 QFER, with us, but that number has since been
25 corrected downward. So, that's the reason for

1 the difference.

2 And again, peak end use load, a similar
3 growth in comparing the two mid cases. A little
4 bit higher in the new mid case and also a little
5 bit higher for consumption in the new mid case
6 because of the high income growth.

7 Again, adjusting our consumption to get
8 us down to sales by subtracting out self-
9 generation energy, and we're left with a sales
10 curve that's upward sloping for most of the
11 forecast period. Unlike what we'll see with the
12 IOUs and that's because of less, in relative
13 terms, self-generation affecting sales.

14 Going from our peak end use load, in
15 purple, adding in losses, giving us gross
16 generation. And then, subtracting off self-
17 generation at peak gives us the dark blue, with
18 triangles. And that's our net peak forecast for
19 LADWP.

20 And again, upwards sloping, unlike the
21 flat forecasts you'll see for the IOUs because of
22 less relative PV adoption.

23 Once again, the residential sector
24 leading the way in terms of consumption growth
25 via EVs and plug loads. Commercial second. And

1 then we have industrial flatter or declining.

2 Because of the relatively strong
3 commercial growth, relative to the other planning
4 areas, and relatively high EVs, as I mentioned
5 before, LADWP consumption grows faster than the
6 State average in the mid case.

7 The residential end use load at peak
8 grows more slowly than residential consumption.
9 So, total end use load at peak grows slower than
10 total consumption and that's because you have a
11 lot of EVs on the consumption side that don't
12 have much impact on peak.

13 Comparing our forecast with LA's,
14 submitted for the IEPR, LADWP has more EV
15 consumption and lower PV, although not by the
16 significant margins that we saw with Southern
17 California Edison.

18 Aside from this, there are really not
19 significant differences we could find in our
20 forecasts, both on the peak side and the sales
21 side. And plus, LADWP is in the midst of
22 developing their new forecast that we can compare
23 with when we do our revised forecast in the fall.

24 So, because we're so similar and because
25 LA's developing a new forecast, I don't know if

1 they have any comments. But I'll just ask if
2 Bingbing or Mike Cockayne are on the phone and
3 want to make some comments? And if so, please
4 raise your computer hand.

5 Okay. So, moving on to PG&E. Population
6 growth of almost 1 percent a year, a little bit
7 higher than the State average. Per capita income
8 growth of 2 percent a year, right on the State
9 average.

10 Among the planning areas, the highest
11 number of light-duty EVs on the road. Again,
12 more than half of which are battery/electric
13 vehicles. Giving us EV consumption of 2,400
14 gigawatt hours in 2028.

15 Behind the meter PV, 7,750 megawatts in
16 2028. And as mentioned before, we're a little
17 bit lower than PG&E on the PV side.

18 And load-modifying demand response of a
19 couple hundred megawatts by 2028.

20 We started off slightly lower than
21 looking at the mid case from 2016, in red,
22 because of the additional efficiency program
23 impacts at the beginning of the forecast period.
24 But after that growth is similar out to 2028,
25 between the two mid cases.

1 Peak end use load, again similar growth
2 out through 2028. So, we end up almost identical
3 to where we were in 2016 by the year 2027,
4 comparing the two mid cases.

5
6 Converting from consumption to sales,
7 again, we're subtracting off around 20,000
8 gigawatt hours of self-generation, of which
9 around 13,000 comes from PV. Giving us a
10 relatively flat sales line. A growth rate of
11 around .38 percent per year from 2016 to 2028 for
12 sales.

13 And then converting from a peak end use
14 load to net peak, we add in our line losses,
15 subtract off our self-generation, 4,300 megawatts
16 worth, of which more than half comes from PV.
17 Ending up with a relatively flat forecast for
18 peak demand through 2028.

19
20 Commercial, again, the same order, the
21 residential followed by commercial and
22 industrial. A relatively strong, both commercial
23 and residential growth. So, PG&E's consumption
24 grows faster than the State average.

25 And because residential is growing as a

1 share of total consumption, with its fast growth
2 rate, the end use load peak grows slightly faster
3 than consumption because it's becoming peakier.

4 Comparing our forecast with PG&E's,
5 submitted for the IEPR, PG&E has higher EV and PV
6 forecasts, although not to the same extent as we
7 saw with Edison.

8 Aside from this, and accounting for
9 committed versus uncommitted efficiency, PG&E has
10 a higher sales forecast, which we've narrowed
11 down to three things. Faster growth in the
12 industrial sector, faster growth in the Ag
13 sector. And these come from differences in the
14 way the models are specified that predict
15 industrial and agricultural growth, because I
16 think we're using basically the same input data
17 to do this. It's just a matter of how the models
18 are specified. So, we'll look into that some
19 more for the revised forecast.

20 And the way that efficiency is accounted
21 for, PG&E uses an econometric model. And it's
22 always a little bit subjective in determining how
23 much efficiency is already embedded in the
24 forecast. Because econometric models are
25 carrying out past trends.

1 So, I think because of the difference in
2 efficiency accounting between our modeling system
3 and what PG&E does, that accounts for some of the
4 differences in the sales forecast.

5 And as with the other IOUs, PG&E has
6 incorporated the peak shift and, therefore, we
7 can't at this time compare our peak forecasts
8 directly.

9 COMMISSIONER MCALLISTER: Chris, how
10 difficult is it going to be to sort of tease
11 those pieces out, like between now and the final?

12 Right, the EE you just talked about
13 strikes me as a little bit difficult to kind of
14 resolve.

15 MR. KAVALEC: Yeah. And so, first, I
16 need to get more familiar with their methods and
17 see how different they are.

18 COMMISSIONER MCALLISTER: Okay.

19 MR. KAVALEC: And maybe they have some
20 insights in the way they put their models
21 together that we can use or vice-versa. So, we
22 first have to sit down, and take a look, and
23 compare our differences and take it from there.

24 But these are relatively small sectors.
25 I think some adjustments can be made for the

1 revised forecast, if necessary.

2 So, I'll ask PG&E, now, did you want to
3 make any comments?

4 (Off-mic comment)

5 MR. KAVALEC: I'm sorry?

6 MR. WRAY: I'll follow up with written
7 comments.

8 MR. KAVALEC: Okay, thank you.

9 COMMISSIONER SCOTT: Should we just
10 repeat for the record that he asked the question,
11 and PG&E answered that they'll follow up with
12 written comments.

13 MR. KAVALEC: Okay, on to San Diego. The
14 population growth a little bit lower than the
15 State average, as well as per capita income
16 growth a little bit lower.

17 Around 130,000 light-duty EVs on the road
18 in 2028, according to our EV forecast. Of which
19 around 80,000 are battery/electric vehicles,
20 giving us EV consumption of 350 gigawatt hours by
21 2028.

22 PV installed capacity of 1,900 megawatts
23 in 2028, in the mid case, and some load-modifying
24 DR amounting to 27 megawatts in 2028.

25 In terms of consumption a major

1 difference between the two mid cases. Very close
2 in terms of growth over the forecast period.

3 Now, as I mentioned before with Edison,
4 this result here strikes me as a little strange
5 and needs further investigation. This kind of
6 big jump from 2016 to 2017, which pushes the new
7 mid above the old mid, as you see. Otherwise,
8 similar growth rates between the two mid cases
9 throughout the forecast period. But again, this
10 looks like something going on maybe with our peak
11 model that needs to be looked into further.

12 Moving from consumption to sales, giving
13 a relatively flat curve for sales. 4,400
14 gigawatts of total self-generation, about three-
15 quarters of which comes from PV.

16 Then taking our purple curve, adding in
17 losses to give us gross generation, then
18 subtracting off our self-generation, 1,000
19 megawatts worth, gives us our net peak curve.
20 Again, relatively flat for most of the forecast
21 period.

22 The same order for our three major
23 sectors, residential, followed by commercial and
24 industrial. Commercial growth relatively strong,
25 and as well as residential. So that San Diego's

1 consumption growth slightly faster than the State
2 average.

3 And this jump that we talked about
4 results in peak growing faster than consumption
5 in 2016, in the mid case. But again, as I said,
6 that jump needs to be investigated.

7 Comparing our forecast with San Diego's,
8 San Diego has a higher EV forecast, which is
9 actually, if I remember based on our 2016
10 forecast for EVs, so San Diego is haunting us
11 with our own higher forecast from last year.

12 But aside from EVs and PV, our sales
13 forecasts are very similar. And once again, San
14 Diego has incorporated the peak shift so we can't
15 directly compare peak forecasts at this point.

16 So, I'll ask San Diego for comments, and
17 I believe they have a presentation where they
18 want to show us the impacts of their peak shift
19 on their peak forecast.

20 MR. VONDER: Hello. I'm Tim Vonder,
21 SDG&E. I'm in the forecasting staff. I don't
22 have anything prepared to present. And like
23 Chris just said, the differences that we also
24 noticed between the two forecasts are in the area
25 of EVs and PVs. Other than that, we're pretty

1 similar.

2 With regard to EVs, we haven't had a
3 chance, yet, to really dig into both the Energy
4 Commission's forecast versus ours in detail to
5 really comment on a lot of the reasons for
6 differences.

7 But I can make two general observations
8 about the two. And that is, one, we have more
9 vehicles in our forecast than they do, which
10 we're aware of. By the time we get to 2028, it's
11 about a two-to-one ratio.

12 And I have to admit that updated our EV
13 car count up through 2016 with actuals, and then
14 we borrowed the growth rates from IEPR 2016 and
15 applied those to develop our car forecast for the
16 future.

17 We'd like to do a better job working with
18 the clean energy people in our own company to try
19 to get a better understanding of the market and
20 where it's going. And we are very much looking
21 forward to a DAWG working group. I think we can
22 come and contribute a little, but I think we can
23 go and really learn a lot. So, we're looking
24 forward to that very much.

25 I guess one other little thing I'd like

1 to mention about the data that I was able to
2 analyze, and that is on the use-per-car, and I
3 can't comment on the type of cars in there, and
4 the size of cars, but just the consumption on a
5 per-car-basis for CEC versus SDG&E, we're
6 slightly, like about 10 percent higher on the
7 annual usage for charging than CEC. So, it's not
8 much. The major difference between the two is
9 certainly the number of cars in the forecast.

10 So, Ken is going to -- Ken Schiermeyer is
11 Forecasting Manager, and he's done a rather
12 interesting analysis on peak shift and hourly
13 load, and he's going to make a presentation on
14 that. And I think you're going to find a new
15 graph in there that you've probably never seen
16 before. I haven't. And every time I look at it,
17 now, I have more questions. So, it's going to be
18 interesting.

19 CHAIR WEISENMILLER: Yeah, I was just
20 going to follow up on the one observation, which
21 is as we work through the ZEV forecast, an issue
22 certainly is going to be then the allocation
23 among the utilities. So, certainly looking
24 forward to your participation in the working
25 group and thinking about, you know, San Diego --

1 along with what's the total number of what's your
2 share versus Edison, versus, you know, et cetera.

3 MR. VONDER: Right.

4 CHAIR WEISENMILLER: Thanks.

5 MR. VONDER: That will be interesting.

6 Yeah, we're looking forward to it. Thanks.

7 COMMISSIONER MCALLISTER: Thank you, Tim.

8 MR. SCHIERMEYER: You know, again, this
9 is Ken Schiermeyer from San Diego Gas & Electric.
10 And there seems to be a difference between the
11 CEC and IOUs, so with regard to peak shifting in
12 the peak forecast, for us particularly.

13 So, I thought I would just kind of give
14 you an idea of what we're doing, in hopes of
15 sharing information and maybe bettering the
16 process.

17 You know, it's probably no secret that
18 there's been a number of recent trends that are
19 impacting system load shapes. You know, the two
20 that come to mind easily are rooftop solar, of
21 which at the end of 2016 we had 700 megawatts of
22 installed capacity. And up and coming are
23 electric vehicles, of which we had about 22,000
24 by the end of 2016.

25 And so, our challenge is with these

1 shifting load shapes the challenge is
2 incorporating those shifts in our peak forecast.
3 And so, as a solution we've revised our peak
4 forecast framework to try to incorporate some of
5 these shifts, and to also try to develop a
6 framework that might be able to handle new
7 technologies, you know, coming down the road.
8 For example, battery storage or TOU pricing.

9 So, here's an example of our recent peak
10 shift day. Just adding the solar back to the
11 system load shape, you know, shifting the peak to
12 later in the day by two hours.

13 In digging a little deeper, I think going
14 forward I think we're going to need to dig a
15 little deeper and see what's going on underneath
16 the load shape. So, the blue bars are the system
17 load shape. And I've included a red and green,
18 you know, by sector, for commercial and
19 industrial for red, and green for residential,
20 and the kind of goldish yellow is the solar
21 generation.

22 And I think we're going to have to keep
23 an eye on, you know, what's going on beneath the
24 system load shape when we analyze what's
25 happening with the system peak.

1 To give you some perspective about what
2 we did, historically we had a single-equation
3 model to estimate system peaks. And system
4 peaks, you know, were considered to be bend-up in
5 one time frame, you know, the 2:00 to 5:00
6 afternoon time period, in the August-September,
7 you know, time of year.

8 And so, we considered -- we didn't
9 consider which hour it occurred into, you know,
10 really, because they were similar enough that it
11 worked for this methodology, prior to the growth
12 in these new technologies.

13 That model included assumptions for
14 system peak weather, to create a one-in-two
15 scenario. It incorporated overall energy sales
16 trends and calendar information. It did take
17 into account PV, other non-PV self-serve load, EV
18 charging, demand response. We essentially added
19 them back to the peak. Forecasted that, and then
20 subtracted off what we thought the forecast for
21 those technologies was.

22 The problem was we had to pick an hour,
23 you know, for what we expected these technologies
24 to occur. So, if we picked a 3:00 peak, we had
25 to have the solar, the installed solar capacity

1 with the amount of generation that happened at
2 that time of the day. And so, that became
3 increasingly problematic.

4 Our revised framework, we moved to more
5 of an hourly peak model framework, and it matches
6 hourly loads with the PV generation, the self-
7 serve generation, the EV charging, the demand
8 response that happened in that hour.

9 It's similar to the single equation
10 except for we have one equation for each hour at
11 this point.

12 So, you can think of it as instead of
13 forecasting one peak for a 2:00 to 5:00
14 timeframe, we're essentially forecasting an
15 hourly peak for each hour in the peak day.

16 This allows the system peak to float on
17 the hour, by the hour, depending on the
18 technology that is impacting that peak. And, you
19 know, these are the technologies we're including
20 today.

21 So, if you have something, a new
22 technology that's going to happen in the future,
23 if you have a load shape associated with it, you
24 potentially could incorporate in this framework.

25 COMMISSIONER MCALLISTER: So, an example

1 would be helpful, sort of a concrete example to
2 kind of understand what this means.

3 MR. SCHIERMEYER: Okay.

4 COMMISSIONER MCALLISTER: But I mean, I
5 think I more or less get it. But I guess I'm
6 wondering, say, in energy efficiency, can an
7 hourly model -- you know, will this help you
8 understand the benefits of -- you know, the
9 relative benefits of different energy efficiency
10 technology, sort of depending on when you're
11 going to be used throughout the day, is that what
12 you're saying?

13 MR. SCHIERMEYER: Exactly. Yeah, so and
14 that is part of some of the challenges, you know.

15 COMMISSIONER MCALLISTER: HVAC versus
16 lighting, versus water heating?

17 MR. SCHIERMEYER: Yeah, getting really
18 good end-use information at an interval level.
19 You know, we have an upcoming load shape project
20 that really could benefit this, I think.

21 COMMISSIONER MCALLISTER: Yeah, because I
22 mean I'd like to know more sort of offline. You
23 know, not on this forecasting topic, actually,
24 but just on it generally. It would be
25 interesting to compare notes on those

1 methodologies for how to do that.

2 MR. SCHIERMEYER: Okay.

3 COMMISSIONER MCALLISTER: Because I think
4 this is an important issue for planning across
5 the board, not just for the forecast.

6 MR. SCHIERMEYER: I think so, too. I
7 think, you know, you could -- you know, in light
8 of everything that's happened, if you're
9 evaluating a new thing you could, say, depending
10 on the hour, you know, how valuable or how
11 impactful is it going to be.

12 COMMISSIONER MCALLISTER: Yeah, how is it
13 going to impact the ramp, you know, possibly.

14 MR. SCHIERMEYER: Exactly.

15 COMMISSIONER MCALLISTER: Right, I think
16 that's essentially what we're talking about.

17 MR. SCHIERMEYER: Yeah, yeah.

18 COMMISSIONER MCALLISTER: Okay, thanks.

19 MR. SCHIERMEYER: This graph, this is
20 what Tim was alluding to. This is -- I tried to
21 develop and I only did it for 3:00, 4:00, 5:00,
22 6:00 and 7:00. The load that happened on the
23 peak day by year.

24 And I think what it's showing is, you
25 know, in forecasting a lot of the times you

1 depend on the past to forecast the future. But I
2 think what this is showing is the past might be
3 different than the future. And so, switching to
4 an hourly framework I think will allow you to
5 handle this better.

6 But, you know, just at a high level --
7 it's hard to see, I'm sorry about this. But
8 there's a black line with markers on it, and
9 that's the system peak for the year. And, you
10 know, starting with 3:00, which is the red, it
11 really -- that's when our system peak used to
12 happen. And so, that red line was matching the
13 dark black line pretty closely until the peak
14 shifted to -- oh, I'm sorry, until we started to
15 see more and more installed solar, you know.

16 You know, as more solar was happening,
17 you know, the capacity factor's 68 percent. And
18 so, as you installed more and more, it knocks it
19 down even more.

20 Conversely, our peak last year was 6:00
21 and it was the latest system peak we've had so
22 far. And that's the blue line there. And in the
23 past it was lower than the system peak until the
24 peak got moved in later in the day due to
25 increasing amounts of solar. And that's now our

1 forecasted system peak time.

2 And even more interesting is you see a
3 yellow, kind of gold line, and that's 7:00 p.m.
4 And, you know, it starts off as the lowest but,
5 you know, by the end of the forecast it's closing
6 the gap.

7 And so to me, that tells me that even if
8 you increase the amount of solar, the capacity
9 factor's only 5 percent at that time. And if you
10 think about in terms of the load shape you're
11 getting into the residential sector, you know,
12 heavily weighted towards the residential sector.
13 And so that's where you see residential growth
14 and it's continuing to grow.

15 So, you know, this is what we've done for
16 this forecast. It's new. And we hope to
17 continue to try to improve it in terms of what
18 kind of data we can use, any information we can
19 gain from load shapes, or energy savings by load
20 shape.

21 COMMISSIONER MCALLISTER: So, this takes
22 a little while to get your head around. But are
23 you anticipating that the peak not only move
24 later, but also sort of flatten out and last
25 longer? Like, you know, if it moves into the

1 evening times is it going to last until 8:00 p.m.
2 or something, because that's kind of what this
3 looks like it might be showing.

4 MR. SCHIERMEYER: Well, yeah, I don't
5 have an 8:00 p.m. line on here. I tried to keep
6 it simple.

7 COMMISSIONER MCALLISTER: Are these at
8 the hour or are these a summary of the hour?

9 MR. SCHIERMEYER: Yeah, these are at the
10 hour.

11 COMMISSIONER MCALLISTER: At the hour.

12 MR. SCHIERMEYER: Yeah. And so, the
13 black line, it's covered with the blue, but
14 that's our system peak forecast. So, we're
15 expecting it to grow.

16 COMMISSIONER MCALLISTER: Yeah, it looks
17 like in 2028 you've got a flat -- I mean, you've
18 got a similarly high load at 6:00 and at 7:00.

19 MR. SCHIERMEYER: Yeah.

20 COMMISSIONER MCALLISTER: So, I mean,
21 that's not a very peak -- I mean, that seems, you
22 know, to be broadening as well.

23 MR. SCHIERMEYER: True, yeah. And we
24 found that, yeah, the loads were similar. So,
25 you could switch from one hour to the next

1 easier. But I think they're growing. I think
2 when you're reaching out to that time frame,
3 they're flattening out but they're growing at the
4 same magnitude.

5 COMMISSIONER MCALLISTER: Okay, thanks.

6 MR. SCHIERMEYER: Okay.

7 COMMISSIONER MCALLISTER: Thanks a lot.

8 MR. SCHIERMEYER: Okay, thank you.

9 MR. KAVALEC: Thanks Ken.

10 Okay, our final victim of the day is
11 SMUD. And we have the highest population growth
12 in SMUD, of any of the planning areas, at least
13 according to DOF. Per capita income growth a
14 little bit lower than the State average. About
15 40,000 EVs on the road in 2028. Over half of
16 which are battery/electric vehicles. And around
17 150 gigawatt hours of EV consumption in 2028.

18 Installed capacity of behind-the-meter
19 PV, a little over 600 megawatts in 2028, in the
20 mid case.

21 And so, comparing the mid case, a little
22 bit higher growth because of the higher
23 population growth in SMUD, comparing the two mid
24 cases.

25 And because the residential sector is

1 growing faster than we had in 2016 as a relative
2 share, we have a higher growth in our peak demand
3 forecast for SMUD, or for peak end-use load.

4 Moving from consumption to sales,
5 subtracting off around 1,000 gigawatt hours of
6 self-generation, almost all of which is PV, we're
7 left with, as we saw in the case of LADWP, we
8 still have an upwards sloping sales curve for
9 most of the forecast period. Average annual
10 growth of almost one percent.

11 And moving from the peak end-use load,
12 adding in losses, and then subtracting off self-
13 generation we end up with our net peak, the dark
14 blue. Again, upward sloping, unlike what we saw
15 for the IOUs.

16 Very strong commercial growth in the case
17 of SMUD, from the higher population projections.
18 And one of the higher forecasts for industrial
19 growth, which is much flatter for the other
20 planning areas.

21 Because of this strong growth, SMUD
22 consumption grows the fastest and grows faster
23 than the State average for 2016 to 2028. And
24 because we have comparable use of relatively
25 small impact from PV, our net peak demand grows

1 almost as quickly as consumption, which is not
2 true in the case of the IOUs.

3 Comparing our forecasts with SMUDs, SMUD
4 has higher EV and lower PV forecasts, although
5 we're not substantially different.

6 Aside from EVs and PV, and accounting for
7 committed savings, which are in the SMUD
8 forecast, but not in our forecast, SMUD's sales
9 and peak forecasts are lower. And one important
10 reason for that is SMUD is assuming slower
11 population growth. They're using Global Insight,
12 I believe, and not DOF, which gives you a lower
13 population growth projections, reducing their
14 sales and their peak forecasts.

15 And Nate Toyama at SMUD has some insights
16 on what may be a changing relationship between
17 sales and peak, which would imply that we may be
18 overstating peak because of that.

19 So, at this point, Nate, I'll ask you to
20 come up and make comments, and then you have a
21 short presentation for us.

22 MR. TOYAMA: Thank you. Nate Toyama from
23 SMUD.

24 (Pause)

25 MR. TOYAMA: Let me give you some

1 background of what I want to talk about, first.
2 I met with the CEC staff Friday, and we were
3 going over the forecast and comparing our
4 forecasts. And Chris brought out this spread
5 sheet that had maybe 20, 30 columns, and he was
6 adding things and subtracting things, and we're
7 trying to compare our forecasts and see where we
8 ended up.

9 And when we did that, after that
10 exercise, I went home and looked at the spread
11 sheet again and I had forgotten what Chris had
12 told me to do.

13 But it is very complicated in the sense
14 that what we're trying to do is compare forecasts
15 and see where we line up. And by looking at the
16 forecast, we have different numbers for PV, EV.
17 We include in our forecast energy efficiency,
18 which would be unbudgeted in your terms, which we
19 include in our forecast.

20 But, you know, on one thing the forecasts
21 were very different of these incremental changes
22 in the way that we use energy. And whether we're
23 ever going to reconcile these differences or
24 agree to have the same forecast, or maybe agree
25 to disagree on these forecasts, we're probably

1 never going to have similar or identical
2 forecasts for these incremental changes. And
3 that's simply because we use different models, we
4 have different assumptions, we have different
5 time periods we're looking at, and we have our
6 own staff that does this.

7 So, you know, it was interesting to look
8 at the end results of these forecasts because we
9 need a baseline forecast. We need a baseline
10 forecast for predicting sales and for loads.

11 But even if we had the same incremental
12 changes in our load we would still have
13 differences in our forecasts.

14 And so, that sort of made me realize that
15 the incremental changes that we have, which are
16 important to understand, don't necessarily drive
17 the forecast. What drives the forecast is what I
18 call the base forecast, or in the data we
19 submitted. I refer to it as our unmanaged
20 forecast. And it's really the underlying
21 structure of our forecast. And that's really
22 what I want to take a look at.

23 And so, for today's presentation what I'm
24 doing is I'm taking and developing a base
25 forecast which looks at the end result, the

1 baseline forecast, and I start to strip away the
2 incremental changes that we have, like energy
3 efficiency, PV, EV for SMUD. And for the CEC
4 forecast I take out PV and EV.

5 I compared the base forecasts and I
6 wanted to develop some sort of forecast metric.
7 And in this case the forecast metric is use per
8 account. And here I have the base sales
9 forecast.

10 And so here I show how I derive what I
11 refer to as the base forecast, which is this
12 column over there, slightly in the middle.

13 But still, the metric I'm using customer
14 accounts. I could have used population, which we
15 both have. I couldn't find a customer account
16 from the CEC forecast, so I used SMUD's forecast
17 for both cases.

18 The metric I'm using is sales per account
19 and it's the final column on the right-hand side,
20 which is in megawatt hours. And that's what I
21 want to compare because this is what's driving
22 the overall forecast.

23 The next sheet is a chart which shows the
24 differences in these forecasts. And the red line
25 is the CEC, what I call a base forecast, which is

1 increasing over time for use per customer.

2 And in SMUD's case, it's decreasing over
3 time. And so, I think this is sort of the
4 fundamental differences that we have is that even
5 if we had exactly the same amount of the EV and
6 PV, the forecasts will still be different. And
7 it's really driven by basic assumptions and
8 that's what's embodied in our forecasting models.

9 And now, I could explain what's going on
10 with SMUD. With SMUD's forecasts, what we have
11 basically are new houses we know are more
12 efficient. We have some adjustments or the
13 saturation and the changes of efficiencies of
14 ACs. So, these are all driving the sales
15 forecast lower. Now, we don't have any sort of
16 income assist, or other sort of bucket of goods
17 for people to be purchasing in the future
18 because, exactly we don't know what they are,
19 anyway.

20 And whether or not an income assist you
21 might pick that up correctly we don't know or I'm
22 hesitant about putting something that we don't
23 know about. And so, we don't include them in our
24 forecast.

25 I mean, basically, here is new

1 construction, efficiency standards, and
2 saturations or changes in saturations to come up
3 with our forecast and that's why it's declining.

4 The same thing with peak. The same
5 process we go through. We have the basic
6 forecast, or the baseline forecast for both, for
7 SMUD and for the CEC. We strip away some of
8 these things. We have then our base EE, a base
9 forecast of peak which, again, is in the middle.

10 And then, finally, our metric which would
11 be peak per account.

12 And then we have the same result. SMUD's
13 peak forecast is declining because of the changes
14 in efficiency, the newer houses being much more
15 efficient. Just basically looking at our
16 (indiscernible) there shows us that new homes
17 basically use about 20 percent less than our
18 average homes.

19 And then, for the base of our residential
20 customers we have an end-use model that captures
21 changes in efficiency over time, and how the
22 equipment changes over time. So, these all lead
23 in a decline in our peak for account.

24 That small little decline, beginning in
25 2019, is our TOU program, for residential time of

1 use, to default case. So, we see a slight
2 decline. Systemwide, there's about 70 megawatts.

3 And then, when we look at the CEC's
4 forecast, again it shows the same characteristics
5 as the sales forecast, where it's increasing over
6 time. It was really the peak forecast that Chris
7 and I talked about, that when we actually used
8 the same assumptions, the differences between the
9 peak and the sales forecasts were still about 200
10 megawatts by 2028.

11 And so, I think we can go back to the
12 base forecast and say that it's how we estimate
13 these models that are making a large difference
14 in the way that SMUD forecasts its sales and peak
15 versus the way that the CEC forecasts its sales
16 and peak.

17 And so, that's the conclusion I have is
18 our forecasting models are very different. And
19 regardless of what we saw about EV, PV, and if we
20 were to include SMUD's unbudgeted EE, it's
21 definitely very different.

22 Now, but in the case of sales, actually
23 when we include everything, they are very
24 similar. And I would say that they're very
25 similar more on coincidence than by planning or

1 by how exactly we forecast these things.

2 That's the end of the presentation.

3 Questions?

4 COMMISSIONER MCALLISTER: I mean, I guess
5 I'd like to get the flip side of that from Chris.
6 You know, my understanding is that one of these
7 is kind of a -- your forecast is kind of a
8 managed forecast, kind of all in and ours isn't?

9 MR. TOYAMA: For our baseline it is.

10 COMMISSIONER MCALLISTER: Yeah, okay.
11 And we're not quite at that point, yet, because
12 we haven't done all the wedges to add up to get
13 the long-term managed forecast, right. So, you'd
14 kind of expect --

15 MR. TOYAMA: Well, if you looked at our
16 forecasts, our forecasts are relatively flat over
17 time, when we included everything, our managed
18 forecast.

19 The same thing with both peak and with
20 sales, they're both relatively flat.

21 Where the CEC has continual, you know,
22 increasing over time, even if we include these
23 things.

24 COMMISSIONER MCALLISTER: Okay.

25 MR. TOYAMA: But you're right, our

1 baseline forecasts would be including everything
2 that we do as programs at SMUD.

3 COMMISSIONER MCALLISTER: Okay. And then
4 all the stuff that gets layer on, on our side,
5 makes it diverge from where you're at, is that
6 it?

7 MR. TOYAMA: Yeah.

8 COMMISSIONER MCALLISTER: Okay.

9 MR. TOYAMA: I think it goes back to the
10 basic forecast and that's why it diverges.
11 Because actually when we sum up our programs,
12 even though the individual programs are
13 different, when we sum them up they get pretty
14 close altogether.

15 COMMISSIONER MCALLISTER: Okay, thanks.

16 MR. TOYAMA: Thank you.

17 MR. KAVALEC: I'll just mention that at a
18 fundamental level the difference we have is from
19 incorporating income growth, which I don't
20 believe you incorporate directly into your model.
21 Right. So, when you have rising per capita
22 income, or rising per capita GDP, you're going to
23 have more commercial and residential growth, all
24 else equal.

25 So, I think that what is driving that

1 wedge is that much of that wedge is the impact
2 that income has on our forecast.

3 COMMISSIONER MCALLISTER: That issue
4 right there seems like one that, you know, maybe
5 not within the forecast practice, but all eyes
6 are kind of thinking, now, of really looking at
7 this issue of decoupling economic growth from
8 resource consumption.

9 And I think it would be, you now, as we
10 gather more data resources, more analytical
11 capacity that seems like something we could be
12 working at more, in more depth to really track
13 what's happening out there in the economy with
14 respect to our levelized planning --

15 MR. KAVALEC: I think that you provide
16 some valuable insights with what you did in the
17 comparison that you did.

18 CHAIR WEISENMILLER: Chris, I just have
19 one of the more inappropriate timing questions,
20 at least in terms of Edison just headed for the
21 door. But at least in history we've had these
22 issues of normalization in data between us and
23 Edison. And I'd like to think that's been all
24 resolved?

25 MR. KAVALEC: I like to think so, too.

1 (Laughter)

2 CHAIR WEISENMILLER: Yeah, I was going to
3 say we probably should -- anyway, if you get a
4 chance, if you could just circle back with that
5 just to make sure that neither of those pop up,
6 you know, at the last minute again.

7 MR. KAVALEC: Right. And the last -- was
8 it last year, or the year before, we set up a
9 structured process that we had the IOUs buy in to
10 and, you know, we're going to do such and such by
11 this amount of time, and this leaves time for
12 review and comments. And that seemed to work
13 okay. We didn't have it pop up at the last
14 minute again. So, that's what we're going to try
15 and do again this time is set -- put a time limit
16 on it, structure it, and hopefully get it over
17 with in time for the releasing the forecast.

18 CHAIR WEISENMILLER: You know, I think
19 the other just sort of just summary thing is to
20 say thanks for the split discussion. I think it
21 sort of emphasizes generally the ZEV and PV.
22 Although, I'd like to sort of just ask the
23 proverbial question of among the various
24 forecasts where -- you know, ignoring those
25 factors, is there anything else for any

1 individual utility that really reaches the top of
2 your list?

3 MR. KAVALEC: I mean, in terms of
4 differences?

5 CHAIR WEISENMILLER: Yeah.

6 MR. KAVALEC: The differences -- well, I
7 mentioned some for PG&E, a couple of the model
8 specifications.

9 CHAIR WEISENMILLER: Yeah, I was trying
10 to get more in terms of, of the various
11 utilities, which one do you have the most
12 difference from, ignoring ZEV and PV?

13 MR. KAVALEC: The most differences we had
14 were with PGE& on the sales side and with SMUD on
15 the sales side.

16 CHAIR WEISENMILLER: Okay.

17 MR. KAVALEC: Which was discussed.

18 CHAIR WEISENMILLER: Thanks.

19 MR. KAVALEC: And the peak is a whole
20 different ball of wax that we didn't get a chance
21 to compare today, but we will for the revised
22 forecast.

23 Because I think peak differences tend to
24 be sharper than sales differences.

25 CHAIR WEISENMILLER: Thanks. Thanks.

1 MS. RAITT: So, I think that's it for
2 presentations. We could move on to public
3 comment.

4 CHAIR WEISENMILLER: So, do we have
5 anyone in the room who has public comments?

6 MS. RAITT: Anyone on WebEx who has
7 comments, go ahead and raise your hand for the
8 coordinator.

9 CHAIR WEISENMILLER: And if you do have
10 comments or questions, it may help to e-mail
11 those in, or chat, anyway. Do we have anyone,
12 that's the first question?

13 MS. RAITT: It doesn't look like it.

14 CHAIR WEISENMILLER: Okay.

15 MS. RAITT: But we probably should open
16 up the lines, if we have some phone lines.

17 CHAIR WEISENMILLER: Yeah.

18 MS. RAITT: So, if anyone's on the phone
19 line and wanted to comment, we'll have your
20 opportunity here. And if you're on the phone
21 line and didn't want to comment, please mute your
22 phone.

23 So, the phone lines are open if you
24 wanted to comment.

25 No, okay, I think we're not having any

1 comments.

2 CHAIR WEISENMILLER: Okay. So, remind
3 people when comments are due?

4 MS. RAITT: Comments are due August 24th
5 and this gives you all the information for
6 submitting comments.

7 COMMISSIONER MCALLISTER: So, you can
8 probably close the phone lines.

9 MS. RAITT: So, I think that's all I
10 have.

11 COMMISSIONER MCALLISTER: All right. So,
12 this has been a really good day. And, actually,
13 the conversation's been quite efficient in
14 highlighting the pending issues and sort of
15 highlighting what's going to happen in the next
16 steps, and sort of rounding it all out going
17 forward. And so, I'm happy with how things are
18 going and I don't have any more comments.

19 CHAIR WEISENMILLER: No, certainly want
20 to thank Chris and staff for organizing things
21 today. I think there's a pretty clear roadmap
22 for us, of the issues, a pretty good
23 presentation. And again, I realize this is
24 preliminary. You know, God knows, as she's
25 talking under the hood other stuff can come up.

1 And, you know, traditionally on these
2 things and also for the utilities obviously our
3 presumption was this was kicking off and we'd get
4 much more detailed comments in our written
5 comments. And in, you know, working through the
6 various processes, all processes to identify
7 differences and work through those.

8 But again, I think it was a pretty
9 productive meeting. I think in terms of, you
10 know, obviously, as you said the ZEV and the PV
11 are the big issues. And those are ones which, by
12 definition, there's a lot of uncertainty. We're
13 pretty early in the progression. You know, it's
14 certainly something that, you know, presumably
15 ten years from now it's going to be a lot easier
16 to do those forecasts of both of those, and
17 probably pretty routine. But at least at this
18 stage we're still struggling to come up with the
19 data, the methodologies and, again, trying to
20 figure out what's the key things that really
21 impact that.

22 So, certainly encourage focus on that and
23 encourage participation by the utilities and all
24 the stakeholders into those issues, so we can get
25 the best numbers we can.

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of August, 2017.


A handwritten signature in black ink that reads "Susan Palmer". The signature is written in a cursive, flowing style.

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of August, 2017.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520