

DOCKETED

Docket Number:	17-IEPR-09
Project Title:	Climate Adaptation and Resiliency
TN #:	221244
Document Title:	Transcript of 08/29/2017 IEPR Joint Agency Workshop on Climate Adaptation and Resiliency for the Energy System
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/20/2017 10:40:24 AM
Docketed Date:	9/20/2017

CALIFORNIA ENERGY COMMISSION

In the Matter of:

IEPR Joint Agency Workshop)
On Climate Adaptation and)
Resiliency for the Energy)
System)

Climate Adaptation and Resiliency

CALIFORNIA ENERGY COMMISSION

ROSENFELD HEARING ROOM - FIRST FLOOR

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

TUESDAY, AUGUST 29, 2017

10:00 A.M.

Reported by:

Gigi Lastra

APPEARANCES

COMMISSIONERS

Robert Weisenmiller, Chair, California Energy Commission
Karen Douglas, Commissioner, California Energy Commission
Janea Scott, Commissioner, California Energy Commission
Liane Randolph, California Public Utilities Commission
Cliff Rechtschaffen, California Public Utilities
Commission

ENERGY COMMISSION STAFF

Heather Raitt, Project Manager
David Stoms, California Energy Commission
Scott Flint, California Energy Commission
Susan Wilhelm, California Energy Commission
Guido Franco, California Energy Commission
Sonya Ziaja, California Energy Commission
Aleecia Gutierrez, California Energy Commission
Pam Doughman, California Energy Commission

PRESENTERS

Jamie Anderson, California Department of Water
Resources/Natural Resources Agency
Jamie Anderson, CA Department of Water Resources/Natural
Resources Agency,
Brian D'Agostino, San Diego Gas and Electric
Scott Tomashefsky, Northern California Power Agency

APPEARANCES

PRESENTERS

Adam Smith, Southern California Edison

Nancy Sutley, Los Angeles Department of Water and Power

Amee Raval, Asian Pacific Environmental Network

Francesco Avanzi, University of California, Berkeley and
Merced

Steven Margulis, University of California, Los Angeles

Gary Freeman, Pacific Gas and Electric

Kristin Ralff-Douglas, California Public Utilities
Commission

Louise Bedsworth, Governor's Office of Planning and
Research

Melissa Lavinson, Pacific Gas and Electric

Craig Zamuda, Department of Energy

Alan Sanstad, Lawrence Berkeley National Laboratories

Geoff Danker, Southern California Gas Company

PUBLIC COMMENT

Kathleen Ave, SMUD

AGENDA

	<u>Page</u>
Introduction Heather Raitt, California Energy Commission	6
Opening Comments Chair Robert Weisenmiller, California Energy Commission Liane Randolph, California Public Utilities Commission Cliff Rechtschaffen, California Public Utilities Commission Commissioner Janea Scott, California Energy Commission	7
How California's Fourth Climate Change Assessment And Other Efforts are Informing Climate Adaptation For the Energy Sector David Stoms, California Energy Commission Scott Flint, California Energy Commission Susan Wilhelm, California Energy Commission Jamie Anderson, California Department of Water Resources/Natural Resources Agency Guido Franco, California Energy Commission Brian D'Agostino, San Diego Gas and Electric Scott Tomashefsky, Northern California Power Agency	7
Climate Impacts on Disadvantaged Communities: Role For the Energy Sector Aleecia Gutierrez, California Energy Commission Sonya Ziaja, California Energy Commission Adam Smith, Southern California Edison Nancy Sutley, Los Angeles Department of Water and Power Amee Raval, Asian Pacific Environmental Network	87
Making Research Actionable: Adapting Hydropower to A Changing Hydrology Guido Franco, California Energy Commission Francesco Avanzi, University of California, Berkeley and Merced Steven Margulis, University of California, Los Angeles Gary Freeman, Pacific Gas and Electric	144

AGENDA

	<u>Page</u>
Manage Climate Risks	182
Kristin Ralff-Douglas, California Public Utilities Commission	
Louise Bedsworth, Governor's Office of Planning and Research	
Melissa Lavinson, Pacific Gas and Electric	
Craig Zamuda, Department of Energy	
Alan Sanstad, Lawrence Berkeley National Laboratories	
Geoff Danker, Southern California Gas Company	
Public Comments	269
Closing Remarks	274
Adjourn	274

1 at the end of the day, we'll, also, we'll be
2 taking comments, first from those in the
3 audience, and then WebEx participants can use the
4 chat function to let us know that you have a
5 comment, and then we'll open the lines.

6 Written comments are welcome. They're
7 due on September 12th. Materials for the meeting
8 are posted on our website and available in hard
9 copy at the entrance to the hearing room. And
10 the notice has all the information for submitting
11 comments.

12 So with that, I'll turn it over to the
13 Commissioners for opening remarks.

14 CHAIR WEISENMILLER: Thanks Heather.

15 I'd like to thank everyone for being here
16 today. Obviously, adaptation is a very important
17 topic. You know, as we all look at the tragedy
18 in Houston, it's unclear how much of that is the
19 result of climate change and how much of that is
20 the 50-year flood, but it's certainly a reminder
21 to all of us that things can go wrong here pretty
22 seriously in these areas. And it's important
23 that we think for our infrastructure,
24 particularly our critical infrastructure, how to
25 be prepared.

1 So anyway, looking forward to a great
2 session today.

3 COMMISSIONER RANDOLPH: I'll just, once
4 again, thank the CEC for hosting the workshop.
5 And as Chairman Weisenmiller said, you know, the
6 events of this week are important reminders of
7 the vulnerability of our infrastructure. So I
8 look forward to our discussion today.

9 COMMISSIONER RECHTSCHAFFEN: Boy, that's
10 challenging to be as brief as these guys. That's
11 very impressive. My goodness. Well, I'll be
12 extremely brief. I'll be a little less brief.

13 Obviously, as we know, the impacts of
14 climate change are here. And it's incumbent on
15 our energy utilities to prepare for those
16 impacts.

17 My role at the PUC, I just wanted to
18 highlight some proceedings that we're involved
19 in, which really are crosscutting and first in
20 the nation.

21 We have two proceedings where we're
22 really making the utilities prepare for dealing
23 with the impacts of climate change. One is the
24 Safety Model Assessment proceeding where we asked
25 the utilities to evaluate all the risks, safety,

1 physical infrastructure, and otherwise what
2 they're facing, and those include climate change,
3 and increasingly, we have to include climate
4 change, and then asked them evaluate how they're
5 prioritizing those risks and mitigating them.

6 And when we have a separate proceeding
7 that deals with how utilities spend their money,
8 which, of course, is very, very important. And
9 as part of our general rate case, we have a risk
10 assessment and mitigation phase where we evaluate
11 how they're spending their money on the risks of
12 climate change that they've identified. We're
13 still in the early stages of this process, which
14 is why workshops, like this, are so very
15 important because collectively, and for the
16 energy utilities in particular, we still don't
17 know exactly the best way to evaluate risks, what
18 the extent and scale is, and how to best spend
19 money to deal with them.

20 So those processes are going to be
21 ongoing, informed by the best science. And I
22 look forward to today's discussions.

23 COMMISSIONER SCOTT: Good morning
24 everyone, and thank you for joining us. I'm also
25 very much looking forward to today's discussions.

1 I think back to when I first out of
2 school and working at Environment Defense Fund.
3 And we heard from the International Panel on
4 Climate Change, that we would be seeing things
5 like -- that climate change could cause things
6 like more days over 90 in the summer, that it
7 could cause stronger storms, and many other
8 things that I actually feel like we are starting
9 to experience now. And so I can't really
10 understate the -- or overstate the importance of
11 today's discussion and thinking about climate
12 resilience. And I'm looking forward to learning
13 a lot this morning, so thank you very much.

14 MS. RAITT: Great. So our first panel is
15 on how California's Fourth Climate Change
16 Assessment and other efforts are informing
17 climate adaptation for the energy sector. And
18 David Stoms from the Energy Commission is the
19 moderator.

20 MR. STOMS: Thank you, Heather, and good
21 morning everyone.

22 So our first session is on -- or panel is
23 going to be on the Fourth Assessment,
24 California's Fourth Climate Change Assessment,
25 and other sort of related efforts to inform

1 planning efforts for resilience. And we'll sort
2 of start with several state agency folks talking
3 about some of the tools that have been developed.
4 And then we'll switch to a representative from
5 one of the IOUs, and then to someone from the
6 public utility side, to talk about how they're
7 using some of these tools, the kind of planning
8 they're doing or thinking about doing.

9 So our first speaker will be Scott Flint,
10 who will talk about one of those tools, the
11 Climate Console.

12 (Off mike colloquy.)

13 MR. FLINT: Thank you, David.

14 Good morning, Commissioners and workshop
15 participants. I want to -- this morning, I want
16 to give you brief look at the California Climate
17 Console. It is a climate tool that was
18 developed, starting for the Desert Renewable
19 Energy Conservation planning efforts, and has
20 been expanded statewide. Its primary focus is to
21 help look at and visualize how climate change may
22 occur across large landscapes, and how you can
23 use the climate information to inform various
24 decision making during planning, whether it's
25 planning for conservation, planning for renewable

1 energy siting, fighting both for generation and
2 for transmission. So we'll just take a quick
3 look at that, and it will give you a couple of
4 examples of how you can actually use information
5 from the console and other information to get
6 some insight into a couple siting issues.

7 So we're viewing the Climate Console
8 live. The Climate Console is housed with
9 Conservation Biology Institute, who has been
10 working with us on major planning efforts across
11 the state. I'm just going to talk briefly about
12 some of the data layers in here, but not a lot.
13 I want to get to the examples.

14 So first of all, to use the Console,
15 there is lots of information and tutorials here.
16 If you jump on the website, which is at the back
17 of your handout, where to go directly to the
18 website and get on the Console, you'll start
19 here. And you can explore these tools, and it
20 will give you some idea about how to use and
21 navigate, or just jump in and start playing.

22 We do have a couple ways to -- reporting
23 units that you can select to look at information,
24 or you can draw your own area of whatever size of
25 shape that you want in the Console. Once you

1 select an area in the Console, you'll see on this
2 side of the screen, on the right side, that's
3 changed, and you have some information from the
4 climate models that are included here. We have
5 ten climate models that are featured in the
6 Climate Console. They're the same set of models
7 that the state has focused on looking at for the
8 Fourth Assessment purposes and other work in
9 California, so we have those here.

10 Across here you can pick what you want to
11 look at, or a variety of models here along the
12 bottom. Up here in the I button, you can see all
13 the detail you want about those models, where
14 they came from, how they were downscaled, their
15 resolution, how they compare to each other, and
16 how the variables were calculated in the Climate
17 Console.

18 So getting that quick look, we also often
19 frame things for a purpose of our work and our
20 planning work into assessing things amongst these
21 four climate models to look at the four corners
22 of potential change. So I'm talking about a
23 warm-wet model, a warm-dry model, a hot-wet model
24 and a hot-dry model, so those are featured here
25 also.

1 So I've picked Fresno County. And when I
2 do that, what I see here is the maximum
3 temperature. I'm going to pick the hot-dry
4 model, something I want to look at. You see the
5 maximum temperature for the hot-dry model
6 historical value and the projected climate values
7 for this model over two 30-year periods, 2016 to
8 2045 and 2046 to 2075. So there we have that,
9 just for max temp.

10 Down here we have a summary of what else
11 is going on there. We have a summary of max
12 temperature, average minimum temperature,
13 precipitation, aridity, potential
14 evapotranspiration. So we picked those variables
15 to look at because they're particularly important
16 in influencing vegetation on the landscape, and
17 therefore the habitats that will be on the large
18 landscape.

19 There's also a tab here that looks at a
20 couple of models -- indices that we put together,
21 one for climate exposure and one for site
22 sensitivity. So you can click those and the
23 model will come on here, and you can explore
24 those sorts of models too.

25 And one more tab. For climate impacts we

1 have the models that -- the four models that --
2 the four corner models running with the
3 vegetation modeling so we can look at potential
4 change over time in the vegetation. This is
5 animated and you can run it, if you want to watch
6 the change over time.

7 And you can also explore a few key things
8 related to carbon, fire and water going down here
9 with these tabs.

10 So how is this information useful?

11 So back at -- in planning efforts or in
12 siting renewable energy projects and transmission
13 infrastructure, we go back to the hot-wet model
14 on this page, click here. So here the tool is
15 particularly good at visualizing what might occur
16 as the climate changes in these different
17 variables that we've looked at. And we have all
18 of those -- quite a few here. We're not -- we
19 don't just have temperature, but we're looking at
20 temperature for now in the example.

21 So one thing you can do here, once you
22 went through the scenarios and decided on what
23 climate variability you want to look at, you can
24 quickly -- you can press this button and quickly
25 export into the main database and platform, which

1 is where we have been compiling and posting most
2 of our information from the various planning
3 effort that we've been putting together. So you
4 can quickly take that particular climate model
5 and scenario that you were looking at into
6 database and add other datasets to help you
7 interpret what's going on there.

8 So if this were a training video, this
9 would be the part where, you know, you just jump
10 over to the map which is already done, which I'm
11 going to do here.

12 So I have a map here, and we're looking
13 at an area in the San Joaquin Valley. And so
14 earlier the Energy Commission did a siting effort
15 in the San Joaquin Valley to identify lower-
16 conflict areas for potential renewable energy
17 development, solar PV development in the Central
18 Valley. And in that assessment, we looked at
19 quite a few environmental models, but we didn't
20 really look at climate. So now we can go back to
21 the results of that and we can add climate to our
22 thinking.

23 And so we first -- first, what we can do
24 from the Climate Console is look at what's going
25 on with that maximum annual temperature in this

1 area. So what I have highlighted here are parts
2 of the Westlands Water District which, through
3 our work, we found out would be a place that,
4 because of various impairments, is not, probably,
5 long-term viable to remain in ag, so that's the
6 large area in red.

7 Here we're looking at the temperature
8 results from the modeling and we're seeing that
9 there are -- while there's variation across the
10 county, we're in western Fresno, we see different
11 degrees of temperature change, even at this
12 scale, across the county. We see this area
13 getting very hot.

14 What's going on here is an increase of
15 about seven degrees Fahrenheit over the next 60
16 years, that's showing up in the red, and we have
17 some differences in that. As far as mean
18 projected precipitation, we brought that over and
19 can look at that too. We have a large decrease
20 of precipitation in this area. And those two
21 things combine to also give us reductions -- some
22 aridity increase here of 32 percent, and
23 evapotranspiration increase of 12 percent over
24 time. So combining that sort of water deficit
25 data with some other data that we've looked at

1 here, we can look at lands that show a
2 combination of land status and water stress, and
3 so it looks like this. And now I'm
4 reconstituting that to just show high value ag
5 lands that show a high to moderate level of water
6 stress due to climate change in this area over
7 time.

8 So if we're looking for areas to site for
9 renewables here, we, in our earlier exercise,
10 without taking climate into -- climate change
11 into effect, we kind of missed a few areas here.
12 And so other areas that are showing up as this
13 high water stress are here in orange, that are
14 now prime farm land but in the long term probably
15 will not remain so.

16 We can also combine other lines of
17 evidence to show -- to kind of figure out what's
18 going on there and what climate might do. We can
19 look at -- in this particular area, we will look
20 at, I'll just quickly show you, fallowed ag land
21 during the drought, so we'll take a look at that.
22 Again, west of this area in Westlands, we see a
23 little bit of fallowed land, annual -- from an
24 annual dataset in 2011. And after the height of
25 the drought in 2015, we see a lot more area that

1 is now fallow here west of the site.

2 So this gives us some insight, bringing
3 in climate into the equation about where we also
4 would look to other areas that might be best
5 suitable for considering and further studying for
6 siting renewables in the future. Because given
7 what's going on with the climate, the information
8 tells us and multiple lines of evidence tell us
9 that this area may not be long-term suitable or
10 remain long-term suitable for agriculture. And
11 it takes in the other water deficit sort of items
12 that we didn't look at in our earlier study.

13 So that's how you can use the Climate
14 Console. That's how you can use it specifically
15 into looking at siting areas of infrastructure
16 based on this example in the valley.

17 Thank you.

18 MR. STOMS: Great. Thank you, Scott.

19 So our next speaker will be Susan
20 Wilhelm, who will be talking about another
21 climate tool, Cal-Adapt and version two.

22 MS. WILHELM: Good morning. Today we
23 will have a look at Cal-Adapt 2.0, which migrated
24 from beta to primetime just last week. My talk
25 today will answer three questions. What is Cal-

1 Adapt? How is being used by the research and
2 resilience community? And how is it evolving to
3 respond to energy sector needs? And then I'll
4 offer a brief, live tour of the site.

5 I'll begin by thanking UC Berkeley's
6 Geospatial Innovation Facility, which developed
7 both the original Cal-Adapt and version 2.0.

8 I'd also like to thank our Technical
9 Advisory Committee, which includes IOUs, SMUD,
10 CPUC, CalISO and others. The Advisory Committee
11 has provided a lot of useful input to us, and
12 this is reflected on the new site.

13 Okay, so what is Cal-Adapt? The
14 overarching goal of Cal-Adapt is to make
15 scientific projections and analyses available as
16 a basis for understanding local climate risks and
17 resilience options. Cal-Adapt does this through
18 a web-based platform designed to make peer-
19 reviewed data readily available in an intuitive,
20 easy to understand and interactive format.
21 People have a variety of visualization tools to
22 choose from, which you see represented by the
23 icons at the lower part of the screen. And
24 choosing these icons, you can then explore very
25 site-specific, location-specific climate

1 projections.

2 I'd like to say a few words about how
3 California utilities have used Cal-Adapt to
4 support vulnerability assessments required by the
5 U.S. Department of Energy's Resilience
6 Partnership. California IOUs use Cal-Adapt as a
7 basis of understanding what climate risks they
8 face.

9 More recently, San Diego Gas and Electric
10 has used Cal-Adapt to support on-the-ground
11 resilience efforts, and you'll hear more about
12 this later this morning from Brian D'Agostino.
13 Okay.

14 What you're looking at here in the red
15 box is that Cal-Adapt defaults to regionally
16 downscaled versions of four global climate models
17 which were systematically chosen to represent a
18 range of possible futures. In response to IOU
19 requests for common scenarios to use for planning
20 purposes, last year's IEPR named these four
21 models as a tractable subset of ten global
22 climate models, which are all showcased in Cal-
23 Adapt, along with two emissions trajectories.
24 These same scenarios are also the basis for
25 California's Fourth Climate Change Assessment,

1 which includes a suite of 15 energy studies to
2 further inform energy sector adaptation.

3 Having state-sanctioned data is a basis
4 for research and planning. It fulfills one of
5 the major requests from a variety of Cal-Adapt
6 users, who have repeatedly expressed a need for
7 an authoritative data source.

8 Energy researchers involved with the
9 Fourth Assessment are using data on Cal-Adapt for
10 a variety of things, including analyses of energy
11 infrastructure and operations as related to
12 wildfire, extreme precipitation and more. As
13 shown at the bottom of this figure, when you're
14 choosing the location you want to investigate in
15 Cal-Adapt, you can pull up electricity sector
16 infrastructure. And I've pointed specifically to
17 Transmission Paths 25 and 66 here, which are one
18 of the areas that are being investigated with
19 regard to wildfire risk by the Fourth Assessment.
20 Specifically, in this general area there were 17
21 fires within a quarter mile of these transmission
22 paths between year 2000 and 2016. Okay.

23 As a publicly available tool, Cal-Adapt
24 has been adopted by a number of other resilience
25 initiatives. As shown on the first bullet, the

1 2017 update of California's General Planning
2 Guidelines points local governments to Cal-Adapt
3 to support a statutorily required adaptation
4 element of general planning. The list of uses is
5 long. But another one I'd like to point out is
6 the California Government Operations Agency, or
7 Gov Ops, has leveraged Cal-Adapt's publicly
8 available applications programming interface to
9 develop an automated tool that supports
10 incorporation of adaptation concerns and to
11 sustainability roadmaps for over 1,000
12 facilities.

13 So this public API that Gov Ops used is a
14 new feature of Cal-Adapt 2.0. The API supports
15 third-party development of custom tools, which is
16 critical because different people need to process
17 data in different ways to support their
18 particular decisions. This API renders the
19 number and specificity of potential applications
20 limitless. And users can find basic
21 documentation, tutorials and examples at this
22 website.

23 On September 12th, UC Berkeley's
24 Geospatial Innovation Facility will offer a User
25 Needs Assessment Workshop here in Sacramento. At

1 this workshop, you'll get a tour of Cal-Adapt
2 2.0. And we'll be seeking feedback on specific
3 enhancements that Cal-Adapt could incorporate to
4 serve the electricity sector. This is really a
5 great opportunity to offer specific input that
6 will shape Cal-Adapt's evolution.

7 Cal-Adapt will continue to evolve to
8 reflect new research and to keep pace with
9 emerging energy sector resilience needs.

10 And now I would like to transition to a
11 live demo. Okay.

12 So the site is at Cal-adapt.org. And on
13 the landing page, you'll see that there are a
14 number of tools available. There are also data
15 resources and some supporting information.

16 We're going to jump right into the
17 extreme heat tool. When you land in this tool,
18 you're in a grid cell in Sacramento. This is
19 about three-and-a-half miles by three-and-a-half
20 miles. But I'd like to change the location to a
21 census tract in Stockton. And for this purpose
22 I've selected the boundary selection feature that
23 enables us to look at census tracts with their
24 CalEnviroScreen score. So the red census tracts
25 here represent high scores on CalEnviroScreen,

1 which translate to disadvantaged communities.

2 So I just transitioned to a business as
3 usual, high emissions scenario. And on the fly,
4 Cal-Adapt created this visualization from daily
5 time series of maximum temperature. On the gray
6 line you see historical observed number of days
7 above a threshold that is locally defined to be
8 relevant to this area as 102 degrees. And the
9 historical period, as you see with this slider
10 widget, we had about four of these days per year.
11 Moving forward in time, all four of these
12 projections project a huge increase. And we can
13 expect about an order of magnitude more very hot
14 days in this census tract by the final three
15 decades of the century.

16 As you scroll down you see that you have,
17 you know, the ability to easily change your model
18 selection.

19 And scrolling down further, you see that
20 we can also look at the timing and magnitude of
21 these very hot days. On the Y axis, we have the
22 months of the warm season, April through October.
23 And we see that historically, in the 1960 to 1990
24 period, these dots, which represent extreme heat
25 days, are confined to early June through mid-

1 September. Moving forward, the season for hot
2 days expands broadly, early May, well into late
3 October. And you'll also see that the color of
4 these dots changes and you see more yellow dots,
5 which are the highest temperatures seen here, 108
6 to 120 degrees.

7 So, basically, Cal-Adapt is telling us
8 that infrastructure planning needs to anticipate
9 a broader hot season and a hot season that has
10 the volume turned up quite a bit. Okay.

11 So the next example we will look at is
12 precipitation. For this example, I'm going to go
13 back to the boundary selection feature. There
14 are a number of preloaded options which include
15 watersheds, climate zones, counties, census
16 tracts, congressional districts and more. We are
17 going to look at electric utility service
18 territories.

19 As many of you know, it was a rough year
20 in Truckee Donner Public Utility District. A lot
21 of precipitation meant a lot of service outages.
22 And so I'd like to look at annual average
23 precipitation for this service territory.

24 In the gray envelope here you're looking
25 at the maximum and minimum of an ensemble of 32

1 models, all of which have data available on Cal-
2 Adapt that have been downscaled to very fine
3 spatial resolution. The gray line is observed
4 historical data, and then we have four
5 projections.

6 The signal may not be immediately
7 obvious, but looking at our slider tool here, we
8 see that relative to the historical baseline the
9 end-of-century average for annual precip under
10 these four models looks like it will increase by
11 about 25 percent. More instructive is to look at
12 individual models. And we see that some models
13 predict pretty much no increase. Others predict
14 about a 25 to 60-plus increase.

15 Another thing to note, since we're very
16 much concerned with storms these days, is that
17 the peak years are getting higher. That means
18 the wet years are getting wetter, so we should be
19 prepared for more intense storm years.

20 I'd like to jump to a snowpack tool now.
21 You can look at this as an animation. But I'd
22 like to go to a time series for a watershed of
23 interest with regard to hydro resources. So I've
24 selected watershed as my boundary feature. And
25 if I type in Upper Middle Fork, we can find the

1 American River Watershed that's very valuable to
2 SMUD. And we see, of course, that all four of
3 the priority models indicate a huge decrease in
4 April snowpack by end of century. But we may
5 also want to know what's going to happen say
6 midcentury, so we can move this slider tool to
7 the 2030 to 2050 time frame and we see that even
8 for midcentury, we're expecting about a 22 to 65
9 percent loss of snowpack in this watershed.

10 One more thing I'd like to point out that
11 was done in response to Advisory Committee input
12 is that you can download data directly from these
13 charts straight into a spreadsheet for further
14 analysis.

15 Cal-Adapt also showcases new wildfire
16 simulations produced by LeRoy Westerling. These
17 wildfire simulations are based on the LOCA 1/16th
18 degree, very high resolution, downscaled climate
19 data. I'm going to go to Shasta County, which is
20 the area that we looked at earlier with regard to
21 Transmission Paths 25 and 66. And here we see,
22 again, that even in sort of a mid-century time
23 frame, some of our models predict increased fire
24 risk.

25 The final tool I'd like to take a peek at

1 looks at cooling degree days and heating degree
2 days. Guido Franco will talk more about this
3 later today. But this tool does provide us a
4 basis for looking at how planning will -- may
5 need to consider projected climate change.
6 Because the amount of energy we use to cool our
7 buildings is headed up. We may need less energy
8 for heat. And I'll let Guido tell you more about
9 that.

10 So the data that we've seen on these
11 visualizations today is just a subset of what's
12 available on Cal-Adapt. We also have sea level
13 rise data available in two different formats, as
14 well as a suite of hydrological variables,
15 including relative humidity and stream flow. And
16 there are some blog entries that can give you
17 more information about Cal-Adapt, how 2.0 is
18 different from the original version. You can
19 learn a bit more about the models.

20 And I'd just like to close with another
21 plug for the September 12th User Needs Assessment
22 Workshop. We would love to hear from you and
23 learn how we can enhance Cal-Adapt with more
24 specificity for the electricity sector.

25 Thanks.

1 MR. STOMS: Great. Thank you, Susan.
2 And I want to complement both you and Scott on
3 your confidence of doing live demos. That was
4 impressive.

5 So our next speaker will be Jaime
6 Anderson from the Department of Water Resources.
7 Susan mentioned about the energy sector projects
8 for the Fourth Climate Assessment. And Jamie
9 will now talk about some complementary projects
10 being done for other sectors that overlap or
11 complement the energy sector.

12 MS. ANDERSON: Thank you, David.

13 If you're okay with it, I'm going to talk
14 from here. If I go stand behind that podium,
15 we're not going to be able to see each other.

16 So I'm here to talk about all the other
17 research projects for the Fourth Climate Change
18 Assessment. But I wanted to start with kind of
19 giving us a framework of the Fourth Climate
20 Change Assessment. I know you've heard about it
21 at past meetings.

22 And the orange boxes here are
23 illustrating the kinds of datasets that have been
24 developed, which I know have been discussed at
25 these previous meetings, the climate change data,

1 the sea level rise, population and land use data,
2 extreme events, the wildfire. And that's all
3 feeding into the assessment, which is going to
4 produce quite a large number of products this
5 time. There's going to be a statewide
6 assessment. There's going to be at least nine
7 regional assessment reports and two special topic
8 reports, at least two, one on oceans, one on
9 tribal and indigenous communities. Then in
10 addition to that, there's the funded research
11 projects. We'll produce technical reports, so
12 there will be 31, 32 of those technical reports.

13 And then we have external collaborators
14 who are people who are working on climate change
15 research that is of interest to the state, and
16 they have additional funding sources. And so
17 they are participating in our effort. And so
18 there will be some additional research/technical
19 reports from those external collaborators.

20 And then all of that suite of research is
21 going to produce new tools, improved
22 understanding of climate change processes,
23 adaptation options, mitigation measures, and
24 provide new datasets, and hopefully provide some
25 new information that will help decision makers.

1 And right now those research projects are being
2 managed by their funding source, but we are
3 collaborating very, very closely together.

4 So I am managing the natural resources
5 projects, which cover a wide variety of topics.
6 We have wildfire. We have sea level rise. We
7 have coastal and oceans, carbon, drought, public
8 health. And then there's the energy sector
9 projects, which Susan is doing an excellent job
10 of managing. And then Joey Wall from the Energy
11 Commission is managing all those external
12 collaborators who are kindly giving their time
13 and effort to the Fourth Assessment. We work
14 very closely together. We meet every other week
15 at a minimum to talk about coordinating these
16 projects. We hold joint quarterly meetings where
17 all the researchers get together and get to share
18 their findings and talk about processes for the
19 Fourth Climate Change Assessment.

20 And one new thing that we have done this
21 year for the natural resources projects is we've
22 linked -- well, actually, for all of the funding
23 projects, each of the research teams has been
24 linked with a technical manager that's from a
25 state agency. So that brings in people from the

1 Energy Commission, CAL FIRE, the Insurance, Food
2 and Ag, Department of Water Resources, and a lot
3 of other state agencies. And what we're trying
4 to do is to get the researchers from the get-go
5 as they're putting their projects together,
6 talking to people who are at state agencies so
7 that they can make their research more directly
8 applicable to state processes and policy.

9 And Cal-Adapt has been an integral part
10 of the Fourth Climate Change Assessment. It's
11 the main way that we have disseminated data to
12 the research teams. And they have been
13 especially thrilled with the upgrade to include
14 the netCDF format, which has made the information
15 more useful to the research community. They use
16 Cal-Adapt to visualize and communicate the
17 regional impacts of climate change. And the
18 researchers said they are especially liking the
19 tools that do extremes and averages. There's
20 been a lot of the extreme heat day tool, and of
21 the wildfire information that is available on
22 Cal-Adapt. And that this has been a really good
23 tool to help the researchers to connect to the
24 public.

25 And one of the researchers, David Ackerly

1 from UC Berkeley, I liked his quote, so I wanted
2 to go ahead and say it word for word.

3 "When I'm giving public talks, I often
4 take a screen shot of the heat wave tool,
5 selecting the local grid cell where I'll be
6 giving that talk that shows the local heat wave
7 threshold and future projections. The adjustment
8 to the local thresholds really helps the
9 audiences connect."

10 So Cal-Adapt, you know, being able to
11 find the information that is relevant to the
12 location where people are has been really a very
13 valuable asset.

14 Now I'm going to just talk briefly about
15 three of the projects that have some implication
16 to the energy sector. And one of those projects
17 was looking at the additional extreme heat days
18 by midcentury. So the green is increases in heat
19 days from like 0 to 10 days, up to the oranges
20 and reds are 20 to 30 increase -- 30 days
21 increased by midcentury of extreme heat days.
22 And what their analysis is -- and for reference,
23 the grey lines are the natural gas lines. And
24 this study is showing that by midcentury, so not
25 that long from now, that the coastal areas are

1 showing an increase in six to ten per year of
2 extreme heat days. In the inland areas, it could
3 be three to four weeks increase in the extreme
4 heat days.

5 So another project that has a different
6 flair and is looking at the lessons from the past
7 is a project that's looking at drought planning
8 and climate adaptation of small, self-sufficient
9 water utilities in California. And that is a
10 funded project, Julia Ekstrom at UC Davis. And
11 she also has additional funding to look at the
12 large water utilities, and is providing that as
13 an external collaboration to the Fourth
14 Assessment.

15 And in this project, they are
16 interviewing and surveying these small utilities
17 to see, what were the lessons they learned in the
18 past drought, that that drought is an experience
19 we have lived through, had to adapt to, that may
20 be a condition that we will see more frequently
21 or more extreme into the future. And so they're
22 really trying to find out, what were the
23 strategies that people used? What were the
24 barriers to being able to adapt those strategies
25 that they had and to, you know, try to see, what

1 are the lessons we can learn from that moving
2 forward in developing our adaptation policies,
3 and where do we have to adjust the policies that
4 we have to allow that kind of adaptation?

5 And similar to Susan, I'll do a plug for
6 a workshop. So on September 20th, just right
7 across the street in the hearing room of the
8 Bonderson Building, they will be holding another
9 workshop to talk about those -- if our existing
10 policies allow that kind of adaptation, or if
11 there are any barriers that need to be addressed.
12 So it is open to the public. You are welcome to
13 attend. And if anybody wants more information,
14 please contact me and I can send you the
15 information on that.

16 And then the last project I'm going to
17 talk about today is the wildfire risk on
18 California's homeowner's insurance market.

19 And so in the map here the green areas
20 are areas where there's not a lot of change in
21 wildfire risk looking into the future. And the
22 browns and the reds are the areas where wildfire
23 risk is expected to increase due to climate
24 change. And in this study they are going to look
25 at two case studies. The first is the Los

1 Angeles area, which already has a high wildfire
2 risk. And in that area the wildfire risk is more
3 sensitive to population change than it is to
4 climate change. And then to contrast that,
5 they're going to look at the Sierra Nevada and a
6 community there and looking at there the wildfire
7 risk is more sensitive to climate change. As our
8 snow levels rise the wildfire risk increases in
9 those forested areas.

10 And so they are going to be able to
11 compare those areas, both in terms of the risk
12 and then the subsequent impacts of that risk on
13 the insurance market. And so the study is
14 looking at how insurance provides a resiliency to
15 those communities who do have wildfire risk. And
16 they want to be able to advise policy makers on
17 the changes in the wildfire insurance market that
18 might be expected under climate change and
19 urbanization, and the subsequent -- and the
20 associated changes to the wildfire risk.

21 So in terms of the timeline of the Fourth
22 Assessment, the research projects are wrapping up
23 now. They are scheduled to be done at the end of
24 2017. The researchers are frantically working on
25 that and drafting their technical reports. Those

1 reports will be peer reviewed in the spring of
2 2018. And the Fourth Assessment will be coming
3 out -- originally it was slated for fall of 2018.
4 Given that the Governor will be holding a summit
5 in California in September, we're anticipating
6 the release will be more July or August of 2018.

7 So thank you very much.

8 MR. STOMS: Thank you, Jamie.

9 Our next speaker will be Guido Franco,
10 who is going to talk about the climate-relevant
11 parameters for the energy sector that Susan kind
12 of teed up this talk with touching on one
13 example. And Guido will talk about that and some
14 other potential parameters.

15 MR. FRANCO: Good morning everybody. So
16 I'm going to be talking about climate-relevant
17 parameters, but only for the energy sector.
18 There are other climate parameters that are
19 relevant to other sectors of the economy, but I
20 will focus, again, on the energy.

21 So what are climate parameters?

22 The climate parameters are weather or
23 climate-related metrics or variables that are
24 used for the design, management, operation or
25 planning of the energy system. If this looks

1 familiar to, I think it's AB 2800, it's pure
2 coincidence. Okay.

3 Why do we need climate-relevant
4 parameters? We have the climates in areas. We
5 have 12 terabytes of data available to us, so why
6 do we need parameters?

7 In part, it's because inundation of data
8 is not helpful if we are not able to translate
9 that into information. And one way to do it is
10 via identification of climate parameters.
11 Instead of -- so I'm going to give you some
12 examples of those climate parameters.

13 One of them has to do with what we were
14 asked from our Demand Forecast Office here at the
15 Energy Commission. So in order to estimate,
16 peak -- in order to estimate the amount of
17 capacity in megawatts that would be needed to
18 satisfy the demand in the hot summer months,
19 forecasters used the 95th percentile, that's the
20 1-in-20 event or the 1-in-10 event, that's the
21 90th percentile. So they asked us how those
22 percentiles will change with the changing
23 climate? And they used 16 weather stations.
24 Here I'll give you an example of one, just one
25 example for Stockton where you can see, they

1 start from the present. The 90th -- I mean 95th
2 percentile will go up substantially. So again,
3 like Susan was saying, there is a need for an
4 electricity system to take these changes into
5 account.

6 Another climate-relevant parameter is
7 cooling degree days. It's the same thing. The
8 Demand Forecast Office told us that they estimate
9 energy demand for space cooling use and
10 heating -- cooling degree days, and for space
11 heating, they use heating degree days. So the
12 same thing, they asked how are they are going to
13 change? So here is one example for Stockton.
14 Again, there will be a significant increase in
15 cooling degree days, an increase in heating
16 degree days. Again, now these numbers are ready
17 to plugged into the Demand Forecast for
18 California.

19 Original parameters. When a utility
20 wants to install a transmission line, they select
21 the material for the wires based on the maximum
22 temperature that the transmission lines would
23 experience in its entire length. So here is
24 another important parameter that we grabbed from
25 the climate projections.

1 Another one related is to the natural gas
2 system. So the natural gas system is assigned to
3 provide natural gas to cold customers, almost at
4 any cost. Basically, they look at the coolest
5 day in a 90-day period. I wish I could tell you
6 that the very cold days are going to go away, but
7 that's not the case. The warming is going to be
8 significant with more increases in high
9 temperatures. But we will still be seeing very
10 cold days in the future.

11 So the other one has to do with a request
12 from Commissioner Randolph. She asked us when --
13 how the region-wide heat waves are going to
14 change with the changing climate? So she was
15 talking about when we would have very hot
16 conditions in California, but also in Arizona,
17 Utah, Nevada. So I thought I was in trouble
18 because our climate projections are only for
19 California. Fortunately, the federal government
20 was looking at us (**indiscernible**) the LOCA, the
21 downscaling technique developed for California
22 was an excellent tool. And they decided to
23 support the implementation of them all on a
24 nationwide basis. So now the LOCA is not only
25 available for California, but available via the

1 federal government at a national scale.

2 So having that information, what I did
3 with the study is to go and look at, I mean, how
4 the region-wide heat waves will change the
5 future. As expected, the historical period, they
6 are very rare. But look at the next decades -- I
7 mean the next 10, 20, 30 years, up to 2050. They
8 go up. They become more frequent. But not only
9 that, like Susan was saying, they become more
10 intense.

11 -So a little bit of background. There
12 was a note in Science -- I'm sorry, in Nature, a
13 highly prestigious scientific journal, saying
14 that we would have three years to save our
15 climate, the note that was cosigned by Governor
16 Brown, basically saying that global emissions can
17 increase for the next three years, and then must
18 come down substantially if we have -- if we want
19 to be able to comply with the Paris Agreement.
20 And the Paris Agreement is to limit warming to no
21 more than two degrees C.

22 So one potential climate parameter that I
23 suggest could be used for California is assume
24 the best scenario. And the best scenario is the
25 climate agreement -- the Paris Agreement will be

1 achieved. And some people believe that that's
2 impossible now, but let's assume that's possible.

3 So what will be the implication of
4 California with a global compliance with the
5 Paris Agreement?

6 So the graph is the -- the graph,
7 obviously, is the classical graph showing
8 increases of temperatures with years. And we
9 have two representative global emission
10 scenarios. That doesn't help us because what --
11 I don't have it here, but there is -- we have a
12 limited amount of carbon, additional carbon that
13 could be immediately (indiscernible) for that.
14 And exceeding that amount will negate the
15 achieving the Paris goals.

16 So what we did is -- what we did is
17 last -- I mean, what we reported in the 2016
18 IEPR, the idea doesn't come from us. This was
19 done at the global scale. Our innovation is
20 (indiscernible) for California, we found the same
21 very beautiful relationship between temperatures
22 and cumulative, global cumulative emissions.

23 Since we have -- since the -- doing it
24 that way, we have a very simple relationship
25 between temperatures and cumulative global

1 emissions, not only at a global scale, but also
2 for California, and even onto the local scale,
3 the grid cell that's not shown here.

4 So the red area shows compliance with the
5 Paris Agreement. And what we find is that
6 temperatures in California will go up from the
7 present levels from 1.6 to 2.8 degrees
8 Fahrenheit. And that's on top of the warming
9 that California has already experienced since
10 1895 of about two degrees Fahrenheit. So my
11 suggestion is that at a minimum, California
12 should start preparing for this level of warming.

13 Concluding remarks. So I think -- I hope
14 I convinced you that climate parameter are --
15 climate-relevant parameter are useful tools to
16 engaging in conversation, to connect with
17 stakeholders and petitioners. I think Brian will
18 give some examples, I believe. And finally, I
19 mean, some of the suite, some of these climate
20 parameter will be available eventually in Cal-
21 Adapt.

22 So with that, thank you very much.

23 MR. STOMS: Thank you, Guido.

24 So now we'll change course slightly and
25 have -- hear from the IOUs, instead of from state

1 agencies. So our first speaker is Brian
2 D'Agostino from San Diego Gas and Electric, who
3 will talk about a couple of vulnerability and
4 adaptation studies that are being done as part of
5 the Fourth Assessment.

6 MR. D'AGOSTINO: Yes. And thank you very
7 much.

8 Good morning everybody. It's certainly a
9 pleasure to be here and give an update on our
10 latest projects.

11 One thing I wanted to mention is a big
12 part of our climate resilience, our partnership
13 in the DOE, the Energy Sector Climate Resilience.
14 That's a big component. Also, being a National
15 Weather Service storm-ready organization, and
16 then having NOAA recognize us as part of their
17 weather-ready nation, just something that I think
18 goes a long way in our ability to anticipate and
19 prepare for some of these extreme weather events
20 that we face.

21 But really what we're here to talk about
22 specifically is a status update on our Fourth
23 Climate Change Assessment project. We're looking
24 closely at both the electric system and the
25 natural gas system, looking at adaptation

1 options. And this is where we're integrating a
2 lot of these tools. Technically, we have two
3 separate projects, but we are treating them as
4 one. We're looking at all threats to the natural
5 gas system. And this is based on San Diego.
6 But, of course, with Southern California Gas
7 Company, there are very close ties, of course,
8 with our engineering. So this ends up spanning
9 across both companies, even though we're really
10 focused on San Diego.

11 And when we look at the overall task,
12 step one was a really in-depth literature review,
13 try to understand what has been done out there.
14 And this is a place where our partnership in the
15 DOE has really helped, because the connections
16 there enabled us to start working with East Coast
17 utilities, Gulf utilities, and start
18 understanding best practices, so a very valuable
19 piece.

20 The next piece is where we really
21 leveraged lots of Cal-Adapt data. And I have
22 more examples of that coming up. But that's
23 where you take the Cal-Adapt data and really look
24 asset by asset at SDG&E's system, and we can
25 start to closely identify exactly what the

1 vulnerabilities are.

2 And that brings us to where we've been
3 over the last several months and where we're
4 going to spend the rest of this year, and that is
5 taking everything that we learned from that
6 asset-by-asset study and presenting it to subject
7 matter experts around the company. So we've held
8 workshops and started presenting all of that
9 data.

10 So overall, exactly what we're trying to
11 get at with these workshops is direct impacts of
12 the coastal hazards, you know, when we're looking
13 at the energy system, and then with the natural
14 gas, you know, all the hazards, you know, how
15 does wildfire impact the natural gas system and
16 things like that, so that our researchers, ICF,
17 can give really targeted adaptation options as
18 our next step.

19 So on Monday, May 22nd of this year, we
20 had our first workshop. It was -- we held it at
21 SDG&E. And it was in our Emergency Operations
22 Center. And you can see these organizations that
23 were represented. You know, part of our role was
24 to pull in the leadership from the company, so
25 the head of Grid Modernization, Risk Management.

1 I know I heard we talked about the risk
2 assessment mitigation phase. So that all got
3 tied into these workshops. Emergency Management,
4 Electric Transmission and Distribution
5 Engineering and Construction Services, leadership
6 from our insurance groups, we all came together.
7 And as part of this project, this very detailed
8 information was laid out for this group.

9 And then we even went in and picked two
10 very focused scenarios. So one would be a
11 coastal flood event in our Mission Valley -- or
12 our Mission Beach facilities. And then from there
13 this scenario was presented to these groups to
14 get all of them really thinking about, okay, what
15 do we have to be thinking about as a utility from
16 all these different organizations within. So
17 that was really how we started the day.

18 The next day, we did the same thing for
19 the natural gas system, but we actually did it up
20 at the Gas Tower in Los Angeles because we've
21 been working so closely with the gas engineering
22 from the Southern California Gas Company on this
23 particular project. You know, some of the images
24 that you're seeing there, in the upper right
25 you're looking at, again, just for demonstration

1 purposes only, you're looking at landslide
2 potential on the natural gas system. In the
3 lower right you're looking at all natural gas
4 system with very high resolution fuels modeling
5 which tells us where native vegetation is, so we
6 can really begin to understand wildfire threat to
7 the natural gas system, something that we've done
8 very closely in San Diego, of course, already
9 with the electric system.

10 So how we set up after that morning, all
11 of this information was presented to all these
12 different organizations. And then we had
13 breakout sessions in the afternoon, and we broke
14 it into two groups; one really looked at the
15 engineering and the operation of the system, and
16 then the other group really looked at the
17 enterprise risk where we got into the ramp
18 discussions and the insurance discussions and
19 took that side of it.

20 And the questions that were presented to
21 all of these subject matter experts were really,
22 what are your initial reactions from all of this
23 data that was presented to you this morning?
24 What's going to be problematic? What are some of
25 the key issues that we're seeing? And what are

1 the specific types of infrastructure or services
2 that would be impacted? I mean, we really
3 started getting into the details where, I mean,
4 we're listing out all the substations. And
5 they're saying, well, that substation would be
6 higher impact because of this one, because of
7 voltages. And, I mean, we really started getting
8 into some of the nuts and bolts of kind of the
9 hazard-by-hazard approach to this.

10 We then, after those breakout sessions,
11 we reconvened altogether and started looking at
12 interdependencies, I mean, took that step back
13 and, you know, looked at some of the indirect
14 impacts that we could be experiencing. And this
15 whole time, ICF International, who's working with
16 us on this project, is, you know, vigorously
17 taking notes and bringing this back so that it
18 can go into the analysis that is being conducted
19 right now.

20 So now we head into what are some of our
21 next steps? Our next steps, we've just scheduled
22 our next round of workshops, which will be in the
23 middle of October. And that's when ICF starts to
24 come back and we reconvene all of these experts
25 from around the organization and start saying,

1 okay, these are options. This is what we can do
2 for adaptation options, you know, really,
3 likelihood, consequences. And as we prepare for
4 this, some of the discussions are getting very
5 targeted, where we're starting saying, okay,
6 well, the outside junction boxes, the electronic
7 components are three feet high in the box instead
8 of one foot.

9 So, I mean, we're really getting into the
10 weeds here to say, you know, two feet of tidal
11 inundation would be okay, but three feet
12 wouldn't. And, I mean, we're really getting into
13 the details now, looking at the coastal system.
14 So we're expecting some very productive workshops
15 as a next step as we head into October.

16 As we look at lessons learned, going
17 through this process has created an awareness
18 among different groups in the company. So it's
19 really been an opportunity to educate a lot of
20 the engineering groups and insurance groups and
21 risk groups about the difference between
22 mitigation, how we've always viewed it, and now
23 adaptation, which we're focusing on now.

24 So some examples, and this is another
25 great way that we've been leveraging Cal-Adapt

1 recently, is even over the summer there's a new
2 compressor station being built up in Blythe from
3 the Southern California Gas Company. And we've
4 done full analysis using Cal-Adapt. And Susan
5 and I, we've had the chance to follow up on it
6 and talk about the experience, which has been
7 good. But, you know, we're really taking it into
8 account there.

9 As we heard, Guido mentioned those design
10 standards on the transmission lines coming in
11 now. And we're using Cal-Adapt and providing all
12 that information to our transmission design folks
13 so we can actually update the standards so any
14 transmission line being built in the future will
15 now be using this, you know, what we expect over
16 the next 30 years, instead of the last 30, so
17 really starting to be forward thinking there.

18 And then we also mentioned the
19 development of new routes where transmission
20 lines are to be built. These groups now are
21 bringing them through our office saying we're
22 looking at these different routes, and we're
23 using Cal-Adapt to say these different routes
24 might have slightly different impacts and
25 different climate components that could be taken

1 into account, even though the design process. So
2 we're certainly excited how this has been moving
3 forward. I'm happy to provide an update.

4 And that will be that. Thank you.

5 MR. STOMS: Great Brian. Very exciting.

6 And now our last speaker, and we're
7 actually well ahead of schedule at this point,
8 our last speaker will be Scott Tomashefsky from
9 the Northern California Power Agency to give kind
10 of a look at how these tools and the climate data
11 that we're heard about in the previous talks, how
12 that might be helpful to the publicly-owned
13 utilities.

14 MR. TOMASHEFSKY: Thank you, David. And
15 then I won't take a half-an-hour, even though you
16 said we're way ahead of schedule.

17 So I do want to thank you for asking me
18 to be here. I know this is sort of a
19 continuation of the conversation that started
20 last June when we had our first adaptation
21 workshop. And, you know, Commissioner Douglas
22 has had a lot of involvement in kind of following
23 along with that. And we've had some good
24 conversations.

25 And to our membership, and I think just

1 to back up just for purposes of NCPA, we
2 represent 16 municipalities, 15 retail utilities.
3 Our footprint extends from the coastal regions
4 down as far south as Lompoc up to Redding, now
5 Shasta Lake. We have a number of members in the
6 Bay Area, and also up in the Sierras. So we like
7 to at least think that we are a representation of
8 the typical California consumer. So from that
9 standpoint the question of adaptation and how it
10 fits into the public policy discussion becomes a
11 big deal for us.

12 And I think our eye-opening event was
13 really the Butte and Valley fires in 2015. That
14 sort of got us into the conversation. And that
15 also got us into a dialogue here at the
16 Commission.

17 So just in terms of recapping that event,
18 we have a situation in a period of three or four
19 days where we had our geothermal plant at risk
20 with the fires up in Lake County. And then, of
21 course, we had the fires up by Murphy's, along
22 Calaveras County and that way. What happened in
23 that particular instance is the wind direction
24 changed. So the fact that the wind changed was
25 really the only thing that saved the watershed.

1 But if you talk to our generation folks, their
2 conclusion is that it's not a matter of if, it's
3 just when at this point. You've got watersheds
4 to the south and north of us that have burned. We
5 haven't burned in our particular area for
6 probably about 100 years.

7 So in terms of how that all fits into the
8 equation, wildfires becomes a big issue for us.
9 And the fact that Cal-Adapt actually provides an
10 essential repository for a lot of this
11 information to make some of those arguments now
12 takes the conversation away from trying to
13 rationalize what the data is that you're using to
14 justify some of your points, but actually allows
15 you to go beyond that to say, okay, we recognize
16 that this is the same dataset. Therefore, it's
17 really important to be able to say, okay, what is
18 it showing, and how do you go from that
19 standpoint.

20 Now having said that, when we start to
21 look at Cal-Adapt and the ways it can be used,
22 there's a micro aspect of how does it help your
23 local utility, and then how does it help some of
24 the more regional issues? And when we talk about
25 local, in many respects, if you look at an

1 example, if you look at one of our utilities that
2 has a footprint of three square miles, wildfires
3 is not an issue. It's in the middle of a
4 particular region. But yet the things that it is
5 involved in, in terms of generation resources,
6 makes it an important issue for them. So even
7 though from a micro standpoint something might
8 not be as relevant, it becomes much more relevant
9 in the grander scope of how generation is
10 accessed, and then, also, how that fits in the
11 public policy.

12 From the standpoint of a micro issue,
13 heating and cooling days, as an example, is very
14 helpful in the sense of trying to understand what
15 your average customer bills are going to be when
16 you start to get into the policy discussion on
17 where utility rates are going and those types of
18 impacts, the importance of how distributed
19 resources fits into that, energy efficiency. It
20 changes the dynamics of how you can address the
21 issues. It's not just a matter of, well, my
22 average bill is \$100. Now my average bill is
23 going to be impacted by the fact that your number
24 of heating and cooling degree days are going to
25 change. It changes the dynamics. It changes how

1 you deal with building standards. It changes a
2 lot of the things that this agency looks at in
3 terms of things it's doing to try and reduce
4 energy load, so it's important in that sense.

5 Sea level rise becomes an important issue
6 for a number of our members in the Bay Area. And
7 they're involved in their respective groups in
8 addressing that particular issue. But the fact
9 that there is data that can be relied on as a
10 point of reference for us to have those
11 conversations is extremely important.

12 Getting back to the issue of wildfires.
13 When we had our fire in the geothermal plant,
14 what it did, it did not necessarily damage the
15 plant, because we've had so many fires over the
16 years where it really kind of took most of that
17 stuff away. Calpine had a lot more damage than
18 we did, although it did take out our entire
19 transmission system that went out to the main
20 system in Lake County. And that was about a
21 million-dollar repair to fix that. And, of
22 course, insurance covers that. But insurance now
23 changes in terms of what you can get and what you
24 can't get. It changes the cost and the dynamics,
25 very important there.

1 The other issue from a policy standpoint
2 is we did have a short-term interruption in terms
3 of geothermal generation. For us, it wasn't
4 quite as long as it was for Calpine. But if you
5 start to look at it from the perspective of you
6 take a hydroelectric plant out of service because
7 of a wildfire, and you're trying to have the same
8 conversation on SB 100 in terms of a 60 percent
9 RPS and 100 percent Clean Energy Standard, you
10 start to think about the importance of how that
11 fits into the equation. So you start to get into
12 questions about funding and prioritization of
13 state funds, and how does the federal government
14 fit into some of the objectives of dealing with
15 vegetation management and the like? So it
16 becomes an important issue.

17 I will also add, and the other eye-
18 opening impact was last year with Lake Oroville,
19 as much as that's a state water project issue,
20 two of our members are within about a half-an-
21 hour of the 30-foot wall of water. So when they
22 evacuate and it's our smallest two members within
23 the NCPA membership, it's a big deal. So you
24 start to look at these things differently. So
25 getting engaged in these conversations, finding

1 ways to look at it from a micro perspective, and
2 also a macro perspective, becomes extremely
3 important.

4 I appreciate the reference to Truckee
5 Donner on that. I will say that they had some
6 significant challenges this year just dealing
7 with the snow, one after the other. And then, of
8 course, you're dealing with runoff, as well. So
9 the fact that that's part of a way that you can
10 look at this information is important. And even
11 though there's different models that show
12 different things, it allows you to at least step
13 back and take a different perspective on that.
14 So even at the smallest of the smallest
15 utilities, there are important conclusions and
16 things that you can reach out of Cal-Adapt, which
17 we would definitely endorse whatever work needs
18 to be done to keep working in that regard.

19 So just to summarize, there's always the
20 issue of how do all public utilities play in a
21 lot of these environments? With respect to
22 adaptation, there are things we are certainly all
23 doing, whether it's just dealing with our own
24 systems, or if it's getting into the greater
25 public policy debate. We have made a point over

1 the last year-and-a-half, and at least I'll throw
2 my little pitch in here again, never looking for
3 funding for us for this work, it's more looking
4 for funding for more things related to what CAL
5 FIRE does with forest health. And the \$49
6 million that has been allocated into the
7 Greenhouse Gas Reduction Fund is a start, but
8 it's not nearly -- I would argue it's a
9 disproportionate percentage of really what's
10 needed to address the issues. Because if you
11 look at some of the data that they show in terms
12 of greenhouse gas reduction savings, there's a
13 lot of reduction savings that comes out of that.

14 The state is still looking at trying to
15 finalize its inventory. You've got the forest
16 action plan that's part of that, as well. And
17 once that gets put into the equation, you start
18 to look at the entire climate program. And as
19 much as we're trying to do in the electricity
20 sector and the transportation sector, if we don't
21 deal with some of these adaptation issues,
22 specific on the wildfire side, we will never get
23 to our goals. And that will actually probably
24 blow our goals out of the water.

25 I would note, also, just to -- it's nice

1 to see the announcement from CAL FIRE about the
2 Forest Health Grants. I think that's a move in
3 the right direction. But it would be really nice
4 to have much more funding that's applied towards
5 vegetation management and wildfires.

6 And with that, I'll stop.

7 CHAIR WEISENMILLER: Yeah. Actually,
8 some follow-up questions for folks. It might be
9 easiest to start with Scott, just given the flow.

10 So, as you know, one of the reforms we
11 went through when we went from PIER to EPIC was
12 really a focus, on the EPIC, on the IOUs. They
13 were the funders and it sort of focuses. And
14 trying to figure out if we need to do better?
15 You know, presumably, you, all the POUs, have
16 their own funding for R&D adaptation research.
17 Are there things we can do to better coordinate
18 there?

19 MR. TOMASHEFSKY: Well, I think
20 conversations like this are helpful. To the
21 extent that there's value on your end for us
22 being involved in those dialogues, I think that's
23 very important.

24 The other question -- there's always that
25 question of funding that --

1 CHAIR WEISENMILLER: Right.

2 MR. TOMASHEFSKY: -- that becomes
3 problematic. And in some respects you could look
4 at it in a number of ways. There's the fact that
5 we're not involved in EPIC funding. Okay.

6 CHAIR WEISENMILLER: Right.

7 MR. TOMASHEFSKY: That's the reality --

8 CHAIR WEISENMILLER: Right.

9 MR. TOMASHEFSKY: -- of things. And so
10 there's always that question of equity, which I
11 would say that if it's a state issue that's
12 important, there's perhaps a way to address some
13 of the IEPR funding so that some of the funding
14 addresses statewide planning efforts.

15 CHAIR WEISENMILLER: But again, how much
16 are you guys spending in this area now?

17 MR. TOMASHEFSKY: What are we spending in
18 there?

19 CHAIR WEISENMILLER: Yeah.

20 MR. TOMASHEFSKY: Well, within the EPIC
21 program, we're not spending at all.

22 CHAIR WEISENMILLER: I know, but I mean -
23 -

24 MR. TOMASHEFSKY: So that, that's --

25 CHAIR WEISENMILLER: -- you have our --

1 you know, you have no -- you have a surcharge.

2 You have --

3 MR. TOMASHEFSKY: Right.

4 CHAIR WEISENMILLER: We're certainly not
5 poking around at what you're doing with it, but
6 I'm hoping some of it's going there, so --

7 MR. TOMASHEFSKY: Well --

8 CHAIR WEISENMILLER: -- in this topic, so
9 how much?

10 MR. TOMASHEFSKY: Well, the -- let's put
11 it this way, in terms of our addressing the issue
12 on forest health and vegetation management, it
13 becomes less of a question of R&D funding, but is
14 trying to deal with the proactive nature of
15 addressing the issue from a public policy
16 standpoint. So our involvement in a lot of that
17 has been more from the public policy, to date, to
18 try to get additional funding for these
19 particular areas. We've made that pitch on a
20 number of occasions over the last couple of
21 years. It has not been focused on the funding
22 the development of the tool itself.

23 CHAIR WEISENMILLER: Yeah, but again, how
24 much are you guys spending to try to address
25 these problems?

1 MR. TOMASHEFSKY: Within our memberships?

2 CHAIR WEISENMILLER: Yeah.

3 MR. TOMASHEFSKY: Not directly. We're
4 not spending directly on this --

5 CHAIR WEISENMILLER: Okay. Now how about
6 reaching out --

7 MR. TOMASHEFSKY: -- (indiscernible).

8 CHAIR WEISENMILLER: -- to your
9 communities again so that the communities
10 generally can start -- you're all very well
11 connected to your --

12 MR. TOMASHEFSKY: Right.

13 CHAIR WEISENMILLER: -- local government.
14 So --

15 MR. TOMASHEFSKY: Right.

16 CHAIR WEISENMILLER: -- again, how much
17 of your expertise can go back to them to help
18 them start thinking about these issues?

19 MR. TOMASHEFSKY: Well, it's part of
20 the -- from a financial standpoint it's different
21 just in terms of the staffing and priorities that
22 we do in terms of bringing those messages across.
23 We'll bring those messages to Sacramento on a
24 number of occasions. We will clear -- we'll put
25 that as one of our priority issues when we have

1 our public power data that we come out with every
2 January. There's follow-up discussions that occur
3 there. We're also part of a number of
4 legislative debates on a lot of those issues,
5 whether it's more direct, as it has been in
6 previous years, or indirect through involvements
7 with this. The conversations I've had with
8 Commissioner Douglas and Staff has been designed
9 to try and find ways that we can utilize some of
10 the value that's in here, too, as I would argue
11 is trying to add to the conversation, as opposed
12 to not adding value to it.

13 So our objective is really adding value
14 to the state conversation on dealing with
15 vegetation management. It's not intended to say,
16 well, how much are we budgeting for that
17 particular thing? We do that as part of the
18 general things that we address when it comes to a
19 lot of the legislative and regulatory work that
20 we do.

21 CHAIR WEISENMILLER: Okay. Well, how
22 about to the extent you're looking at building
23 infrastructure, how do you take into account
24 climate change?

25 MR. TOMASHEFSKY: I would -- in --

1 CHAIR WEISENMILLER: Into -- your
2 planning for infrastructure, new infrastructure?

3 MR. TOMASHEFSKY: Well, when we're
4 dealing with our municipalities, we have our
5 systems that we're addressing as far as dealing
6 with meeting their loads. In terms of dealing
7 with specific projects and transmission projects,
8 we've been involved in certain things. There's
9 different planning areas and different balancing
10 authorities that are not represented within the
11 NCPA membership that do a lot of that work, as
12 well. We are also involved in some of the
13 conversations that go on there, as well.

14 CHAIR WEISENMILLER: So switching gears,
15 one of things I think we'll probably hear from
16 Melissa Lavinson this afternoon as one of PG&E's
17 concerns is access into the forest to really
18 start dealing with some of the forest health
19 issues.

20 MR. TOMASHEFSKY: Right.

21 CHAIR WEISENMILLER: What are you guys
22 doing in that area? Are you finding similar
23 problems or, you know, how, again, how do we move
24 that along?

25 MR. TOMASHEFSKY: Well, it is a problem.

1 We've had problems with trying to get some of the
2 residual runoff that's come into our reservoirs
3 and trying to find places to take that material
4 and bring it back. And we have had some
5 resistance from some of the federal agencies in
6 terms of trying to get the sludge out of there,
7 if you will, you know, getting some of the stuff
8 that kind of comes down and gets caught in our
9 reservoirs.

10 So we're looking at those type of things.
11 We have to work with some of the federal agencies
12 to deal with some of the roads that have been
13 washed away with some of the problems we've had
14 over the years. So we're working with them to
15 try and get access to improving things when we
16 have problems that occur at our particular
17 plants. Last year we had a number of issues with
18 respect to, you know, just all the deluge of rain
19 and snow, just trying to get access to our
20 watershed.

21 CHAIR WEISENMILLER: And what about -- I
22 mean, to the extent you have areas where, you
23 know, you have transmission facilities in forests
24 which have not been hit for a long time, what are
25 you doing to deal with their forests out there,

1 to make sure that they're just not a fire, you
2 know, waiting fire bomb?

3 MR. TOMASHEFSKY: Yeah. We'll have to
4 check with some of our other folks that are
5 involved in that.

6 CHAIR WEISENMILLER: Okay. Anything else
7 for Scott, before we go onto Brian? Okay. Yeah.

8 So, Brian, I was pretty impressed. I
9 guess I was trying to understand, how much does
10 SDG&E work out -- reach out to the community
11 there to really get them sensitized to the issues
12 you're identifying for --

13 MR. D'AGOSTINO: Right now a lot of the
14 community outreach that's happened in the past
15 has been around wildfire. So there is a
16 Community Fire Safety Program which has been
17 developed, and it's really reaching out to all of
18 the 52 fire agencies. And then through that,
19 there are full-time employees that their job is
20 going community to community. And, you know, we
21 just went through an approved outreach bulletins
22 that get sent to all of our customers with
23 targeted ones and what we determine our highest
24 risk fire area, really encouraging people to
25 establish their fire preparedness plan, and then

1 also sharing a lot of the data that we've
2 developed, so that's really there.

3 When we start looking at some of these
4 newer hazards, like with the Fourth Assessment
5 project, it's -- right now we're -- I think it's
6 a tier sponsor of the Climate Collaborative in
7 San Diego.

8 CHAIR WEISENMILLER: Uh-huh.

9 MR. D'AGOSTINO: And then I'm personally
10 a member of their Sea Level Rise Group. So we
11 meet, and that helps us to interface with all the
12 coastal communities. In most cases they're
13 sending consultants to represent each of the
14 cities.

15 CHAIR WEISENMILLER: Uh-huh.

16 MR. D'AGOSTINO: But we're always there.
17 And that kind of helps us understand the coastal
18 hazard and how each city is looking at it, and
19 then really the approach that each city has
20 taken, which helps us, you know, work with them
21 and interface with them.

22 So those have been the two main ways
23 we've been working with kind of that public
24 engagement.

25 COMMISSIONER RANDOLPH: Yeah. I was

1 going to follow up on that.

2 So once you've had the opportunity to
3 finish your research and kind of do this work on
4 these other topics, you guys have done such a
5 great job of interacting with the community on
6 wildfire, do you anticipate, you know, sort of
7 being able to spread that to these other issues
8 that you're looking at?

9 MR. D'AGOSTINO: Yeah, certainly hoping
10 to. And the Climate Collaborative, which I know
11 is a statewide organization, just that, I think
12 that's kind of our gateway to do that.

13 COMMISSIONER RECHTSCHAFFEN: Brian, I was
14 going to ask you to follow up on one of your last
15 slides where you were talking about how you've
16 used Cal-Adapt in the design of the new Blythe
17 Compressor Station. And then you mentioned, and
18 I wasn't quite clear, you mentioned it's in some
19 of the new routing and some of the new design
20 standards. And your slide talks about how it's
21 in some of the system partnering projects. It
22 sounds like you're in a transition.

23 But my question really is: Are you
24 systematically -- are you now or are you planning
25 to systematically do that so that if there's a

1 new project, you will look at Cal-Adapt and look
2 at the location where you're developing it and
3 what the conditions are predicted under a range
4 of climate scenarios and plan accordingly?

5 MR. D'AGOSTINO: Yeah. And there's
6 really two approaches on how we've seen it.

7 One of the main approaches, you know, we
8 just have launched a major project to harden
9 Cleveland National Forest. I know it was a long
10 time in the making. And one of the main
11 priorities is saying all of the design standards
12 that go into the rebuild of Cleveland National
13 Forest have to be taking into account the latest
14 climate information. So that's where we started
15 looking at transmission design standards, making
16 sure that those ambient temperatures are all what
17 should be going into the design. And then it
18 also looks in -- so that's one kind of initiative
19 that we're looking at.

20 And then once we've started with
21 transmission and made sure that, you know, they
22 have all the information that they need to update
23 those design standards, then we kind of look at
24 distribution. Because we have an ongoing project
25 which we call FRM, the Fire Risk Mitigation

1 Project, which is going to be a major rebuild of
2 the back country of San Diego. So the same
3 thing, is that we want to make sure we're taking
4 into account the latest climate information on
5 all the distribution rebuilds for fire hardening,
6 you know, not just going to steel with proper
7 spacing and everything else.

8 But the most recent conversation we had
9 was even in the last week, saying we really need
10 to understand the flood zones so that we --
11 instead of putting the distribution poles, you
12 know, six feet or per the, you know, design
13 standards, we go an extra three feet to account
14 for runoff and other things.

15 So these are some of kind of the problems
16 or the issues that we're working on now, is
17 really understanding some of those.

18 When we talk about Blythe, it's slightly
19 different. And that's kind of the same approach
20 when rebuilding the South Bay Substation in the
21 past. We looked at one particularly major
22 project and did kind of a side study just for
23 that.

24 So at the same time we're, you know,
25 looking to update all the standards. When the

1 major project came up at Blythe, we looked
2 specifically at that to give operating
3 temperatures and other things over the lifespan
4 of the asset.

5 COMMISSIONER RECHTSCHAFFEN: Okay. Thank
6 you.

7 CHAIR WEISENMILLER: Yeah.

8 COMMISSIONER SCOTT: Brian, I had a
9 question for you. I think the work that you
10 presented that SDG&E is doing is really
11 impressive and very exciting to hear about.

12 I am wondering if -- and I recognize that
13 the solutions and the priorities are going to
14 kind of change region by region, you know,
15 whether you're in the desert versus on the coast,
16 or something like that. But is there a forum
17 where the utilities across both the POU's and the
18 IOU's are able to share some of this information
19 so that you're not recreating the wheel or each
20 doing kind of the same study in the same space,
21 or how are you crossing utilities to share this
22 data and information?

23 MR. D'AGOSTINO: Yeah. Starting with the
24 Department of Energy Partnership for Energy
25 Sector Climate Resilience, that really

1 established the connections between the utilities
2 on this specific topic. We've taken it upon
3 ourselves to do occasional meetings and, you
4 know, also have coordinated closely with SMUD
5 through this process as part of the partnership,
6 so we continue to network. I know we're right
7 now planning to all get back together in D.C. in
8 November, so that's how we're looking at it.

9 A lot of it is sharing methodologies, as
10 opposed to data itself because it's so finite and
11 asset-by-asset driven that, you know, it becomes
12 more how are you approaching this and vice versa?
13 And then as we get more into the
14 interdependencies, I think that's where we're --
15 we continue to look into the future. It's
16 something we're diving into now, but
17 understanding it's a larger scale, you know,
18 understanding what's going on outside with our
19 neighbors and other things, which we're looking
20 at now.

21 COMMISSIONER SCOTT: Great. Thanks.

22 CHAIR WEISENMILLER: Just following up on
23 a similar question I had with Scott, what's been
24 your experience with Forestry, you know, in terms
25 of getting into Cleveland National Forest to deal

1 with issues?

2 MR. D'AGOSTINO: My understanding is
3 there's been a very large effort with persistence
4 that's taken a long time establishing a Master
5 Use Agreement. Again, somebody else would be
6 able to speak to it with more direct experience.
7 A lot of this is secondhand. But I know it was a
8 long process getting the agreements in place to
9 go in and initiate the CNF Project. But I know
10 all that's done and through. And, you know, the
11 project, I believe it actually kicks off the end
12 of this year.

13 CHAIR WEISENMILLER: Great. So if you
14 can submit something? Obviously I'm not trying
15 to get into finger pointing as much as finding
16 some solutions on these issues.

17 MR. D'AGOSTINO: Yeah. You asked me
18 to --

19 CHAIR WEISENMILLER: So if you can follow
20 up in writing, that would be good --

21 MR. D'AGOSTINO: Yeah. Absolutely. I'll
22 do that.

23 CHAIR WEISENMILLER: -- particularly if
24 you've got a Master Use Agreement, that would
25 probably be good to get in the record.

1 MR. D'AGOSTINO: Okay.

2 CHAIR WEISENMILLER: Okay.

3 MR. D'AGOSTINO: Great.

4 CHAIR WEISENMILLER: Thanks.

5 Switching gears a little bit, I think
6 Guido talked about the importance of having
7 standard scenarios for planning. And I wanted --
8 you know, obviously, it was great today to see
9 not only Cal-Adapt, and hopefully how that can
10 become a real tool for the utilities and everyone
11 in their planning, but also to hear from Scott on
12 the Climate Console. You know, it's a different
13 model, obviously, coming out a different history.

14 But I wanted to make sure that the
15 scenarios in Scott's Climate Console match the
16 ones that Guido is trying to and we are trying to
17 make sure we use universally on the climate side.

18 Scott?

19 MR. FLINT: Mr. Chairman, that's, yeah,
20 that's a consideration that we have too. And
21 our -- we built our product, the things we're
22 working on, to be pretty modular so changes and
23 updates are easy.

24 I'd be happy to sit with Guido and work
25 on what part of his scenarios seem to make sense

1 for the bigger landscape picture that we're
2 looking at.

3 CHAIR WEISENMILLER: Yeah. I guess the
4 basic instruction is I want to make sure that the
5 scenarios Guido is pushing to be used generally
6 are precisely the ones used in your model --

7 MR. FLINT: Yeah.

8 CHAIR WEISENMILLER: -- just to be clear.

9 COMMISSIONER RECHTSCHAFFEN: Can I just
10 ask, Guido, the parameters you identified, are
11 they proposed ones that the CEC is working on? I
12 wasn't quite clear what the status of the
13 parameters are. It sounds like they're somewhat
14 of a working concept. Are they --

15 MR. FRANCO: Yeah. It's a --

16 COMMISSIONER RECHTSCHAFFEN: -- being
17 proposed?

18 MR. FRANCO: -- working concept. So in
19 the 2017 IEPR, will be (indiscernible) that we
20 need more information about the parameters. And
21 ideally in one year from now, let's say, all of
22 that will be in Cal-Adapt. So when, for example,
23 the Demand Forecast Office is going to do their,
24 next year, Demand Forecast, instead of contacting
25 us to get information, they can go directly to

1 Cal-Adapt and get it there.

2 For San Diego Gas and Electric, for
3 example, if they're going to -- this is a
4 hypothetical example -- you know, they're going
5 to have another transmission line, I mean, there
6 will be something in Cal-Adapt that will be
7 customized to make the job much easier.

8 COMMISSIONER RECHTSCHAFFEN: And who's
9 working on -- under who's umbrella are the
10 parameters being developed? Is it part of the
11 IEPR? It is part of what OPR is doing with the
12 Executive Order on Adaptation Resilience, or
13 who's doing it?

14 CHAIR WEISENMILLER: Yeah. I think,
15 Cliff, I think our theory has been in the last
16 couple of years is that if we adopt scenarios
17 here for this purpose and make sure that we have
18 a good vetting process with you, with the PUC as
19 part of it, then the PUC can take official notice
20 of it as it's setting what it needs the utilities
21 to do in their planning. So the notion is to try
22 to have at least a central base. And again, this
23 is precisely the reason for today, is to probe on
24 what's going on here and how do we make sure the
25 PUC is comfortable. But it seems really

1 important that we have the same scenarios being
2 used at the PUC on the planning, the
3 infrastructure planning, as coming out of the
4 best science here.

5 COMMISSIONER RANDOLPH: So I just want to
6 make sure that we're sort of talking about
7 scenarios versus parameters; right? And I think
8 for the scenarios -- well, I'll make my second
9 point first.

10 So my understanding, and correct me if
11 I'm wrong, is that the parameters would be
12 developed in -- as part of the IEPR, and then we
13 would be able to take notice of that.

14 Now back to the scenarios, Scott
15 mentioned that the Climate Console has four
16 scenarios. And then Susan was also talking about
17 the four main scenarios that Cal-Adapt has. And
18 so following up on your question, are those the
19 same four scenarios, or does Climate Console need
20 to be updated to reflect what Cal-Adapt landed
21 on?

22 MR. FLINT: So as far as the datasets,
23 we're now using the same. As we've built from
24 the DRECP's Climate Console to the statewide,
25 we're adopting and using the same datasets.

1 We also, from a scenario perspective,
2 we've looked at one, which is the 8.5 scenario,
3 which is one of the scenarios, if you're talking
4 about climate scenarios, which is one of the
5 scenarios Cal-Adapt uses. We just -- our models
6 don't -- our model data just isn't showing the
7 other scenario that's in Cal-Adapt right now.
8 But you could get the same data from Cal-Adapt,
9 so we don't want to duplicate. We don't
10 unnecessarily want to duplicate that.

11 MR. FRANCO: And one comment. This is --
12 so, I mean, the Energy Commission, we have
13 funding from EPIC and from natural gas. So
14 whatever we do in Cal-Adapt has to be for the
15 energy sector. But there are plenty of
16 parameters for other sectors of the economy. For
17 example, for agricultural, chill hours is
18 important climate parameters. And chill hours
19 are the number of hours that are between a
20 certain temperature range that are good for
21 crops, like almonds and (speaking Spanish). How
22 do you say that?

23 UNIDENTIFIED FEMALE: Peaches.

24 MR. FRANCO: Peaches. Yeah.

25 So for civil engineering, you know, for

1 the design (indiscernible) system, they need to
2 use the maximum hourly precipitation. And they
3 are not related to the energy sector, and
4 therefore we cannot, that's my understanding, use
5 EPIC of natural gas funding to develop those type
6 of parameters.

7 CHAIR WEISENMILLER: But hopefully, if
8 the parameters and scenarios you're developing
9 can be used for like telecommunications or water
10 utility infrastructure planning, that that could
11 be useful to the PUC, although we're not, per se,
12 using utility ratepayer money, electric utility
13 ratepayer money for that part of your effort.
14 Okay. Right?

15 So again, how useful -- you know, you're
16 our lead scientist here. How useful are the
17 scenarios and parameters we have developed for --
18 how useful are they for the PUC's purposes in
19 designing telecommunications infrastructure or
20 water utility infrastructure?

21 MR. FRANCO: We haven't looked at this
22 issue, to be honest.

23 CHAIR WEISENMILLER: Okay.

24 MR. FRANCO: So if -- I mean, we need to
25 get a, well --

1 CHAIR WEISENMILLER: Yeah. Okay. So
2 that's --

3 MR. FRANCO: -- (indiscernible).

4 CHAIR WEISENMILLER: That's good. That's
5 good to know. And again, we have the funding
6 limits on how far we can go there.

7 MS. WILHELM: And I would point out
8 through Cal-Adapt's publicly available API, other
9 sectors can access and manipulate the data once
10 those parameters are identified.

11 CHAIR WEISENMILLER: Right.

12 So looking at our utility colleagues, so
13 you've heard both about Cal-Adapt, and also
14 the -- Scott's model. So is there a way we can
15 build -- I'm going to, again, simplify and quote
16 Scott's model -- in your sort of planning and
17 permitting activities?

18 MR. D'AGOSTINO: I think that the biggest
19 thing we're looking at is consistency with what
20 we're looking at.

21 I think back to an example that a
22 colleague shared from me, who worked in New York
23 after Sandy. And the information that he ended
24 up using to start to come up with their new
25 designs on how they were going to make their

1 investments ultimately wasn't universally
2 accepted. So they created all their new
3 standards based off this science. And then when
4 it finally came into getting everything approved,
5 it was saying, well, that's not the right
6 science. So then they ended up going back to
7 Columbia and initiating a utility-funded seven-
8 figure climate study to try to get to a point
9 that there was a universal baseline that
10 everybody could agree with.

11 So, you know, I think that's a big part
12 of the reason that we're so happy to be using
13 Cal-Adapt and kind of working through this group
14 on our science. And that's part of the
15 conversations we've had with Southern California
16 Edison and SMUD and PG&E is let's really unite on
17 the science piece of this. Because what we don't
18 want to do is start updating these design
19 standards now based on Cal-Adapt and get them all
20 updated and start implementing it into the
21 redesign of the system, and then having it be,
22 well, that really isn't what we're going to have
23 as the standard. So it's a big part of the
24 reason that we're really working closely with
25 Cal-Adapt as the standard now.

1 COMMISSIONER RANDOLPH: I had a quick
2 question for Jamie about your workshop on
3 September 20th with the water utilities. Is that
4 going to be webcast at all?

5 MS. ANDERSON: I am not sure, but I can
6 find out and let you know.

7 COMMISSIONER RANDOLPH: All right. Thank
8 you.

9 MS. ANDERSON: Thanks.

10 COMMISSIONER RECHTSCHAFFEN: I had a
11 quick question for Guido, since I have the luxury
12 of having your lead scientists here. And this is
13 a little bit in the weeds, but you were talking
14 about the relationship between emissions and
15 temperature and California paralleling that
16 nationally. We've already gone up two degrees
17 Fahrenheit since the late 1800s. I had read data
18 showing that our temperature increase in
19 California is actually greater than what's
20 happening nationally. And there were some
21 weather stations last year showing three-and-a-
22 half or four degrees Fahrenheit rise from the
23 mid-1800s.

24 So I'm just curious, do we, because of
25 our climate, our Mediterranean climate and other

1 conditions, are we likely to see even higher
2 temperature rises than we're going to see
3 nationally?

4 MR. FRANCO: The last national
5 assessment, I was one of the authors of the last
6 national assessment, indicates that the Southwest
7 is highly vulnerable. So, yes, higher. The
8 increase in temperatures would be more pronounced
9 in the Western United States, especially
10 California, Arizona, and those areas.

11 With respect to temperatures, what I was
12 showing is the annual average temperatures in
13 California. So there are regional differences,
14 and also seasonal differences. Yeah, so --

15 CHAIR WEISENMILLER: Guido, where would
16 you expect the biggest impacts to be within
17 California, in terms of the areas?

18 MR. FRANCO: I'm sorry, in terms of what?

19 CHAIR WEISENMILLER: To the extent you
20 said these are the averages, and, of course,
21 there are parts where it might be more extreme,
22 could you just identify what the most extreme
23 areas would be?

24 MR. FRANCO: Now I'm trying to visualize
25 the map.

1 CHAIR WEISENMILLER: Right.

2 MR. FRANCO: So the map shows the Central
3 Valley would see the highest increase in
4 temperatures. Also, the high elevation of the
5 Sierra Nevada will see wintertime temperature
6 increases substantially. And, of course, the
7 Southwest Desert areas.

8 CHAIR WEISENMILLER: Yeah.

9 MR. FRANCO: It's almost always
10 (indiscernible).

11 CHAIR WEISENMILLER: No.

12 MR. FRANCO: Sorry.

13 CHAIR WEISENMILLER: Yeah. But my
14 impression was that part of what you were seeing
15 was that Sacramento would have less evening
16 cooling and greater temperatures during the day,
17 or at least the Central Valley part.

18 MR. FRANCO: It's almost the Central
19 Valley part, yeah.

20 CHAIR WEISENMILLER: Yeah. Yeah.

21 And I think, Cliff, I was going to docket
22 the recent paper we got from Ann that sort of
23 went through some of the potential, that it's not
24 just two but, you know, four, six, whatever.

25 Commissioners, any other comments for

1 this group, or questions?

2 Again, we'd like to thank you for
3 starting out a great day.

4 So again, I think we're going to take our
5 lunch break.

6 MS. RAITT: Yeah. So we'll take a break
7 and come back at 12:40.

8 (Off the record at 11:37 a.m.)

9 (On the record at 12:42 p.m.)

10 MS. RAITT: All right, so we'll go ahead
11 and get started. We're back, and this is the
12 second panel. And this one's on climate impacts
13 in disadvantaged communities. And the moderator
14 is Aleecia Gutierrez from the California Energy
15 Commission.

16 Thanks.

17 MS. GUTIERREZ: Thank you, Heather.

18 It's hot here in Sacramento today, isn't
19 it? And how appropriate, on the day that we're
20 discussing our collective actions around climate
21 adaptation, that it's over 100 degrees. And I
22 also received a Flex Alert this morning.

23 So with that, earlier today we heard
24 about some of the projections for increased heat
25 in both coastal and inland areas of the state.

1 We heard about how there are going to be more of
2 these days going forward, and how we need to
3 adapt.

4 This afternoon we'll hear from four
5 panelists on climate impacts on disadvantaged
6 communities, in particular, and the role of the
7 energy sector.

8 Before presentations begin, it's
9 important to remember that there are several
10 definitions for disadvantaged community. For the
11 Energy Commission the term is associated with
12 CalEnviroScreen, and it's determined by a
13 combination of economic and public health
14 indicators, as well as other factors. However,
15 some communities that are categorized by
16 CalEnviroScreen as disadvantaged may not self-
17 identify as such, or find the terminology fully
18 describes the challenges or strengths of those
19 communities -- of their communities.

20 So with that, our first panelist is Sonya
21 Ziaja of the California Energy Commission, who
22 will discuss a framework for considerations of
23 climate impacts in disadvantaged communities, and
24 actions the Energy Commission is taking to
25 incorporate these considerations in these R&D

1 programs.

2 MS. ZIAJA: Thanks very much, Aleecia and
3 Heather, and good afternoon.

4 Before I start, I just want a couple --
5 to clarify a few things about the title. So
6 first I'll be talking about Energy Commission-
7 funded research development and demonstration,
8 although there is other research in this area
9 besides what the Energy Commission is doing. And
10 secondly, while I will focus on disadvantaged
11 communities in this talk, this is also applicable
12 to vulnerable populations and low-income
13 customers, sort of along the lines of what
14 Aleecia has mentioned.

15 So here's an outline of what I'll go
16 through. But very briefly, there's really two
17 goals for this talk. One is to give a better
18 understanding of who climate adaptation and
19 energy research and equity considerations really
20 can bolster one another. And the second is to
21 highlight some of the work that the Energy
22 Commission has already begun in this area.

23 There are two policy drivers for the
24 Energy Commission here.

25 So one is Executive Order B-30-15, which

1 gives guidance for climate-related planning and
2 investment to state agencies. And the relevant
3 language here is that state agencies' planning
4 and investment shall protect the state's most
5 vulnerable populations. While vulnerable
6 populations itself is an undefined term, OPR,
7 along with California Department of Public
8 Health, has convened a Technical Advisory Group
9 that is providing some guidance on this,
10 hopefully sometime in the near future.

11 And then secondly, SB 350. There was a
12 workshop on August 1st, an IEPR Workshop on August
13 1st, that already described some of SB 350, so I
14 won't go into detail on this. But for those of
15 you who are new to SB 350 in this area, just
16 generally, the focus is on bringing benefits from
17 the changing energy system to disadvantaged
18 communities and low-income customers.

19 So behind that, those two policy drivers,
20 is this problem. And the problem is that the
21 bio-, geophysical, economic, and public health
22 impacts of climate change are not uniform across
23 California's geography, nor population. And then
24 the added layer to that is that the preexisting
25 inequities can actually exacerbate those impacts.

1 So what you'll see on the right-hand side
2 in the pastel is a figure that was developed by
3 CDPH. And that goes through some of the climate
4 impacts, as well as the consequences to public
5 health from those impacts.

6 On the left-hand side you'll see just a
7 couple examples of energy sector-related
8 amplifications of those secondary health impacts.
9 So we want to be careful here, though, because
10 while the energy sector can amplify problems, it
11 can also provide a source of solutions. And
12 we'll talk a bit more about that later.

13 The Energy Commission has had several
14 prior workshops on adaptation, equity and energy,
15 and we've learned a couple lessons from them, so
16 some of these are presented here. Climate
17 adaptation processes need to all disadvantaged
18 communities to withstand the impacts of climate
19 change, while simultaneously addressing existing
20 inequality. Communities need to be involved
21 early in decision making and research.
22 Processes, therefore, need to be structured to
23 support meaningful partnerships in which
24 community members are reimbursed for their time
25 and expertise.

1 Research is needed on sensitivity of
2 disadvantaged communities to power outages and
3 surges, advanced energy storage, identification
4 of key infrastructure in need of reliable
5 electricity, so, for example, food banks and
6 shelters, and of aging energy infrastructure that
7 may pose health and safety risks, as well as more
8 case studies. And the case studies here is
9 important because, as mentioned previously, the
10 combination of impacts among disadvantaged
11 communities will not be the same across
12 California, and so the sets of solutions will be
13 different, as well.

14 And then, finally, adaptation metrics and
15 cost benefit analysis for adaptation should
16 include equity components.

17 So here's just a couple of examples of
18 how these connections work. So for high heat,
19 there's a need for cooling center reliability,
20 reliable energy service for critical community
21 infrastructure, and reduction of blackout
22 duration.

23 The second point is a little bit
24 trickier, but the basic crux of it is that as
25 we're encouraging energy efficiency to help

1 climate mitigation, we're wrestling with the
2 tradeoff of better indoor air quality because,
3 traditionally, air filtration requires a
4 significant amount of energy.

5 So how can energy research better
6 consider adaptation inequity?

7 So this chart is to help us conceptualize
8 energy, sorry, energy equity in a way that is
9 actually actionable. So on the left-hand side,
10 these are taken from Jenkin's, et al, 2017, from
11 an article on energy policy. And this breaks
12 down equity attendance into distributional
13 equity, recognition and procedural equity. And
14 there are corresponding types of questions
15 associated with these.

16 So where are the inequities is really
17 important for "distributional," and how should be
18 solve them?

19 For "recognition" the key questions here
20 are really who is impacted, and who has
21 traditionally been left out? Who needs to be
22 included? Who needs better access?

23 And "procedural" is really a question of
24 whether or not there is an effective or fair
25 process, and which new processes need to be

1 developed?

2 So we're not starting from scratch here.
3 The Energy Commission and energy sector in
4 general has a number of tools.

5 So 25 percent of EPIC demonstrations are
6 in disadvantaged communities. For "recognition,"
7 we have CalEnviroScreen as a starting point. And
8 while that defines territories, there's still
9 further work to be done to investigate on a
10 project-by-project basis, how communities can be
11 included, and who we should be including from
12 them.

13 And then for "procedural equity," there's
14 a host of different tools that we have. So, for
15 example, for competitively bid solicitations, we
16 can start scoring them so that we are encouraging
17 community participation, or perhaps requiring it.
18 We can require budgets that are inclusive of
19 community participation. And we can encourage
20 partnering agreement between researchers and
21 communities so that their roles are clearly
22 defined and their expectations are set.

23 So finally, what can research do?

24 So in addition to actually providing a
25 clear outcome, the research process itself can be

1 a tool, as well. So research can help convene.
2 It can bring people together and give an
3 opportunity to collaborate and co-produce a
4 research project that is salient to the
5 community. It can help build a capacity, not
6 just in the community, but also among
7 researchers, policy makers and operations folks
8 at utilities to better understand the needs and
9 capacities of one another and future ways
10 forward.

11 So I'll just highlight a couple examples
12 of research that's already underway at the
13 Commission. So we have projects to develop
14 microgrids for critical facilities and
15 disadvantaged communities. One of these is
16 located at a medical facility in Richmond,
17 California, and is developing a renewable
18 microgrid.

19 We have several Advanced Energy Community
20 demonstration projects. This was also already
21 talked about at the August 1st workshop, so I
22 won't go into detail here. But basically these
23 are super-local projects that are two-phased
24 steps so that demonstrations follow an initial
25 analysis. And third, we have smart ventilation

1 technologies to efficiently improve indoor air
2 quality.

3 And finally, I'd like to highlight a new
4 approach for research that the Environment Group
5 is testing out here. So we have competitive
6 solicitation grant funding opportunity to develop
7 local urban energy scenarios in disadvantaged
8 communities. And these are designed to inform
9 future demonstration funding and local planning.
10 The key component, though, in this is requiring
11 community participation.

12 And so what we expect the community to do
13 within this group is to really define what the
14 benefits are that they want to see from new
15 energy projects and new investments in their
16 community related to energy, help us define what
17 the -- what their public health metrics are and
18 what they're looking for, and get a better
19 understanding of their idea of siting. And so
20 we'll learn from that is they will actually be
21 co-producing the set of parameters that are
22 necessary to optimize the scenario work.

23 In addition to that, we have a couple
24 other more procedural aspects. So we have --
25 we're requiring the inclusive budget that we

1 talked about. And we're encouraging partnering
2 agreements. And we plan to learn from this and
3 then take those processes elsewhere to expand it
4 into other research areas.

5 Thank you.

6 MS. GUTIERREZ: Okay. Next we have Adam
7 Smith from the Southern California Edison. And
8 he will be sharing SCE's approach to reducing
9 climate impacts in disadvantaged communities.

10 MR. SMITH: Wonderful. Good afternoon.
11 I'm Adam Smith. I'm the Manager of Climate
12 Policy with Southern California Edison. And I'm
13 going to give you a quick update of what Southern
14 California Edison has been up to since the last
15 IEPR round last year, and also some of our work
16 in disadvantaged communities.

17 So I just did that. But basically, I'm
18 going to cover, yeah, a quick update for climate
19 resilience, discuss, probably in a little bit
20 greater detail, the disadvantaged community
21 outreach that we've been doing, and highlight one
22 of the Advanced Energy Community projects that's
23 occurring in our service territory, which is a
24 beautiful segue from the last presentation.

25 So update on SCE climate resilience. SCE

1 submitted a Joint Climate Vulnerability and
2 Resilience Strategy to the Department of Energy.
3 We identified ten resilience strategies through
4 companywide workshops.

5 On November 2nd, 2016, SCE held a
6 companywide emergency response exercise utilizing
7 some of the scenarios from our climate
8 vulnerability analysis. That's a picture of the
9 full-scale exercise. And like you could imagine,
10 there's lots of big screens and people walking
11 around with brightly-colored vests. SCE is
12 currently conducting a mitigation review process
13 to facilitate the selection of defined long-term
14 adaptation strategies that will be adopted across
15 the organization.

16 Just a brief reminder, since it's been
17 awhile since we talked, but Southern California
18 Edison really leveraged the state's Cal-Adapt
19 datasets. Updates to Cal-Adapt have improved our
20 analysis. We were actually working with a couple
21 of the folks who are funded via the CEC, folks
22 from the University of Arizona who have come out
23 to Rosemead to talk to us about some of their
24 research. And so we're basically kind of doing a
25 re-haul of the vulnerability analysis that I

1 presented to you last year.

2 And just to kind of give you a sense of
3 what we're talking about here, on the left-hand
4 side, you can kind of see, I think folks are used
5 to seeing when they look at Cal-Adapt datasets,
6 it's kind of an overlay of our infrastructure.
7 The big black lines are large transmission lines
8 in our service territory. There's a small, blue
9 square right there that actually is Mesa
10 Substation.

11 And what I'm kind of giving you a sense
12 of here is that for all the points of our large
13 infrastructure pieces that Southern California
14 Edison owns or operates, we have this kind of
15 facility-level readout, which you see here on the
16 right, which gives us the chance to kind of dive
17 into a little greater detail to understand, you
18 know, how things are going to be changing over
19 time, and also kind of prioritize areas, at least
20 it's kind of like a first-pass prioritization for
21 us. We could look at those areas, you know, I
22 guess the threat factors, things like maximum air
23 temperature here in August. And you could kind
24 of look at the change at some place like Mesa
25 Substation and compare the change from year 2030

1 to 2085 to other substations we might have. And
2 those areas that see the largest amount of change
3 are the ones that are kind of, you know, piquing
4 our interest at the moment.

5 One of the other updates is that SCE is
6 joining L.A. County's Regional Collaborative,
7 which is LARC, the Los Angeles Regional
8 Collaborative for Climate Action and
9 Sustainability. A little paragraph there about
10 what LARC does. But I think the core thing here
11 is that LARC coordinates climate resilience
12 efforts, the land use, transportation,
13 infrastructure, energy, water and public health,
14 and a whole lot of other partners. Metro is part
15 of it. The County of L.A. is part of it. We're
16 happy to join that partnership. We think this
17 form of collaboration is critical to the
18 adaptation and planning of an electric utility.
19 As we know, the resilience plans of the
20 communities we serve will inform our plan and
21 vice versa, and we need to work together. We
22 view the Regional Collaborative structure as a
23 really great way to do that with other folks in
24 our service territory who are considering the
25 effects of climate change.

1 So to get a little bit more specific here
2 real quick about kind of where we're going, 2015
3 and 2016, you know, we've done kind of initial
4 research and analysis, mitigation development,
5 some research and analysis. A lot of this has
6 been driven by our engagement in the DOE
7 partnership.

8 Moving forward, we have a lot of work
9 ahead of us. But I think I'd just direct you to
10 kind of the final column and kind of where we're
11 driving. We'd like to kind of build in climate
12 adaptation actions into the 2020 general rate
13 case. That requires quite a bit of effort in the
14 years 2017 and 2019. And one of the
15 recommendations I'm about to make on the next
16 slide will hopefully highlight the fact that, you
17 know, I think the DOE partnership has been really
18 great for us, and we're super interested in
19 continuing to stay very involved. It's great to
20 see Dr. Zamuda here.

21 But we really support the recommendation
22 that was found in the California Safeguard and
23 California Plan to kind of create a California
24 equivalent of that process and that partnership.
25 We think, honestly, it could -- if I can go back

1 a slide -- it can offer us a lot of structure
2 here in, you know, this kind of very crowded
3 column, 2017 to 2019, a lot of work to be done,
4 we think it would be great to go arm in arm with
5 our sister utilities and state agencies through
6 the next couple of years to try and target
7 something like we've pointed out here, the 2020
8 general rate case.

9 COMMISSIONER RECHTSCHAFFEN: Adam, I'm
10 sorry.

11 MR. SMITH: Yeah.

12 COMMISSIONER RECHTSCHAFFEN: If I could
13 just ask you a quick question?

14 You want a similar partnership, you say,
15 as highlighted in Safeguarding California. What
16 specifically in Safeguarding are you referring
17 to?

18 MR. SMITH: I think it was the energy
19 sector recommendations, so just kind of like a
20 sector by sector -- maybe if Louise is here.
21 There's probably someone who could give you a
22 better, you know, from OPR, a better --

23 COMMISSIONER RECHTSCHAFFEN: I asked
24 Louise and she didn't know. Louise, she's
25 coming. We can ask her.

1 MR. SMITH: Okay.

2 COMMISSIONER RECHTSCHAFFEN: But she
3 didn't know either, so that's why I'm asking you.

4 MR. SMITH: Okay. Yeah. In the energy
5 sector there's recommended actions. And I think
6 one of them was to create something similar to
7 the DOE partnership that had been happening out
8 there. But just because in California, you know,
9 we have some different priorities, things like we
10 want to ensure that while we're adapting to
11 climate change, we're also mitigating, you know,
12 the emissions of greenhouse gases, as well.
13 Those are kind of the additional lenses, I think,
14 a California-specific approach could be useful in
15 helping us think through.

16 But there's lots of things we learned
17 from the DOE side, as well, so I don't want to
18 discount that. Okay.

19 Now hopping along to disadvantaged
20 community outreach. Just to kind of orient you
21 here, 45 percent of California's disadvantaged
22 communities, according to CalEnviroScreen, are
23 actually located in SCE's service territory.
24 There's kind of an inset on the right of the
25 Greater Los Angeles Region. But if you pull out

1 to the left, you can see quite a number of large
2 amount of disadvantaged communities out there in
3 the valley and, you know, kind of out in the
4 desert. Forty percent of all of our residential
5 houses are in DACs or have subsidized electric
6 rates. That kind of tees up in our mind the to
7 ensure that, you know, as we're thinking through
8 climate adaptation, or just, frankly, the future
9 of the electric sector, we're trying to make sure
10 that we keep these communities, you know, in the
11 forefront.

12 To that end, we've partnered with the
13 Greenlining Institute to develop a kind of
14 community-centric dialogue. We've been working
15 with other organizations. Greenlining kind of
16 helps us coordinate this effort. They facilitate
17 the collaborative conversations. But we have
18 other groups in there, Liberty Hill Foundation,
19 Moving Forward Network, Coalition for Clean Air,
20 folks who both represent the communities. And we
21 also get entities that deliver programs in
22 disadvantaged communities, so groups like Valley
23 Clean Air Now, who administers the Enhanced Fleet
24 Modernization Plus-Up Program. That's kind of
25 like California's Cash for Clunkers Program where

1 we take, you know, people that can trade in their
2 high-emitting vehicle and get a rebate to
3 purchase an electric vehicle.

4 So the idea with this dialogue is to kind
5 of, obviously, focus on improved access to clean
6 energy solutions in disadvantaged communities,
7 but kind of working both with those folks who
8 represent the communities themselves, the
9 community groups, and also the people who have,
10 you know, experience delivering programs in those
11 regions, folks like Grid Alternatives, Valley
12 CAN.

13 Our goal with this dialogue is to kind of
14 develop pilots, potentially regulatory and/or
15 legislative initiatives focused on EVs and
16 community/rooftop solar. I really view, if I can
17 hop back here, I view -- you know, I think we
18 view this dialogue is kind of the place where we
19 are really going to start engaging on climate
20 adaptation. We think a lot of the same kind of
21 solution sets that people are talking about here,
22 improved energy access or, you know, clean energy
23 solution access, electric vehicles, community
24 solar, those are kind of the solutions that, from
25 at least the folks that we've been talking to,

1 the disadvantaged communities folks we've been
2 talking to, those seem like the kind of solutions
3 they'd like to see us investigate more deeply
4 with them. And so I view this as kind of the
5 dialogue where we are going to do that work.

6 Hopping along to the advanced energy
7 communities, as you heard, there's a couple of
8 these going on. We have one in Avocado
9 Heights/Basset, which is, I'll show you on a map
10 in just a moment, actually right around the
11 corner from our corporate headquarters in
12 Rosemead. The resilience challenge here, as it's
13 kind of been described, as, you know, San Gabriel
14 Valley extreme head days used to be something
15 like 32 days in a year. But over the next 20
16 years, this could be expected to rise to about 74
17 days a year.

18 And so from that, you know, there's
19 obviously pilots that are being developed
20 packaging community solar and energy efficiency
21 in disadvantaged communities under a grant from
22 the CEC. This project is still in kind of the
23 pilot development stage. Some of the partners
24 are along there, you know, UCLA, the County of
25 Los Angeles, some local community groups that do

1 the outreach.

2 Participants in this program would be
3 provided energy efficiency upgrades for their
4 homes at no up-front costs. They'd pay back the
5 costs of the upgrades through their energy bill
6 and, I think, by and by, end up seeing reduced
7 electricity bills. The financial benefits there
8 are lower energy costs, improved efficiency of
9 lighting, cooling and heating system. But
10 there's a whole lot of health benefits, as well,
11 you know, a more comfortable home, better indoor
12 air quality, reduction of heat-related impacts,
13 like asthma, heat exhaustion, heat stroke, and
14 cardiovascular conditions.

15 SCE views this pilot, you know, as kind
16 of a potentially useful model for other regions,
17 especially with the disadvantaged communities
18 outreach that we've been doing. People are
19 calling for solutions like this, you know, kind
20 of package solutions that address, you know,
21 access to clean energy resources. And it just,
22 frankly, happened to also have really awesome
23 kind of resilience co-benefits. So SCE looks
24 forward to its role as a technical adviser. And
25 I think we're going to be seeking to partner even

1 more than that.

2 So just in closing, wrapping up here, I
3 know I gave you a quick tour, but, you know,
4 Southern California Edison really thinks that a
5 California-specific partnership, like the one I
6 described just a little bit ago, would be very,
7 very useful to help structure our work over the
8 next few years, ensure that the utilities are
9 aligned and sharing kind of best practices. We
10 do a lot of talking amongst the IOUs on this
11 subject, so I don't want to pretend that, you
12 know, that hasn't been happening. But I think a
13 kind of structured path forward would be really
14 useful for us. And I think it could also help
15 the communities we serve. Because at the same
16 time, we're developing our resilience plan, those
17 cities, local jurisdictions, large infrastructure
18 providers like Metro are working through their
19 own resilience plans.

20 The second point, DAC outreach is
21 absolutely necessary. And, frankly, I think it
22 should be included as a work stream -- I'm happy
23 to finish up here quickly -- I think it should be
24 included as a work stream in that, the kind of
25 California-specific partnership.

1 I also would suggest that we should probably
2 just keep piloting and developing solutions, just
3 like the advanced energy community thing. We
4 have a pretty good sense right now of how much it
5 would cost to replace poles, a lot of the climate
6 resilience investments that we could be making
7 today. There are new solutions, kind of these
8 package solutions, things like the advanced
9 energy communities that we're -- people are
10 piloting, people are talking about.

11 And I think for some of those threat
12 types that we see further out on the future, we
13 should hold back from just doing the classic kind
14 of repair the physical infrastructure, take a
15 little bit more time to study these things and
16 see if instead we should be focusing on some of
17 these packaged solutions going forward.

18 So with that, thank you. Sorry for going
19 a little over.

20 MS. GUTIERREZ: Thank you, Adam.

21 Our next panelist is Nancy Sutley of the
22 Los Angeles Department of Water and power. Nancy
23 will discuss LADWP's efforts to reduce impacts in
24 disadvantaged communities, as well as the equity
25 metrics developed to assess effectiveness of

1 their efforts.

2 MS. SUTLEY: Thank you. I'm going to
3 stand over here, so maybe you can see me.

4 So I wanted to do a couple of things in
5 this presentation, just to identify some of the
6 major climate adaptation issues for disadvantaged
7 communities when it comes to energy in Los
8 Angeles, and some of our programs, and then
9 secondly, to give you an overview of how we're
10 using data that's being collected through our
11 Equity Data Metrics Initiative to help to link
12 our programs adaptation and our disadvantaged
13 communities together.

14 Let's see if this works. Nope. Sorry.

15 So as we think about climate adaptation
16 and how we plan, particularly around
17 disadvantaged communities, we are trying to bring
18 together a number of resources, including climate
19 research. We've invested in some climate
20 research, including some research at UCLA to
21 downscale climate models and to look, for
22 example, at heat, extreme heat days in the city
23 of Los Angeles going forward. We are working
24 with USC's Sea Grant on local sea level rise
25 impacts in the Los Angeles Region. And we also

1 participate in a number of other -- both research
2 and policy activities. We were a founding member
3 of the L.A. Regional Collaborative and have been
4 on the Board since it started.

5 Also, in Los Angeles, of course,
6 emergency preparedness, emergency response, has
7 always been an important part of what the city
8 and what LADWP do, so working through some of our
9 emergency planning to develop a more resilient
10 grid and different kinds of designs around the
11 grid to ensure that we can continue to operate is
12 there is an emergency or disaster. And some of
13 those things have benefits when it comes to
14 climate adaptation. We have a lot of customer
15 programs focused on low-income communities and
16 low-income communities and low-income customers.
17 And those programs can help us to enhance the
18 climate programs that I'll talk a little bit more
19 about later.

20 We also engage in a robust long-term
21 planning process through our Integrated Resources
22 Plan. So we're looking at not just long-term
23 renewable energy goals and energy storage and
24 power generation needs, but also what the demands
25 of the future will be, and also look at rate

1 impacts. We also worked through our Power
2 Reliability Program, which has a fairly
3 comprehensive schedule for infrastructure
4 improvements. And looking at, finally, at data
5 analytics and metrics to help us to monitor
6 programs and help identify where we're being
7 effective and where we're not.

8 And then one other resource that's just
9 not really listed on this chart is that we are
10 part of a larger city, and so we work closely,
11 let's see, with other city departments on a whole
12 set of initiatives around resilience that are set
13 out in the city's Sustainability Plan. So those
14 help us to plan and prepare for the future.
15 Okay. (Indiscernible.)

16 So we look at climate change impacts in
17 Los Angeles, and all of these will be familiar,
18 mostly increased -- and I won't spend much time
19 on this -- increased heat days being a primary
20 concern, sea level rise, as well, for some parts
21 of our city in low-lying areas and communities,
22 like Venice, that are particularly vulnerable to
23 flooding and potential damage to power
24 distribution networks. And then all of the sets
25 of risks that are associated with extreme weather

1 and drought, windstorms, wildfires, heat storms,
2 like we are experiencing this week, and damage
3 associated with winter storms.

4 So when we look at our customers, and
5 again, this is not -- these are not unique to
6 LADWP, obviously concerns about higher energy
7 bills for cooling, increased potential of outages
8 due to the strain on our infrastructure,
9 increases in air pollution, particularly where
10 there's low hydropower from drought, certainly
11 increased energy demand and the impact on the
12 operations of our power plants, the decreases in
13 thermal efficiency. And then a whole set of other
14 operational impacts, and also sort of public
15 health impacts across the city. And certainly we
16 recognize that disadvantaged communities in Los
17 Angeles, like in many places, are likely to be
18 the ones most affected by these impacts.

19 So as we look at programs, our programs,
20 and where those potentially help us to address
21 impacts associated with climate change, putting
22 in a suite of energy efficiency programs, some of
23 them that are directly addressed to disadvantaged
24 communities. We started last year on an Air
25 Conditioning Optimization Program. It was really

1 more aimed at homes with central air
2 conditioning.

3 We've had for many years a very
4 successful Refrigerator Exchange Program that
5 we're now expanding to include room air
6 conditioners, since in many poor parts of Los
7 Angeles that don't -- where homes don't have
8 central air conditioning, they will have, you
9 know, one or more room air conditioners which
10 could be very old. So we just launched an Air
11 Condition, Room AC, Exchange Program, an
12 efficient product marketplace that allows
13 customers to more easily both find energy
14 efficient appliances, but also to get to our
15 rebates. We have a Home Energy Improvement
16 Program that's for single-family homes that was
17 started by a grant from the Department of Energy
18 for weatherization. And we run a number of
19 programs, together with the Southern California
20 Gas Company, since we have an overlap in our
21 service territory. So we're able to run some
22 programs, in conjunction with SoCalGas, and some
23 that are specifically aimed at low-income
24 customers.

25 We, as well, have a Low Income Discount

1 Program and a senior citizen rate. And we also
2 work closely with the health providers in Los
3 Angeles, both on ensuring that they can continue
4 to operate and have them take advantage of our
5 energy efficiency programs and power reliability
6 enhancements, as well as specific discounts for
7 those who are in need of medical support.

8 Also, throughout the city there's been a
9 concerted citywide effort around urban heat
10 island effect. We've had a Cool Roof Rebate for
11 a number of years, and now it's part of the
12 city's building code. We're also working with
13 the Bureau of Street Services to pilot some Cool
14 Pavement Programs. And there's a working group
15 among city agencies on urban heat island effect.

16 We've also been the major supporter of
17 the City of L.A.'s Tree Planning Program. It
18 started out, really, as DWP's Tree Planning
19 Program. And we provide major support for the
20 city's Plants Program, which last year planted
21 about 18,000 trees in Los Angeles.

22 Our Power Reliability Program
23 (indiscernible) is really aimed around a schedule
24 to make sure that we're addressing our failing
25 infrastructure. And then the lesson I'd mention

1 here is we've just created a new position for a
2 Low Income and Customer Access Director, who came
3 over from the mayor's office.

4 So we've been working on our equity data
5 metrics now for about a year-and-a-half. The
6 Board asked us to do this, to look at just to try
7 to identify disparities in services in our energy
8 efficiency programs, also looking at things like
9 contracting and a number of other measures around
10 equity. And we are developing the metrics.
11 We've developed a number of them. But we'll
12 develop about 50 different metrics.

13 So one of the things, I'll just give you
14 some idea of what now we've gone through, our
15 second round of collecting and presenting these
16 equity data metrics, this is an example, our Tree
17 Canopy Program, clearly very directly related to
18 climate adaptation. And it gives you an idea of
19 where trees are being planted and how that
20 correlates to poverty. So we've been able to
21 overlay the CalEnviroScreen onto the equity data
22 metrics. So again, that helps us to figure out
23 sort of where we need to be making additional
24 types of investments.

25 This is also the Home Energy Improvement

1 Program, again, trying to understand exactly
2 who's taking advantage of these programs. That
3 will help us to make sure that we're serving our
4 neediest customers.

5 And then we've also been tracking both
6 safety and SADY (phonetic), so the interruption
7 frequency and the interruption duration and
8 plotting that against poverty. And we've had --
9 2017, so far, has been a tough year, primarily
10 because of the winter storms. So we look at a
11 12-month rolling average on safety and SADY. And
12 again, 2017, so far, has been a rough year
13 because of the winter storms. And it sort of
14 turns out that with disadvantaged communities
15 that, actually, we have some very wealthy
16 communities in Los Angeles that have not the best
17 service because it needs to be upgraded.

18 And then just looking, again, across the
19 city at our low-income discounts, and I will wrap
20 up here.

21 And electric vehicle infrastructure, of
22 course, we have started our EV Car Sharing
23 Program in disadvantaged communities, thanks to
24 some (indiscernible) money.

25 And then the next steps on the data

1 equity metrics have been presented to our Board.
2 They -- we will reconvene sort of an Advisory
3 Group that helped us develop them. We're working
4 with Loyola Marymount University to do some
5 independent analysis of the data and really to
6 develop the next step of this. This is really
7 where are there gaps in programs and how do we
8 change the programs based on the analysis that
9 we've conducted.

10 Thank you.

11 MS. GUTIERREZ: Thank you, Nancy.

12 Our final panelist is Ameer Raval from the
13 Asian Pacific Environmental Network, who will
14 discuss best practices and the needs that remain
15 as we forge the path forward for disadvantaged
16 communities to adapt to climate change.

17 MS. RAVAL: Hi. Good afternoon. My name
18 is Ameer Raval. I'm a Policy and Research
19 Associate with the Asian Pacific Environmental
20 Network. And I'm really going to be focusing on
21 just some community perspectives as a community-
22 based organization, a lot of which echoes what my
23 colleagues have noted and are working on already.

24 So just a little background on the Asian
25 Pacific Environmental Network. We are a

1 grassroots, base-building organization. And we
2 organize low-income Asian and Pacific Islander,
3 immigrant and refugee communities around
4 environmental justice issues to really advance
5 our vision for clean, healthy and thriving
6 communities. And a fundamental part of our work
7 is really amplifying the voices and vision of our
8 community members and building community power to
9 really be the decision makers for policies and
10 programs in our communities.

11 So this looks like a variety of different
12 things. It is really based, and the foundation
13 of our work, in local organizing, particularly
14 with Laotian refugees in Richmond, as well as
15 Chinese immigrants in Oakland Chinatown. And
16 again, this is really the core of our work and
17 strategy to build power.

18 We also build political power through
19 coalition building with alliances such as the
20 California Environmental Justice Alliance. And
21 we do civic engagement, as well, to engage API
22 voters.

23 And finally, my work is around policy
24 advocacies, both legislatively and in the
25 regulatory space. And that's, you know, what my

1 role is and what brings me here today.

2 So just to give you some framing about
3 our perspective as an environmental justice
4 organization, I just wanted to highlight three
5 key trends quickly. One, that economic
6 inequality is widening in the U.S. You know,
7 we're seeing that it's been increasing for
8 decades and reached its highest level, in 2013,
9 since the Great Depression.

10 The second trend is, you know, our
11 current environmental and climate crisis. You
12 know, our fossil fuel-intensive economy has led
13 to our current climate crisis where extreme
14 weather events will increase in our frequency and
15 intensity.

16 And finally, you know, there's really
17 exciting emerging innovations in clean energy.
18 And we just want to note that we see these
19 trends, you know, inherently interconnected,
20 specifically because low-income communities of
21 color are disproportionately impacted by the
22 health burdens of fossil fuels and climate
23 pollution. And they will also be hit first and
24 worst by climate change. They also bear a
25 disproportionate burden, energy burden. And

1 these are the same communities that are both
2 vulnerable to climate change, and also are paying
3 a lot of their income to pay for their energy
4 bills.

5 And so I just note here that in
6 understanding the interconnectedness, we can use
7 the opportunities from clean energy technicians
8 to spur a new kind of economy that is both based
9 on low carbon energy, as well as addresses the
10 widening climate and economic gap.

11 And so just to highlight some of the
12 needs in our communities as it relates to energy,
13 I wanted to highlight some key facts from the SB
14 350 Barrier Study, that the majority of low-
15 income Californians are renters, and that half
16 live in multifamily, affordable housing. And the
17 majority, or over half, speak a language other
18 than English. And I note these because these
19 sort of tell you the unique characteristics that
20 require programs and policies that are catered to
21 these unique household needs.

22 I already mentioned, you know, our
23 communities have an average energy burden that is
24 much higher than moderate and high income --
25 higher-income households. And we know that

1 energy insecurity has major health implications,
2 including increasing incidents of asthma, heart
3 disease, as well as other respiratory problems.

4 They're also more vulnerable to utility
5 disconnections, which is particularly important
6 when it comes to threats from extreme weather
7 events.

8 And finally there's, you know,
9 communities that I wanted to highlight,
10 particularly for today, including the homeless,
11 those that are dependent on critical medical
12 equipment and who are really dependent on having
13 their electricity served to them continuously,
14 those that have large families with high energy
15 bills, and our environmental justice communities
16 that live in close proximity to potentially risky
17 energy infrastructure.

18 And this -- we work on a variety of sort
19 of data collection and reporting. And so we
20 partnered with some researchers at USC and UC
21 Berkeley to sort of just highlight and
22 substantiate some of these characteristics. And
23 this graph here just highlights, you know, the
24 higher percent people of color in a neighborhood,
25 the more emitting greenhouse gas facilities we

1 see. And this trend is also seen for low-income
2 communities. And so, you know, just sort of
3 highlighting that we are those, we are the ones
4 that are disproportionately impacted by climate
5 pollution and that live in close proximity to
6 potential hazards.

7 And finally, I just wanted to frame, you
8 know, our perspective on climate justice and
9 resilience. We see adaptation as the process of
10 responding to the consequences of climate
11 disruption. But for us, it denotes more physical
12 threats and infrastructures. And I just wanted
13 to share some of the language that we use in the
14 environmental justice community. We talk a lot
15 with our members about climate resilience, which
16 is really, in addition to physical resilience,
17 includes economic resilience and social
18 resilience, as well as public health impacts. So
19 when we think about solutions, we're thinking
20 very holistically as to how we can both reduce
21 physical threats, as well as improve economic and
22 social resilience in the community.

23 So again, just for some framing, climate
24 change, we recognize as a threat multiplier that
25 exacerbates existing vulnerabilities faced by our

1 communities. And as it relates to energy, you
2 know, we know there's a distinct vulnerability of
3 our communities to surges and power outages due
4 to the lack of resources to adapt. We also
5 recognize that there are risks posed by proximity
6 to fossil fuel infrastructure, including
7 abandoned structures, like oil wells, power
8 plants and refineries. And finally, we recognize
9 that climate change will also increase the cost
10 of our members' utility bills. And so there will
11 be real economic impacts that we'll have to think
12 about and consider.

13 So, you know, I just wanted to share,
14 this is a really dense diagram but highlights the
15 "just transition," which is this key sort of
16 process that we think about that involves a
17 variety of different strategies to move away from
18 an extractive economy towards one that is
19 regenerative, resilient and place based, as well
20 as equitable. And so what I'm going to share
21 today are just some of those examples about what
22 our just transition framework looks like.

23 So the first example I wanted to offer
24 was emergency management. One of our historic
25 campaigns was developing a multilingual warning

1 system in 2001, particularly in Richmond where
2 the Chevron Refinery is and where we organize
3 Laotian refugees. The Laotian community in
4 Contra Costa County lives in one of the most
5 toxic regions in the nation and faced a variety
6 of different health hazards from the industrial
7 activity.

8 Now in March 1999 a major chemical
9 explosion occurred at the Chevron Refinery,
10 followed by two more leaks in June and July. And
11 this really, for the community, revealed the
12 inadequate sort of emergency response system,
13 particularly because the area's residents were
14 poorly informed about how to respond. And our
15 members in particular, not speaking English as
16 their first language, were least equipped to sort
17 of be connected to the emergency warning system.
18 And so we launched a campaign to get a
19 multilingual warning system, and we were able to
20 successfully put it in place.

21 And, you know, just some of the lessons
22 here for the energy sector include, you know, the
23 importance of developing emergency warning
24 systems and really targeting outreach to the most
25 vulnerable communities, including those that are

1 linguistically isolated, and then thinking about
2 the threats from the energy infrastructure in
3 light of extreme events, as I mentioned, power
4 plants, pipelines, refineries, as well as other
5 oil and gas facilities.

6 The next piece is a lot of the advocacy
7 we do is around energy efficiency. We know
8 that's EJ communities live in older buildings and
9 use inefficient appliances, which contribute to
10 higher energy use. And we know that higher-
11 performing buildings are likely to maintain
12 temperatures, and that's a source of reliable and
13 affordable energy for our communities. And
14 really here to target the elderly and those with
15 medical conditions can have real benefits for
16 resilience, allowing residents to shelter longer
17 at home, reducing their energy spending, and
18 contributing to the economic resilience, as well
19 as having climate mitigate benefits.

20 And finally, you know, we're very strong
21 advocates of microgrids which, you know, in
22 addition to energy and efficiency include solar
23 and storage and other emerging technologies. But
24 really our advocacy here is about bridging the
25 green divide and making these technologies more

1 affordable and accessible. And we really want to
2 prioritize those critical facilities, as Sonya
3 had mentioned, that, you know, are serving the
4 most vulnerable communities, including food
5 banks, community centers, emergency shelters,
6 healthcare centers and churches, et cetera.

7 And, you know, we see that not only can
8 these facilities have backup power in potential
9 power outages, but also double as a shelter for
10 displaced residents, which has that component of
11 building social resilience and promoting
12 communities' ability to cope. And there's also
13 some obvious economic benefits, as well.

14 So some remaining needs, definitely
15 further research on the economic and health
16 impacts of changes in the energy sector from
17 climate change, both potential negative impacts,
18 as well as the health and economic co-benefits
19 that come from energy upgrades and renewable
20 energy technology.

21 We also want to continue to build the
22 evidence base to connect climate resilience
23 benefits and impacts from, you know, the issues
24 that our members are facing, like high energy
25 burden, energy insecurity and utility

1 disconnections.

2 And additionally, you know, again,
3 strengthening metrics to track multiple benefits
4 and how new projects can support affordability,
5 reliability, and other health and safety
6 benefits.

7 And again, as I mentioned, we have this
8 holistic perspective. So coordinating and
9 leveraging funding for energy upgrades with other
10 health projects and climate resilience efforts I
11 think streamlines all of the benefits that our
12 members can yield.

13 And, you know, continuing to strengthen
14 community engagement, I think there's a lot of
15 work to do with partnering with community-based
16 organizations and really involving us from the
17 beginning on a variety of different pieces,
18 including implementation, data collection, and in
19 addition to just the outreach that you do with us
20 at our different member organizations. I think
21 often times we're just seen as sort of a space
22 for checking the box on outreach, but not
23 necessarily a sustainable partner in the
24 longevity of a project from the beginning to the
25 end.

1 So I'll stop there. Thank you.

2 CHAIR WEISENMILLER: That's great. I
3 wanted to thank people for a great panel.

4 I guess I wanted to throw in a little bit
5 on the Edison comments of basically -- you know,
6 and see if there's some way of connecting, you
7 know, obviously, LADWP on it in a way, is that it
8 sounds like for Edison's perspective, one of the
9 things to do is to really, obviously, build on
10 what -- the Task Force with the federal
11 government, have more of a state-specific one
12 which can certainly deal with -- you know, tie
13 into some better to the climate research here or
14 the issues coming into California, but then also
15 set up a process at the PUC to really build in
16 addressing adaptation as part of some future rate
17 cases.

18 And so part of it is trying to figure out
19 from both of you, you know, how do we move
20 forward on the Utility Stakeholder Group?

21 And then second of all, I don't know
22 if -- terms of LADWP, how that's build into their
23 GRCs and, again, adaptation issues.

24 So bounce back and forth, obviously.

25 MR. SMITH: Well, first, yeah, you know,

1 I think, I guess, the right process going forward
2 is basically to formalize a lot of the
3 interactions I think we've already been having.

4 CHAIR WEISENMILLER: Uh-huh.

5 MR. SMITH: I mean, we've been meeting
6 with Guido Franco and, you know, CEC Staff to
7 talk about the climate research needs. You know,
8 I've seen Christopher Douglas at the PUC to talk
9 about, you know, the future of utility adaptation
10 planning and PUC processes.

11 CHAIR WEISENMILLER: Uh-huh.

12 MR. SMITH: So, I mean, we've kind of
13 been having a lot of these conversations. I
14 think from my perspective it's simply just about
15 formalizing the kind of conversations that have
16 already been happening because it's, you know, at
17 the same time, you know, it's nice for us to have
18 kind of ad hoc meetings and it's great to work
19 through that, sometimes outside of the firm
20 regulatory deadlines, you know, kind of approach,
21 having a kind of structured way for the electric
22 utilities to interact, not only with themselves
23 but with the state agencies and other parties.
24 So like that's where I'm really thinking of
25 something like a disadvantaged community work

1 stream where --

2 CHAIR WEISENMILLER: Uh-huh.

3 MR. SMITH: -- we're being able to engage
4 with those folks and kind of sharing with them
5 publicly what we're doing together, and also
6 allow an opportunity for that kind of feedback to
7 come into the, you know, kind of the energy
8 sector's adaptation planning process. It feels
9 like we're all doing that outreach on our own,
10 which is really great. And frankly, a lot of
11 this has to be done at the local level and at the
12 regional level. We have to be interacting with
13 the other groups in our service territory. But
14 there's still a lot to learn from each other.
15 And I think there's a lot of useful opportunities
16 for input into the things that the state is
17 doing, as well, including that research agenda,
18 so --

19 CHAIR WEISENMILLER: All right.

20 Nancy?

21 MS. SUTLEY: We haven't -- I don't think
22 we've been as involved in some of the other
23 utility kind of specific --

24 CHAIR WEISENMILLER: Uh-huh.

25 MS. SUTLEY: -- resilience and adaptation

1 planning. But we've been very involved in the
2 city's resilience and adaptation planning. And,
3 I mean, part of that is, I guess, the benefit of
4 being in a somewhat compact geographic area.
5 Certainly, when it comes to some of our out-of-
6 basin resources, you know, we've been working
7 hard to understand what the vulnerabilities are,
8 both on the power side, and particularly on the
9 water side. And so, for example, we've worked
10 with UCLA, also, on some research around impact
11 on the snowpack in the Sierras. It directly
12 effects our water resources. But in terms of in-
13 basin, a lot of the effort has gone around the
14 city's overall resilience and adaptation
15 planning.

16 So I think that we would, you know, have
17 a lot to learn and potentially a lot to
18 contribute to something that's more utility
19 specific. But for our sort of day to day and
20 longer term look, it's also very helpful for us
21 to be working closely with other city agencies
22 and other regional agencies through organizations
23 like LARC and others.

24 CHAIR WEISENMILLER: And that would be
25 good.

1 I think the other thing is, you know, I
2 think historically, LADWP has been in a real
3 leadership role for the Southern California
4 municipal utilities. And it's not unusual for
5 them to pick up your best practices and sort of
6 move along. So if you can help raise the bar on
7 what's occurring generally in a municipal utility
8 community in Southern California, that would help
9 us a lot, frankly.

10 MS. SUTLEY: Yeah. We've, for example,
11 been trying to share a lot around what we're
12 doing on the equity data metrics because it's an
13 important effort, but it's also pulling from, you
14 know, fairly readily available data that we have,
15 as well as using some of the screens, like
16 CalEnviroScreen.

17 CHAIR WEISENMILLER: Yeah. For both of
18 you, I mean, obviously one of the things for the
19 IEPR is it's a good opportunity to come up with
20 some specific recommendations going forward.
21 And, you know, what I've seen so far in drafts is
22 very, I was going to say, very centered around
23 Energy Commission Staff processes, and so like to
24 really elevate this more to some general problem
25 solving going forward. So if we can flesh out

1 some of those pieces with the PUC, that would be
2 good in terms of the Task Force, in terms of,
3 again, more formal ways of building this into the
4 planning processes going forward.

5 MS. SUTLEY: Well, I think one way,
6 really, is to engage local government.

7 CHAIR WEISENMILLER: Right.

8 MS. SUTLEY: Because, you know, the
9 potential, not just the planning but the
10 potential tools for addressing them, some of them
11 lie, you know, with the city's as well. For
12 example, you know, the City of L.A. adopted a
13 Cool Roof Ordinance to -- and the city has an
14 overall strategy to address urban heat island
15 effect. So I think that -- I think not just
16 looking, you know, looking more broadly than just
17 the energy companies themselves.

18 CHAIR WEISENMILLER: No, that's very
19 important. I mean, obviously, I think, I was
20 going to say on our level, probably OPR is much
21 more en point with the local governments, but
22 really trying to transform California to deal
23 with adaptation issues. You know, they've got to
24 be front and center going forward, so if you
25 could help there.

1 The other thing really to help focus on,
2 too, is, you know, I thought in terms of Ameer's
3 presentation, it was really good to sort of talk
4 about, from a very concrete, you know, what does
5 this mean for the people on the ground. But, you
6 know, one of the things that was sort of missing
7 there was the impact to freeways, you know, that,
8 as you know, there's a lot of pressure in L.A. to
9 develop right up to the freeways. And there's a
10 lot of good science from the South Coast that,
11 you know, people living next to freeways, you
12 know, their kids have higher asthma, you know,
13 than people living elsewhere. So again, somehow
14 we have to figure out, on those corridors, how to
15 make it safer for people, you know, going forward
16 generally.

17 But then certainly the big message on
18 Houston, I think as the New York Times early
19 today headlined it as sort of the forgotten parts
20 of Houston where people were just sort of ignored
21 are the ones being hardest hit, and probably
22 being ignored right now as the flood waters are
23 rising. So we have to really build, you know,
24 sort of forgotten neighborhoods into -- put the
25 spotlight as we deal with climate change and

1 adaptation going forward with sort of the crises
2 that can occur.

3 COMMISSIONER RANDOLPH: I was interested
4 in talking about the equity metrics. I was
5 particularly interested in Nancy's presentation
6 around, you know, using the data to create these
7 metrics. And I was wondering if Edison is
8 working on that as all, and if OMI is -- if APEN
9 (phonetic) has had an opportunity to provide
10 input into equity metrics in any parts of the
11 state, as well?

12 MR. SMITH: I can go first. I could tell
13 you, honestly, no, we haven't looked into that.
14 I was taking notes as she was writing it, you
15 know? I was like, oh, great, you know, the SADY
16 (indiscernible), you know, map it over to, you
17 know, the poverty levels. I think it's a really
18 great idea.

19 COMMISSIONER RANDOLPH: A meeting with
20 Nancy and Adam --

21 MR. SMITH: Yeah.

22 COMMISSIONER RANDOLPH: -- will be coming
23 soon.

24 MR. SMITH: That's right. But, yeah,
25 so --

1 CHAIR WEISENMILLER: Yeah. No. We've
2 been doing --

3 MR. SMITH: -- no, but I think it's a
4 great idea, yeah.

5 CHAIR WEISENMILLER: We've been doing
6 some of that following up on the barriers report,
7 too, on indices. So, again, happy to share that.
8 And I'm sure Heather can get that docketed in
9 this one.

10 MS. RAVAL: Yeah. Yeah. I think
11 hearing -- I've heard a little bit about the
12 equity metrics before. And I think our partners
13 in L.A., as part of the California Environmental
14 Justice Alliance, are involved in taking a look
15 at that. So I think our partners are involved.
16 And I know that the Energy Commission has a
17 report on metrics which involve one in
18 particularly on climate resilience and critical
19 facilities to really measure how critical
20 facilities are equipped with energy technologies,
21 like solar and storage.

22 And so to be able to quantify some of the
23 progress, I think is really exciting. And we
24 want to continue to be involved in sort of
25 shaping that process.

1 COMMISSIONER RECHTSCHAFFEN: I would also
2 say, just because we don't always know what our
3 staffs are doing at the PUC, but as the Chair
4 said, this did come up at the Joint Barriers
5 Workshop with the CEC and the PUC. And we did
6 suggest that both of our agencies look at it and
7 see about trying to incorporate that as a metric
8 going forward to evaluate how we're achieving the
9 goals and recommendations in the Barriers Report,
10 which is a joint CEC/PUC report.

11 I had this, I apologize because this
12 could take more than negative two minutes, but we
13 need to pull carbon dioxide out of the
14 atmosphere. So we need to regain time, too, for
15 our panel.

16 But Ameer sort of talked about the broader
17 definition of social recovery and resilience
18 beyond simply disadvantaged or susceptibility to
19 environmental harms. And so I really have a
20 thought question, maybe, for Sonya and Adam and
21 Nancy, maybe going forward, which is: Are we too
22 narrowly determining -- and maybe this is for
23 more of us in state government, too -- are we too
24 narrowly looking at what a vulnerable community
25 is for purposes of vulnerability to climate

1 change's impacts? And when we're designing
2 programs, should we be designing them more than
3 simply providing more efficient apartments or
4 microgrids, but also providing assistance to help
5 with the social vulnerability component of what
6 we need to do? Because as Katrina and Harvey
7 indicate, getting aid, you know, recovering is
8 much more than simply having an air conditioner
9 or a material appliance. It's a whole range of
10 social-political-economic tools that often
11 disadvantaged communities don't have.

12 So, as I said, it's a broad thought
13 question just to keep in mind. And I welcome for
14 any of your comments.

15 MS. ZIAJA: So from the Energy Commission
16 research perspective, we're very limited by our
17 funding sources. And a lot of that social
18 vulnerability comes from, as you've pointed out,
19 not just the energy sector. So what we've tried
20 to do is when we're doing, for example, these
21 equity and energy adaptation workshops is bring
22 in other non-energy-related partners and trying
23 to figure out how to work with them better.

24 So we're sort of aware of like the
25 broader issue, but we have limited tools to

1 address it. So our best bet so far has been
2 trying to develop better partnerships and
3 developing research that, you know, can leverage
4 what other folk are doing.

5 MR. SMITH: Yeah. I think that's really
6 right. And, you know, Southern California
7 Edison, you know, serves a whole number of cities
8 who are very interested in not just, you know,
9 the resilience of the energy, you know, the
10 electric sector, but also the broader resilience
11 of the communities that they serve. And I know
12 sometimes I'm envious of my colleague for only
13 having one local government to directly respond
14 to or one city government to respond to. I think
15 we serve over 160 cities.

16 So, you know, I think the way we define
17 success and the way we define resilience, also,
18 it's not a definition that the utilities come up
19 with on their own, but it's something that we
20 have to engage with regional and local partners
21 to figure out how they want to quantify success
22 in some of these areas. And so if -- frankly,
23 maybe that looks different across different
24 cities. You know, maybe there are some cities
25 that we serve who would really like to ensure

1 that there's a very, very strong safety net, you
2 know, community cooling centers on every corner.
3 And there could be other cities that don't want
4 to prioritize those efforts.

5 And our role, as a utility, I think we
6 have a lot to offer to ensure that we're meeting
7 their priorities and their metrics of success.
8 But I also think, you know, defining those
9 metrics of success will be a joint discussion,
10 and we're not the only voice there.

11 MS. SUTLEY: Yeah. I think that that's,
12 you know, one of the, again, you know, one of the
13 advantages of being in a single, you know,
14 department of a city is that we -- the
15 opportunity to collaborate with other city
16 agencies, certainly the regional agencies, is
17 very helpful in this regard. And the city does
18 have a certain overall framework and the Mayor's
19 Sustainable City Plan, which looks at all sort of
20 facets of, you know, environmental, economy and
21 equity. And if you kind of look through that
22 plan, DWP has a role in sort of like more than
23 half of the initiatives that are part of that
24 plan, and not just limited to, you know, sort of
25 the energy, environment and water pieces, but

1 really across both the economic and equity sort
2 of chapters of the plan. And so I think
3 particularly around climate resiliency and
4 thinking about vulnerability, you know, of
5 particularly disadvantaged communities that are
6 part of Los Angeles, that is really an effort
7 that we undertake sort of every day within the
8 city.

9 So, for example, you know, now, today,
10 right, cooling centers are open all across Los
11 Angeles, but we also had a program now for many
12 years, working with the city's Department of
13 Aging. And we give them thousands of fans every
14 summer, so that that they can distribute them to
15 elderly residents of Los Angeles who may not have
16 air conditioning or don't want to turn on the air
17 conditioning because they don't want their DWP
18 bill to be too high.

19 So I do think, particularly around
20 vulnerability and disadvantaged communities, that
21 interaction with the community as a whole, and
22 particularly with the local government entities
23 that have responsibilities, is really important.

24 MS. RAVAL: And one thing I just want to
25 add, so again I noted, we work in -- one of the

1 areas we work in is Oakland Chinatown, that has a
2 rich sort of cultural history. And maintaining
3 the social fabric in the community is really
4 important to us, particularly from the risk of
5 displacement and rising rent. And I just wanted
6 to bring that in because that, for us, is really
7 front and center as it relates to climate and
8 social resilience.

9 And so as we think about energy upgrades
10 in our communities, like energy efficiency, solar
11 panels and storage, we're also now thinking about
12 how do we, alongside that advocacy, also advocate
13 for tenant protection so that our members can
14 meaningfully benefit from those energy upgrades
15 and investments and projects and, you know,
16 doesn't allow them -- doesn't displace them
17 because they've improved their neighborhood.

18 CHAIR WEISENMILLER: I really wanted to
19 thank the panel for putting an interesting
20 conversation here.

21 I have two things. One, as Larry
22 reminded me, that we now have a solicitation out
23 on the street from microgrids that has a group
24 set aside for microgrids and DACs. So, again,
25 certainly encouraging people to be creative in

1 responding to that program opportunity notice.

2 And also sort of ask (indiscernible) to
3 think about it a little bit. OPR had a really
4 great event on these issues and trying to figure
5 out if there's a way to get some of the thinking
6 from that into this docket, so we can reflect
7 those, that, in our recommendations.

8 All right. Okay. So thanks. Thanks
9 again.

10 MS. RAITT: All right. So our next panel
11 is on making research actionable.

12 So, folks, we're going to go ahead and
13 set up the front tables with places for the
14 panelists. You can go ahead up to the front
15 tables please.

16 And as we're getting set up, so Guido
17 Franco from the Energy Commission is going to be
18 the moderator.

19 MR. FRANCO: Okay. Good afternoon again.
20 So this panel is supposed to talk about making
21 research actionable. It was actually one of the
22 topics that I would like to cover. Another one
23 is, I mean, the identification of win-win
24 strategies, how to -- and basically it has to do
25 with how to adapt to climate variability now as a

1 good way to adapt to a changing climate and a
2 potentially increasing climate variability.

3 And one example is a project that we
4 started in 2003, a long, long time ago, where we
5 thought that it would be -- that this would be a
6 better way to manage our water reservoirs in
7 California, the low elevation water reservoirs
8 that are managed using very basic rule curves
9 (phonetic) that were developed in the '70s. So
10 the idea is how to use probabilistic hydrologic
11 forecasts in a modern distribution support system
12 to improve the management with the reservoirs.

13 To make it brief, the end result was very
14 encouraging. And we used this same type of
15 modeling system for future climate scenarios, and
16 we found out that the same way, new modern way to
17 manage the reservoirs, is not only good for now,
18 but it's also good for adaptation to -- for the
19 future.

20 So another win-win strategy comes -- the
21 idea came from a presentation by a professor from
22 UC Santa Barbara, like five years ago, when he
23 said the forecasting of hydropower -- of stream
24 flows in California, the summer and the spring,
25 could have an error on the order of 30 percent.

1 I thought, wow, why so high? And in part it's
2 because we really don't know the -- I mean, the
3 estimation of the amount of water and snowpack is
4 not that good.

5 So we started, later on, a project with
6 UC Berkeley and UC Merced to help improve the
7 measurements of snowpack in California. So
8 Francesco Avanzi is going to give a presentation
9 about some measurements and telemetry they are
10 using to improve the snowpack measurements in
11 working with PG&E.

12 MR. AVANZI: Thank you. Thank you for
13 inviting me today. The project I'm going to
14 present to you today is a collaboration between
15 UC Berkeley, UC Merced, PG&E and the Department
16 of Water Resources. And as you see from the
17 title, it's all about obtaining better
18 measurements about snowpack in real time in order
19 to support and improve hydropower operations.

20 The main motivation of our work is that
21 the hydrology of California is changing. In
22 terms of snowpack, we are observing changes in
23 space and time distribution of snow and faster
24 snow melt. And, of course, these changes can
25 affect runoff in terms of seasonality and volume

1 and can increase the uncertainty for hydropower
2 operations.

3 So the main objective of our project is
4 to bridge the gap within the uncertainty in
5 hydropower and hydrologic forecasts on the one
6 hand and the growing demands for better forecasts
7 from hydropower managers on the other hand.

8 We are dealing with a real case study, an
9 operational case study, that's the North Fork of
10 the Feather River in Northern California. This
11 is a key watershed for the State Water Project.
12 The entire area of the watershed is around 3,600
13 square miles. But are focusing on the north fork
14 and the middle fork of this placing.

15 The first step of the project is the
16 installation of four wireless sensor networks, so
17 networks that measures snow and weather
18 properties in representative locations for larger
19 scales. And the red points that you see on these
20 maps are the locations where we are installing
21 our networks. The reason why we chose these four
22 locations with PG&E and DWR is because there were
23 already four snow pillows here. And so the
24 second step is to combine our new information
25 with the historical and the typical information

1 in mountain watersheds, snow pillows and
2 precipitation gage, and to blend this information
3 with (indiscernible) sensing to support PG&E's
4 hydropower planning and operations with real-time
5 data, distributed data.

6 And the final step will be to improve and
7 support the decisions (phonetic) systems of PG&E.
8 A good example is the PRMS hydrologic model. In
9 doing this, our priorities are to reduce the
10 uncertainty and increase the temporal resolutions
11 of the forecast, and on the other hand, because
12 we measure snow and weather and physiographically
13 represent the locations, we can also improve the
14 special resolution of existing information about
15 snowpack storage and snow melt in real time.

16 Here you see the complex infrastructure
17 of reservoirs, powerhouses and channels that are
18 currently used on the North Fork of the Feather
19 River. These give you an idea of one of the
20 reasons why we are working on this watershed.
21 Our wireless sensor networks and general
22 information that we are currently providing will
23 be part of this complex infrastructure and will
24 inform about the expected snow melt and stream
25 flow at each of these powerhouses and each of

1 these reservoirs in real time. You see the north
2 fork. You see the Lake Almanor on the top. But
3 you see how many of the -- how many reservoirs
4 and powerhouses are actually present.

5 This is an example of one of these
6 wireless sensor networks. This comes from Bass
7 Lake, but the structure of the networks are
8 similar in the other locations. As you see in
9 the red points that you see on these maps are the
10 location where we are actually taking
11 measurements of snow and weather. These
12 locations were chosen based on physiographic
13 attributes like canopy, slope aspect and
14 elevation. All these points communicate with
15 each other using repeaters, so using a wireless
16 network. And all the data are transmitted in
17 real time to a base station in the middle of the
18 network, which is in direct connection with
19 internet, a server in Berkeley where we receive
20 our data in real time.

21 As I told you, at each of these locations
22 is already located a snow pillow, but in this
23 case it's more or less here. And in this way we
24 can blend and compare our information with other
25 information from other networks. The spatial

1 extension of each of these networks is between 8
2 and 12 hectares, so it's pretty dense around the
3 snow pillow. And the temporary solution of our
4 data is 15 minutes. So even though most of the
5 forecasts are averaged at hourly or daily
6 resolution, we can actually downscale the
7 information at 15 minutes.

8 Here is an example. You can see how a
9 sensor node looks like. Basically, it's a
10 vertical pole and a horizontal cross arm where we
11 measure temperature, humidity, snow depth, solar
12 radiation in one location per site, and soil
13 moisture and temperature at different depths in
14 the ground. You can also see at the top of this
15 pole the network antenna. That's the antenna
16 that is used to communicate to create the network
17 between different sensors and to transmit the
18 data in real time.

19 Just to give you a couple of examples of
20 last year, as you probably now, last year was one
21 of the wettest on record for California. Three
22 of our sensor networks were already working
23 during last year. And as you see, they were
24 mostly covered by snow. But we had to do some
25 field work to restore connectivity of some of our

1 networks, but they are still there, they are
2 still working right now. And so this is a fairly
3 representing result for our future years on the
4 Feather River.

5 Now just to give you a very short
6 impression of what this data can do, basing on
7 our first results and re-analogies from past
8 year, here you see a comparison between snow
9 water content in Kettle Rock, this is one of our
10 three stations. The black line in this plot
11 represent the snow water content measured during
12 last year from the snow pillow. That is usually
13 installed in a flat and open site. On the hand,
14 the red range and the red line represent the
15 entire viability of snow water content estimated
16 for the 12 nodes that we installed around the
17 pillow.

18 So what you see here is that, on the one
19 hand, the snow pillow data show a bias compared
20 with the average snow water content from our
21 network at the same site. And this is very
22 important for hydropower managers because it,
23 actually, it can help to track the representative
24 patterns of water content based on some of the
25 physiographic variables that rule snow

1 variability but are not measured and are not
2 taken into account by the snow pillow. On the
3 other hand, this is a very good example about how
4 to combine our information with historical and
5 traditional information.

6 At all our sites there was already a rain
7 gage that was installed to measure precipitation.
8 We know that rain gages can be biased during
9 heavy snowfalls because of undercatch. But
10 because we measure snow depth at all of our
11 nodes, we can combine the rain gage information
12 with the increases in snow depth at our nodes.
13 And we can estimate and reconstruct total
14 precipitation based on this complete amount of
15 information. And again, this is very important
16 because precipitation is probably one of the most
17 important variables for hydrologic models and
18 hydropower operations.

19 Because we measure snow depth, we can
20 also estimate and separate rainfall from
21 snowfall. And this, again, very important
22 because they have a very different behavior in
23 term of hydrologic response. And that's another
24 important information that our network, combined
25 with existing sensors, can provide to hydropower

1 managers.

2 Finally, because we measure snow depth
3 under canopy and in open sites, we can also use
4 this information to reconstruct snowmelt runoff
5 for different canopy coverage. And again, this
6 is very important because most of the Californian
7 watershed are covered by canopy. But measuring
8 snow depth and estimating snowmelt under canopy
9 is very challenging and complex, because we
10 measure some of the most important variables
11 below canopy. Here you see an example of the
12 reconstructed snowmelt runoff that we can provide
13 to hydropower managers. And again, you see that
14 comparing the snowmelt runoff under the canopy,
15 the black line with the same snowmelt runoff
16 estimated at the pillow node, you see that at the
17 end of season day is different. And this is,
18 again, very important to know how much of the
19 surface of the base is contributing to snowmelt
20 every day.

21 So the main idea of the project is to
22 develop the core elements of a next-generation
23 hydrographic data network that take into account
24 special variability in snow and weather in real
25 time. This network can support hydropower

1 decision makers in real time with more
2 information about the snowpack state. And if the
3 project is successful, we'll be successful, if
4 these projects can improve hydropower to
5 utilities and ratepayers by reducing uncertainty.

6 Thank you.

7 MR. FRANCO: Thank you.

8 So it's nice to have snowpack
9 measurements, but it may be impossible to have it
10 in every water basin in California. So it may be
11 good to try to blend remote sensing with in-situ
12 measurements. And the next presentation is about
13 remote sensing using satellite data by Professor
14 Margulis from UCLA.

15 MR. MARGULIS: Thank you very much. So
16 this presentation has a very similar motivation
17 to the previous one, but, as Guido mentioned,
18 kind of from a different perspective.

19 So this is a relatively new project. So
20 here's just the basic objectives we have.

21 The first is actually, before looking
22 forward in how things are going to change, we
23 wanted to look backward to develop a new dataset
24 that provided spatially explicit information
25 about the snowpack in the Sierra Nevada, so that

1 was the first goal of this project, with several
2 kind of sub objectives. One is to characterize
3 the degree to which existing hydropower plants
4 involve snow-dominated flows versus those that
5 are more rainfall-runoff dominated. Next, to
6 build better models for current forecasting. And
7 then, ultimately, to understand how water energy
8 resources may change in the future. So we're
9 going to develop a new historical dataset to
10 provide a mechanism for looking forward.

11 In this early phase, we want to
12 demonstrate potential for improved stream flow
13 from improved snow characterization, so just a
14 basic proof of concept that if we can get snow
15 right, is that going to lead to better runoff
16 forecasts. Demonstrate the potential for
17 improved real-time snow characterization. And
18 then, ultimately, build a near-real-time seasonal
19 forecasting system. So again, these objectives
20 line up well with the previous presentation. And
21 ultimately, these are complementary, where most
22 of these objectives that we state here, we're
23 trying to meet using remote data from satellites.
24 Obviously, if we have good in situ data, that
25 should only improve these forecasts.

1 So here's just a quick schematic, I won't
2 go over the details, but we've built this system
3 over the last couple years to take in many
4 sources of data that are readily available,
5 meteorological data, topographic data, land cover
6 data, and then, ultimately, remote sensing data.
7 So one of many of the model and datasets that
8 were presented earlier today are model based.
9 And there's now a rich 30-plus year dataset over
10 most sensing data that we can leverage to build
11 new spatially-explicit estimates which we can
12 compare those kinds of models of datasets to. So
13 really, this framework that we've been building
14 is designed to get spatially explicit maps of
15 snow anywhere on the globe. Here, we're focusing
16 on the Sierras and how it's evolving daily, in a
17 given year, and also interannually over the
18 remote sensing record.

19 So here's just an example of the dataset
20 that we've built for the Sierras. So we focus on
21 the snow-dominated basins over the Sierra Nevada,
22 which is about 20 basins, around 50,000 square
23 kilometers. And because of the remote sensing
24 data we're using, which is called Landsat, we
25 have relatively high resolution, tens of meter

1 pixel resolution from these satellite sensors.
2 And so we try to exploit that full dataset,
3 Landsat 5 through 8, which spans from 1985
4 through the present to build this data set. And
5 then using much of this snow pillow network that
6 does exist in the Sierra, we verify this. It
7 works out to about 9,000 station years of
8 comparison to validate it.

9 And so what's shown here is just a kind
10 of example of some of the data that comes out.
11 On the far right, we have an animation of the
12 yearly peak annual snow water equivalent, which
13 is very useful for water resource managers in
14 terms of the overall storage or volume across the
15 landscape. What's shown in the middle is just
16 kind of if you add up all of the snow over the
17 domain, this shows for any given year how it
18 evolves over the course of the season, when it
19 peaks, how much peak water storage there is, and
20 so on. Okay. So the bottom line is here we've
21 tried to develop this very explicit dataset in
22 terms of spatial patterns so that we can leverage
23 in situ data and other models. Okay.

24 So given that, we then want to focus on
25 hydropower. And so our goal is to kind of do

1 this kind of analysis over the full Sierra Nevada
2 range. What I'm showing here, because we're just
3 getting started, are just some example results
4 from a particular watershed, the American River
5 Basin. And so what we started to do is go
6 through and start cataloging all of the
7 hydropower plants that exist, and then using this
8 database that we've created to characterize how
9 snow dominated these power plants are, and then
10 ultimately apply forecasting to these points.

11 So the first step is just kind of
12 outlining, for any one of these power plants,
13 what upstream area contributes to that. And then
14 we can take that upstream area and overlay it
15 with our dataset to try to characterize how much
16 -- which of these power plants are more or less
17 snow dominated.

18 And so here's just an example of that.
19 If we overlay those two datasets, the
20 contributing area topographic base dataset and
21 the snow dataset, we get these maps of the
22 average annual snow water equivalent covering
23 each of these upstream areas of a particularly
24 power plant. And so these are in snow-water
25 equivalent units in meters. And so dark blue

1 represents very deep snowpacks, and white
2 represents shallow snowpacks. And so you see,
3 these are basins at -- subbasins at different
4 scales, some of which are mostly covered by snow,
5 others less so.

6 So from that we can start building up a
7 database. This is just a list of power plants
8 within the American River Watershed. Some of the
9 key physiographic characteristics of them,
10 including the capacity in megawatts. And then
11 the second to last -- the last two columns is
12 where the snow dataset comes in, what the average
13 April 1st (indiscernible) is over that watershed,
14 and then what percentage of the watershed is snow
15 covered on April 1st in a typical year. And so
16 what this allows us to do is start identifying
17 focused power plants to start looking at. One's
18 the basic, that have both significant power
19 capacity, along with significant snow coverage.
20 And so I've just highlighted a few examples from
21 this particularly watershed that we're going to
22 start looking at. We're going to do this for
23 each of the watersheds in the Sierra, including
24 the Feather, so I think there's a lot of
25 potential for collaboration with the previous

1 project, and start with these snow-dominated
2 watershed where we think it's going to -- we're
3 going to be able to really zoom in and identify
4 the utility of some of these (indiscernible).
5 Okay.

6 And so then that leads to kind of the
7 questions, the other objectives and questions we
8 have. And again, these are just a very
9 preliminary examination on a few of these points.

10 So the first is answering the question:
11 Can we get improved stream flow if we improve the
12 snow-water equivalent characterization? And this
13 seems like an obvious, should be, yes, and that's
14 certainly what we're hoping on. But because of
15 the complexity of the models, our parameters and
16 other things, it's not always a given that
17 putting in a better snow input is going to yield
18 better runoff.

19 So these are just results from one of
20 these watershed where what we did is we take a
21 free-running model, which is shown in red, the
22 green -- sorry, the blue is the observed runoff
23 at this outlet, and then on April 1st, we put in
24 our snow-water equivalent from our dataset to see
25 whether or not there's going to be improvements

1 in the runoff, and that's shown in blue. So from
2 this very preliminary analysis we get this kind
3 of first order of fact check, seeing that we're
4 getting improvements in runoff predictions by
5 improving the snow. Okay.

6 Of course, if that's true, then we need
7 to make sure we can actually improve the snow.
8 And so the second question we've started to look
9 at is what's our ability to improve real-time
10 snow-water equivalent estimates? So we've
11 developed this nice historical dataset, but
12 ultimately we want to apply this in real time.

13 And so one of the things that comes out
14 of the dataset that we've developed is that
15 precipitation is very biased, typically, as was
16 shown in the previous slide. So using in situ
17 data often leads to significant biases in snow-
18 water equivalent. So what we've done is to start
19 to mine the dataset to see if we can bias-correct
20 the precipitation to generate better snow-water
21 equivalent estimates.

22 And so what's shown on the far left here
23 is kind of the snow-water equivalent from our
24 dataset, so you can view that as the reference
25 that we're trying to replicate using what's

1 called a hindcasting. The second panel is using
2 the nominal precipitation input. And so you see
3 there's a significant underestimation of the
4 snow-water equivalent because of the bias in the
5 precipitation. So clearly, using that and
6 putting that into a runoff model is going to lead
7 to significant biases in runoff.

8 What's shown in the third panel is just a
9 first attempt at trying to bias-correct the
10 precipitation to get better snow-water equivalent
11 estimates. And we see that we get much better
12 match with the historical data. And what's shown
13 in the far right is just a time series of that.
14 So we see that the black is the reference, the
15 red is the biased nominal simulation, and the
16 blue is this kind of value-added dataset.

17 So last slide, the next steps for us. So
18 again, we're going to use this Sierra Nevada-wide
19 dataset to characterize the snow-dominated
20 hydropower plants, and then use that database to
21 identify and target large plants that are snow
22 dominated to identify utility. We're going to
23 start talking more directly to hydropower
24 agencies to see the specifics of their
25 forecasting system, so that we can make sure

1 we're trying to replicate that. And then we'll
2 start building real-time seasonal snow estimation
3 and runoff forecasting systems, test those new
4 systems at these identified hydropower plants,
5 and quantify the potential of the new approach
6 via hindcasting over the historical record. And
7 then, lastly, use this dataset to start
8 characterizing how that forecasting system would
9 be expected to change as climate change impacts
10 snow going forward.

11 Thank you.

12 MR. FRANCO: Thank you very much.

13 So the next talk is by Gary Freeman.
14 Gary is, I think, I'm going to give him a title,
15 he's Chief Hydrologist from PG&E. I think it's
16 close enough. So he will give us -- he will give
17 us a scorecard of how our research is helping or
18 has the potential to help PG&E.

19 MR. FREEMAN: Thank you, Guido.

20 So I'm -- before I get into climate
21 change challenges and for hydropower operations,
22 I wanted to just kind of establish a foundation a
23 little bit for starting out kind of how we do a
24 forecast. We forecast, usually, close to the 1st
25 of each month, like February 1 or March 1 and

1 April 1. So say like, for example, on February
2 1, how much unimpaired flow or how much inflow
3 has come down the hill? How much is there? We
4 want to establish the present hydrological
5 conditions, how much precipitation, how much
6 snowpack, and then a weather forecast, maybe ten
7 days, that sort of thing, eight to ten days, and
8 then some assumption about the future, you know,
9 if we assume average precipitation and snowpack
10 accumulation, that much going forward, and that
11 becomes a forecast. And that becomes -- then we
12 put it into a plan for our reservoir operations.

13 So from that, then, I want to then
14 basically look at some of the challenges and
15 areas for research focus. And one of the things
16 that is happening with climate change and
17 hydrological change is a declining snowpack.
18 We're seeing that the snowpack has a trending
19 decline over time, okay? So the snowpack is one
20 of several forms of storage. We've got reservoir
21 storage, we've got groundwater storage, and, of
22 course, as I mentioned, snowpack storage. But
23 snowpack, you know, the storage itself, that
24 medium, to have and be able to measure something
25 like snowpack or reservoir storage, it provides

1 operational flexibility. And, also, when you
2 have a Mediterranean climate where it's dry six
3 to seven months of the year, that snowpack starts
4 to melt at a time, just as the wet part of the
5 year passes.

6 And so by March 31st, for example, when
7 the snow starts to melt, we've only got about 17
8 to 18 percent of the precipitation left to come,
9 so that's very fundamental for filling the
10 reservoirs are held fairly low. And then we
11 depend on that snowpack for filling the
12 reservoirs. As the snowpack declines what we're
13 going to find out is that we're becoming
14 increasingly dependent on the remaining weather.
15 And with that weather is a lot of uncertainty,
16 okay? The remaining weather could be dry, it
17 could be wet, so we may end up not filling a
18 reservoir or we may end up spilling the
19 reservoir. So a lot of the storage is a very
20 important thing in that uncertainty that remains.

21 The other thing that the utilities,
22 basically, throughout California, what we're
23 looking at, it's not uniform throughout the
24 Sierra. We're looking at the north being lower
25 in elevation by about 5,000 feet, compared with

1 the southern Sierra. So when you talk about
2 climate change, you talk about hydrologic change,
3 where some of the largest changes are occurring
4 and the most sensitive area to change that's
5 occurring currently or in the near future is in
6 the northern part of the state. It's in the
7 Feather River where some of this work that we've
8 just been talking about is going on. It's also
9 in the central, in the Yuba area, that sort of
10 place. It will eventually be throughout the
11 Sierra. But right now, we're seeing those areas
12 as being more sensitive.

13 Variability and extremes in seasonal
14 weather, California has one of the highest
15 coefficients of variation in terms of seasonal
16 precipitation throughout the United States, so we
17 could only expect that to get larger, pardon me,
18 that variation to be the bigger extremes in terms
19 of dryness or wetness as we go forward.

20 And then the other thing that I think is
21 a research area to focus on would be cloud
22 seeding. Many of the utilities, the
23 hydroelectric utilities perform or have performed
24 cloud seeding. And it's been an effective ways
25 over the years, at least it has for our utility,

1 to increase the snow pack.

2 So, you know, one of the ways, I
3 mentioned, is the snowpack. The snowpack is an
4 important thing since it is storage and it's
5 really needed and used to define filling the
6 reservoirs for that planning phase of filling
7 reservoirs after the wet season, following the
8 wet season. So, you know, we're becoming
9 increasingly -- as the snowpack declines and we
10 need to increasingly focus on better defining the
11 snowpack and measuring it better, we're looking
12 at technology. You know, we're looking at the
13 airborne snow observatories, a picture here of a
14 flight over the Tuolumne River. We use sensing
15 satellite technologies, such as Steven mentioned,
16 wireless sensor networks, as Francisco mentioned
17 here. And then a better understanding of
18 evapotranspiration. Along with warming with
19 climate change, especially in the northern part
20 of the state, we're seeing a lot of increased
21 evapotranspiration. It's occurring everywhere in
22 the Sierra. But we need good solid moisture
23 accounting, that sort of thing. So these
24 networks, that sort of thing, we're going to
25 really depend on technology to better define the

1 snowpack going forward.

2 Atmospheric rivers, a big one there, it
3 shows there just an illustrative example for one,
4 February 27th, 2017. And, you know, we get --
5 California gets about half of its precipitation
6 from these atmospheric rivers. It seems like in
7 the last years, we're seeing a lot more
8 atmospheric rivers, some are intense, some are
9 not so intense. But very much a concern for the
10 hydroelectric operators, hydropower operators in
11 the sense of the infrastructure. Our
12 infrastructures right down in those canyons are
13 on the sides of a hill with penstocks, that sort
14 of thing, where we have debris flows, mudslides.
15 We really need to get a better handle on the
16 weather going forward.

17 And as I mentioned, you know, along with
18 the declining snowpack, we're becoming
19 increasingly dependent upon the remaining
20 weather. When we make a forecast in February or
21 March, how much precipitation should we expect?
22 And so improved longer-range forecasting, weather
23 forecasting, very important.

24 Cloud seeding. A lot of cloud seeding
25 has gone on for several years. And it's, you

1 know, with the declining snowpack, it's one
2 alternative that we have for possibly increasing
3 the snowpack or adding to it during its decline
4 that we're going to be seeing coming forward. So
5 a lot of questions here. You know, it's been
6 effective, pretty much. My opinion is it's quite
7 effective as a snow maker.

8 But aerial versus ground seeding, what
9 are the alternatives? Should we be going to
10 higher elevation and using seeding from
11 airplanes, rather than ground-based seeders, you
12 know? And what are some of the alternatives as
13 far as seeding, you know, cloud-seeding
14 alternatives, you know, the nuclei that we put
15 into the clouds? Silver iodide is one of the
16 common ones being used now. But maybe with
17 warmer temperatures, maybe propane or, you know,
18 basically ice crystals, that sort of thing? So
19 there's just various things that can be used.
20 That's, I think, a big research area.

21 So just in summary, and I'm just going to
22 summarize up some of the just basic points of,
23 you know, some of the research opportunities, I
24 think, that would support climate change
25 adaptation for hydropower operations is, again,

1 the modeling with improved snowpack measurement.
2 The snowpack is a big thing. As it starts to
3 decline, and we can see it declining, basically,
4 you know, we need better weather forecasting, we
5 need better snowpack measurements, whether it be
6 from satellite or wireless sensor networks, that
7 sort of thing. We need that technology. And
8 then, of course, as I mentioned, additional
9 weather forecasting improvement would really be
10 helpful, because we're going to becoming
11 increasingly dependent upon filling those
12 reservoirs going into our dry period in
13 California, especially the mountain reservoirs,
14 we're going to be very dependent on that weather
15 forecasting. And then, of course, additional
16 cloud seeding research.

17 COMMISSIONER RECHTSCHAFFEN: Can I ask
18 you a specific question about the atmospheric
19 rivers?

20 First of all, I've heard different things
21 about that research, some that it's very
22 promising and could really help us do a lot
23 better managing our water supply and dealing with
24 climate change, and I've also heard that some of
25 the modeling is very, very expensive. So I'm

1 wondering if you could comment on both of those,
2 but also maybe you could explain what PG&E is
3 doing in the way of this modeling and how you're
4 partnering with NASA or other, DWR or others,
5 Department of Water Resources or others who are
6 working this area?

7 MR. FREEMAN: All right. Okay. Thank
8 you. It's one of those -- the newer areas, I
9 think within the last 10 to 12, 15 years or so
10 that atmospheric rivers have really come into
11 focus. And as far as our operations, these are
12 very strong, intense events, usually, when they
13 occur. And this past January and February, for
14 example, in 2017, this past year, they had a lot
15 of potential to be destructive, that sort of
16 thing, so a lot of focus goes into them.

17 I can say that at PG&E, we're putting a
18 lot of emphasis on the weather forecasting for
19 these atmospheric rivers. We're utilizing what's
20 available, whatever is available, and that's
21 working. Every day that I know I come into the
22 office I'm looking. The first thing I do is I
23 look to see, during the winter period, to see if
24 there's an atmospheric rivers on its way in, if
25 there's been one forecast, if it's out there, and

1 then we plan accordingly. We may reduce certain
2 flows through our powerhouses or our
3 infrastructure, like our flumes (phonetic) or
4 that sort of thing, to help preserve them if it's
5 going to be an intense one, so we try to manage
6 around those. That's very much a part of our
7 planning.

8 So, yes, I mean, I think some of the
9 initial research, I know where they're doing
10 flies and that, they're flying the Pacific and
11 doing that sort of thing, can be -- it might be
12 pretty costly, but it's sure being used. It's
13 being utilized in the utilities, at least for
14 PG&E.

15 CHAIR WEISENMILLER: Guido, do you want
16 to follow up on that question?

17 MR. FRANCO: Yeah. So five years ago --
18 I don't have a timer, so, sorry -- so we started
19 a project that we called CAL Water. And the
20 design of the project was to bring together the
21 physical methodologies of various scientists with
22 the chemists, with the people that look more at
23 the atmospheric chemistry, because the tools
24 weren't working, they were not working together.

25 So to make it short or to make it brief,

1 there was an airplane that measured the different
2 clouds and eyes and particulate matter. And what
3 was found is that the small particles in the air
4 make a big difference.

5 So a new promising way to improve the
6 forecasting of precipitation readings is to
7 include the roles of aerosols, the small
8 particles in the air. And some of these, we
9 thought, will be only the ones that come from
10 California. But actually what was reported in
11 Science Magazine is the transport aloft from Asia
12 and Africa is also very important because dust
13 that comes from far away act as very good cloud
14 nuclei.

15 UC San Diego is making big progress.
16 Marty Ralph , you may know him, I mean, they are
17 making tremendous progress, working now with Kim
18 Prather , a professor, also at UC San Diego, you
19 know, making sure that the chemistry is also
20 included in the forecasts.

21 CHAIR WEISENMILLER: Guido had some of
22 the scientists from UC San Diego brief the
23 research CAT (phonetic) at one stage on the
24 atmospheric of his research. Again, that may be
25 something you may be interested in with a follow

1 up.

2 I think the other question I was going to
3 ask Gary was just at one point, I think as the
4 Livermore stuff was coming together, there was a
5 sense from PG&E that just the hydro system was
6 responding differently than it had historically,
7 you know, the old proverbial high, medium, low.
8 And there was talk of getting a lot more sensors
9 out into the system. Where did that end up? Or,
10 A, is there -- how much is it the historic, this
11 is your high hydro, your low, you know, this your
12 planning basis? How much is that still
13 applicable? You know, what do we need to do in
14 terms of measurements or whatever to talk about
15 how the system is going to be operating over
16 time?

17 MR. FREEMAN: You know, as far as sensor
18 networks, we're especially -- you know, and I'll
19 speak for PG&E primarily -- although we go all
20 the way from the Kern River up to the Pit River,
21 we have 16 watershed, but looking primarily at
22 the lower elevation northern part, like the
23 Feather River, a lot of the focus right now is on
24 this wireless sensor network, and possibly better
25 defining the snow over these areas that are very

1 sensitive to climate change. So this sensor,
2 wireless sensor network, really satisfies some of
3 those technology gaps and that's -- you know,
4 we're going to try to build that into our
5 conceptual models.

6 We have to shift. It's a kind of a
7 traditional shift from statistical modeling
8 which, you know, you've probably heard the term,
9 stationarity (phonetic) is dead, or whatever, but
10 the time series are changing, the hydrology is
11 changing, so we're changing out technology to
12 physical-type models. And as we do that we're
13 developing, and this is part of the research
14 that's going on, developing the tools to bring
15 this stuff, like from the wireless sensors that
16 Francisco and is talking and describing, and also
17 the satellite technology that Steven is talking
18 about, to bring that into our modeling, this new
19 modeling that's being developed. And we're doing
20 that jointly. We're working with the Department
21 of Water Resources on that modeling.

22 CHAIR WEISENMILLER: I guess the other
23 question is, obviously, a lot of PG&E's hydro
24 system is coming up for relicensing. And is it
25 comes up for relicensing, it's obviously brought

1 more into the current mitigation environmental
2 perspective as opposed to the original. So how
3 is all that also changing the operation? I mean,
4 you know, it's not your old hydro system. It's
5 got to be something that's operating in, you
6 know, a much more acceptable fashion
7 environmentally.

8 MR. FREEMAN: Yeah. I mean, along with
9 warming, we see warmer stream temperatures.
10 We're, you know, we're better trying to define
11 what's out there and what's happening. And
12 again, you only can do so much, but, you know,
13 examples like this wireless sensor network that
14 we're working with the University of California
15 on, and then the Department of Water Resources on
16 the conceptual modeling, will help us define the
17 hydrology that is out there now that's occurring
18 so that we can, basically, write these licenses
19 or work with the partners on this licensing to
20 get meaningful licenses.

21 CHAIR WEISENMILLER: Okay.

22 MR. FREEMAN: We need data. We need --
23 and the technology is going to help support that.

24 CHAIR WEISENMILLER: Okay.

25 COMMISSIONER RECHTSCHAFFEN: Thank you.

1 CHAIR WEISENMILLER: There's certainly
2 things we can do to help on the data side. I
3 assume Melissa may want to chime in some on the
4 regulatory construct when she comes up. But
5 anyway, these are big issues.

6 COMMISSIONER DOUGLAS: So just a quick
7 follow-up question on the atmospheric rivers.

8 What do we know about how is effecting or
9 can affect the intensity or frequency of
10 atmospheric rivers?

11 MR. FRANCO: Well, the last report we
12 supported is three or four years old is that
13 atmospheric rivers will increase with a changing
14 climate. And that's why the forecast or the
15 scenarios or the projections suggest that we will
16 have more intense precipitation. So even if the
17 precipitation doesn't change, the distribution
18 will be such that we'll see more intense
19 precipitation, daily precipitation.

20 COMMISSIONER DOUGLAS: That makes sense.
21 And so what are the factors, when you look at
22 improving forecasting, I guess accuracy in terms
23 of you're trying to forecast intensity, you're
24 trying to forecast how likely it is that an event
25 will occur? You know, what are some of the steps

1 to really improve accuracy in a meaningful way?

2 MR. FRANCO: Well, there are like 16
3 resource centers around the world that are
4 developing the new generation of global climate
5 models. They are trying to improve different
6 aspects of the models, including this. Some of
7 them believe that increasing the resolution will
8 help, I mean the geographical resolution.

9 So in the next suite of global climate
10 models that are being prepared for the next IPCC
11 Global Climate Change Assessment there will be
12 better resolution models that will help us better
13 understand what may happen with atmospheric
14 rivers and the changing climate.

15 COMMISSIONER DOUGLAS: So those models
16 may provide us with additional information that
17 can help us do more localized forecasting?

18 MR. FRANCO: Yes. But we also have what
19 we call downscaling. But the primary information
20 comes from the global climate models. So
21 improving the global climate models should also
22 improve the climate projections for California.

23 MR. FREEMAN: As that, I might add, that
24 as that information becomes available we -- on
25 freezing levels, intensity and when it's expected

1 to arrive, they generally start off kind of on
2 the north part of the coast, generally in the
3 Oregon and Washington area, and then work their
4 way down towards the south. We basically try to
5 determine that timing, that sort of thing, and
6 operate our reservoirs to accommodate those
7 atmospheric rivers as they come down.

8 The technology and what we're getting
9 from the NOAA Center and from the people at
10 Scripps and stuff has just improved immensely in
11 the last year or two. It's just incredible.

12 MR. FRANCO: Additional information. As
13 I was saying before, the managers of water
14 reservoirs, I mean, they don't want to use
15 forecasting. They only use historical data.
16 Like, for example, if it has been raining really
17 hard but the next five days are -- I mean, the
18 forecast says it will be dry, they may still
19 release water because that's what the rule says.

20 Yes, so, yeah, there's a lot of room for
21 improvement in the management of water
22 reservoirs, including the forecasting of
23 atmospheric rivers.

24 COMMISSIONER RANDOLPH: I had a question
25 about -- for Gary about cloud seeding. And my

1 question was is that -- you mentioned that you
2 would benefit from some more research about
3 possible types of different -- different types of
4 cloud seeding.

5 But I was wondering, currently is that
6 something that is time based at all? I mean, do
7 you only do it during certain parts of the
8 season? And will that change going forward with
9 changing conditions?

10

11 MR. FREEMAN: Well, that's, I guess, will
12 it change with changing conditions? Yes, we do
13 it only during the winter wet period. And we
14 only do it for certain snow making-type storms,
15 certain wind directions, that sort of thing. We
16 have on staff a meteorologist who evaluates
17 storms that are coming, are they cold enough to
18 seed to increase the snowpack, that sort of
19 thing. They have to be a snow producing-type
20 storm. We certainly don't want to be creating
21 rain or we don't want to be adding to an
22 atmospheric river that's already bringing
23 tropical moisture in. So those evaluations are
24 made.

25 Will it change going forward? That's

1 what we want to know. We know that the snowline
2 is rising. And, in other words, the storms that
3 are coming in, when I look at the temperatures
4 versus the storms when it's wet, those
5 temperatures are increasing, especially in
6 northern -- central and northern California. And
7 I just think it's a key area that if we want to
8 continue to cloud seed -- I know PG&E has been
9 doing it since the 1950s on both the Mokelumne
10 and the Feather River. We feel it's a very
11 effective snow-making methodology.

12 We're going to need to probably do some
13 research or kind of focus on that to see if it's
14 going to change going forward. Do we need to
15 change any of our, you know, how we seed, or are
16 we going to lose opportunities possibly going
17 forward? We don't know. We really don't know.

18 COMMISSIONER RANDOLPH: So if you tend to
19 do it for cold storms, if you have less cold
20 storms then you would have less opportunities?

21 MR. FREEMAN: That's correct. And we --
22 that's a concern. We don't know if that's the
23 direction it's going. We know that the storms
24 are coming in warmer. And that may limit cloud
25 seeding opportunities going forward, unless we

1 change to accommodate that, maybe with propane,
2 or we go aerial seeding. Those are
3 possibilities. But we haven't changed over the
4 many, many years. And possibly, it might be a
5 good area for research and to investigate, you
6 know, where we're going, maybe do some modeling
7 and kind of visit that as to what would be most
8 effective going forward.

9 CHAIR WEISENMILLER: I want to thank
10 everyone, and thanks for your help today.

11 MS. RAITT: So we're scheduled to take a
12 short break until 2:50.

13 CHAIR WEISENMILLER: Sounds good.

14 (Off the record at 2:37 p.m.)

15 (On the record at 2:51 p.m.)

16 MS. DOUGHMAN: If the panelists could
17 please come to the table, we'd like to get
18 started. If the panelists could please come to
19 the table? Thank you. Okay.

20 Kristin, go ahead?

21 MS. RALFF-DOUGLAS: Good afternoon. So
22 this next panel is on managing risk. We have
23 five panelists that are going to give
24 presentations. We have two that have come all
25 the way from D.C. Thank you very much, Craig

1 Zamuda and Melissa Lavinson. Louise came from
2 next door. Thank you. And, of course, Alan from
3 Berkeley, and Geoff all the way from L.A.

4 MR. DANKER: Los Angeles, yeah.

5 MS. RALFF-DOUGLAS: So thank you all for
6 being here.

7 We're going to start with Louise
8 Bedsworth, who's from the Governor's Office of
9 Planning and Research, who's going to give a
10 presentation on climate adaptation guidance for
11 state agencies.

12 MS. BEDSWORTH: Great. Well, thank you
13 for the opportunity to talk today. I'm just
14 going to provide a quick overview of the work we
15 did on implementation of Executive Order B-30-15.
16 And for folks who don't track the numbers, that
17 executive order was signed in April of 2015 by
18 Governor Brown. And it set our 2030 greenhouse
19 gas emission reduction target, which we have
20 since codified into law. And it also laid out a
21 number of steps around building -- around
22 adaptation and resilience to climate change.

23 And so the executive order said that
24 state agencies should take climate change into
25 account in all of their planning and investment -

1 - float in, float in, so -- and to employ full
2 life-cycle cost accounting, and to evaluate
3 climate change in all infrastructure planning and
4 investment decisions. It also reiterated a
5 number of principles that the state has stated
6 around climate adaptation, that we should be
7 taking action to both build preparedness to
8 climate change and also reduce greenhouse gas
9 emissions, to use flexible and adaptive
10 approaches, that we should be taking steps to
11 protect the state's most vulnerable populations,
12 and that we should prioritizing, where possible,
13 natural and green infrastructure solutions. And
14 it also specifically called out the state's Five
15 Year Infrastructure Plan and the need to take
16 climate change into account in that document.

17 It directed OPR, our office, to form a
18 Technical Advisory Group to assist agencies in
19 implementation that executive order. It also
20 pointed to the state's climate adaptation
21 strategy, Safeguarding California, which is
22 really our guiding document for the state. The
23 state's adaptation strategy was first drafted in
24 2009, and we're currently in the second update of
25 that strategy.

1 One of the key pieces in the executive order
2 was to take this and really talk about how are we
3 going to implement it and to develop
4 implementation action plans. And the California
5 Natural Resources Agency has led that work.

6 So as we look at Safeguarding California,
7 we try to think of it a lot really as more of a
8 concept, not just a document. So what does it
9 really mean to safeguard and protect California
10 in the face of a changing climate? And we see a
11 number of activities that feed into this. And
12 this, you could draw many more contributions to
13 this, but we have been focusing a lot lately on
14 the state activities piece, and that's the
15 executive order work we've been doing, also local
16 and regional activities, and I touch a bit on
17 that at the end, and, of course, the research and
18 tool development that the state has invested in
19 to support all of this work.

20 So back to the Technical Advisory Group,
21 and that's what I'll focus on for the remainder
22 of my time, it was roughly 50 members. We
23 started with inviting folks, both inside and
24 outside of state agency -- state governments. We
25 had all of the Executive Branch represented, as

1 well as a number of our boards and commissions.
2 And then we had representatives from
3 environmental organizations, local governments,
4 utilities, and others in the private sector as
5 part of that group. As tends to happen, it was a
6 very large group. We were focusing on a broad
7 suite of areas. A number of people came in and
8 participated and gave input on specific elements
9 of the guidance document. We met from March 2016
10 through early this year.

11 We have drafted a document which is final
12 review and formatting and, I hope, will be out
13 very soon. But I will give you a preview of what
14 is in that.

15 We organized ourselves a large Technical
16 Advisory Group, but also in a number of small
17 workgroups to focus in on some specific questions
18 around climate scenarios, around community
19 development and equity, around infrastructure,
20 and around metrics. And these were roughly
21 organized around some of the principles in the
22 executive order and in Safeguarding California.
23 And then our product was basically this guidebook
24 that we've been working on. And I think there
25 are two important components to this, which I

1 think speak a bit to what was talked about in the
2 earlier panel, is there's a question here of,
3 okay, what are we planning for? The future is
4 going to look different. What is we're planning
5 for?

6 But I think equally important and what
7 often doesn't get a lot of attention is how do we
8 plan differently? It's not just about planning
9 for something that is different, but we need to
10 be thinking in a different way about how we
11 approach our planning and investment and how we
12 think in a much more systematic way about some of
13 the social, economic and community elements of
14 resilience, not just infrastructure. And so I
15 think that was spoken to nicely on the last
16 panel. But I know Commissioner Rechtschaffen
17 asked that question. I think it's critically
18 important that we're thinking about these social
19 dimensions of this issue. And that really is, I
20 think, different than what we've done in the
21 past.

22 So because this seems to be the trend, we
23 ended up coming up with a numbered, stepped
24 process for state agencies. We chose to go with
25 four steps. But this is really how we organized

1 the document.

2 And the first was -- and what we really
3 wanted to do was just walk state agencies
4 through, at a high level, a process that we could
5 apply across the full range of missions and goals
6 that we have across a diverse set of state agency
7 actors.

8 So our first step was really to think
9 about how climate change could affect your
10 project or your plan? And so what are the
11 impacts of concern? What are the things that you
12 plan around that could be affected by climate?
13 We started calling these climate-sensitive
14 planning parameters. What are things you would
15 want to track to understand how climate change is
16 affecting a project or a plan? And then once
17 you've done that, setting up a risk framework,
18 and I'll go into each of these steps in a little
19 more detail, to think about, okay, how does that
20 then inform a choice in an analytical approach,
21 as well as what kind of a change in climate
22 scenario you should be planning for. The third
23 step was how to then make a climate-informed
24 planning of investment decision? And that really
25 get so this, how do we plan differently and how

1 do we bring in these factors that are highlighted
2 as our principles for Safeguarding California?
3 And then finally, really speaking to tracking,
4 monitoring, and how do we really start
5 implementing an adaptive management approach?

6 So I'll focus mostly here on steps two
7 and three, because I think that's where a lot of
8 the work of the Technical Advisory Group really
9 came together.

10 So step two was how do we think about
11 climate risk and use that to inform what we're
12 going to plan for, choice of a climate scenario,
13 and then also, what are the various ways that an
14 agency or a department can go about doing that?

15 And so we started this, really trying,
16 with a qualitative understanding of really let's
17 try to think about the quantity, sort of the
18 magnitude, and the qualitative components of the
19 risks that we're facing and try -- this began
20 with the Technical Advisory Group. At our very
21 first meeting, people started raising the issue
22 of criticality. What is the impact of a
23 disruption? And that disruption can occur from
24 changing average conditions or a point extreme
25 shock event.

1 And so we started trying to quantify or
2 sort of lay out, what are the kinds of questions
3 you could ask about that criticality question?
4 So we talked about project lifetime, the scale
5 and scope of the risk, the vulnerability and
6 adaptive capacity of that system or community,
7 the nature of the risk. So what is that going to
8 look like in the future if something is impacted,
9 is that going to limit future flexibility? Is it
10 going to lead to something that is irreversible?

11 And then the other that we didn't list
12 here is the economic elements of that, so what is
13 the economic impact of a disruption? Also, what
14 is the cost to respond to that?

15 And we translated this. This is, I would
16 say, probably 75 percent of the work of the
17 Technical Advisory Group is how do we take these
18 concepts and map them into informing selection of
19 climate scenarios and analytical approaches? And
20 we came up with a risk matrix approach. And so I
21 apologize, this is small, but what I really want
22 to show is what we talked about was, okay, what
23 are the considerations that you have? So what
24 are the consequences of an impact or disruption?
25 What is the nature of that disruption? Who or

1 what is effected? And the economic impacts. And
2 then translating that into selecting climate
3 scenarios to plan for. So at the lower end, you
4 would be on a more optimistic scale, on the
5 higher end, a more precautionary scale.

6 And so we used this and translated it
7 into climate scenarios, so that when you look at
8 Cal-Adapt and you look at the state's downscaled
9 climate data, you could say, you know, most of my
10 answers fall on the far -- the left-hand more
11 optimistic side, it's okay to maybe apply -- to
12 think about a lower climate change scenario, as
13 opposed to on the higher end where you really
14 need to be thinking about a precautionary
15 approach, thinking about high emission scenarios,
16 and doing a much more robust analysis.

17 One thing I should say is we made the
18 recommendation that for every consideration pre-
19 2050, that every department use high greenhouse
20 gas emission scenarios. And that was because
21 that's the trajectory we are currently on
22 globally, but also, we just don't see a lot of
23 divergence in impacts until later in the century
24 because of the inertia in the climate system.

25 So we did this risk matrix approach. And

1 it will be -- this is all laid out in the
2 document. And then we also talked about not just
3 with climate scenarios, but how you can use that
4 to inform an analytical approach? And the reason
5 we did this was we really wanted to recognize
6 that all departments and agencies are at
7 different starting points and have different
8 resources available to them. So we have
9 departments that are already doing very robust
10 approaches to thinking about climate change, and
11 then we have others who really haven't even
12 started. And so this was really to say you can
13 start with doing simple sensitivity analyses or
14 just looking at certain parameters are effected
15 by climate, up to doing very complex scenario
16 analysis, robust decision-making types of
17 analysis.

18 I think I'm about out of time.

19 So quickly on step three, how we talked
20 about the decision making differently was we
21 defined resilient decision-making principles.
22 These are around the principles in the executive
23 order. For each of these, we had a workgroup
24 that developed either a checklist or a step-by-
25 step guidance on how to think about

1 operationalizing these. So, for instance, where
2 we have prioritized actions that promote equity
3 and foster community resilience, there's an
4 equity checklist that was developed that is
5 included in that document. And then we did that
6 for all of these principles.

7 Finally, I'll just mention, since the
8 executive order was signed we've had a number of
9 important legislative developments that I think
10 advance this work quite a bit.

11 One is the passage of and signing of
12 Senate Bill 379, which requires local governments
13 to integrate climate change into the safety
14 element of their general plan.

15 Senate Bill 246 created the Integrated
16 Climate Adaptation and Resilience Program at OPR.
17 Through that, we have an ongoing Technical
18 Advisory Council. And we're developing a
19 clearinghouse to really support integration of
20 climate action across state, local and regional
21 levels.

22 And then finally I'll just touch on the
23 last one, Assembly Bill 2800, which established
24 the Climate Smart Infrastructure Working Group
25 which the Natural Resources Agency is running.

1 It's just getting underway, but will go a long
2 way in sort of helping to inform how we start
3 integrating climate information into really the
4 guts of infrastructure planning. And I mentioned
5 those climate sensitive planning parameters.
6 Really, how do we start working on developing
7 that information for infrastructure investors at
8 the state?

9 And so with that, I will skip my last
10 slide and pass it on to the next speaker. Thank
11 you.

12 MS. RALFF-DOUGLAS: Thank you.

13 So next up we have Melissa Lavinson from
14 PG&E. Her presentation is Developing a Flexible
15 Regional Approach to Climate Resilience.

16 MS. LAVINSON: So thank you for holding
17 today's session, and thanks for having us here
18 today. It's particularly timely, given what's
19 going on in Houston and the fact that, actually,
20 September is National Preparedness Month. So
21 this is a great, great time to be holding this
22 and talking about these issues of how do we move
23 forward?

24 I think, you know, at PG&E, we really
25 feel that, in California, we have a huge

1 opportunity to better understand, plan for and be
2 prepared for the expected impacts of climate
3 change. And we recognize that as a critical
4 infrastructure company that serves 16 million
5 people throughout about 40 percent of the state,
6 that we have a critical role to play and that we
7 have a responsibility.

8 And so as part of that, I just wanted to
9 start out the presentation by highlighting a few
10 takeaways that we've seen, given the work that
11 we've done thus far on climate resilience. And
12 just to put it in context, you know, we are far
13 from the end of this process. We are at the
14 beginning of the journey. But these are just
15 some of the high-level things that we've seen so
16 far. So I want to focus on some of the
17 recommendations. And then I'll just take a step
18 back and go through how we got there, and then we
19 can kind of wrap back up with that.

20 But just a couple of things, and I think
21 we heard a lot of it already today through the
22 multiple panels, you know, first and foremost,
23 there's a lot of information out there and a lot
24 of work that's going on, both at the utility
25 level, at the state level, at the local level.

1 But at the moment there's not really, from our
2 perspective, at least one kind of place that
3 people can go to get information that they know
4 is good information, that they know is going to
5 be accessible, and that they know is going to be
6 at least verified in some way, shape or form by,
7 you know, reputable folks at the State of
8 California.

9 And so we think that having a climate
10 resilience clearinghouse where there's a one-
11 stop-shop for whether you're a company like PG&E
12 or whether you're a small community, whether
13 you're a local government, that can really
14 aggregate the information that's out there and
15 help better categorize it and make it accessible
16 is something that we think would be really
17 important.

18 Secondly, we talked a lot about it today,
19 the concept of a regional government structure to
20 help local governments coordinate. I think we
21 just saw in the last presentation that there is
22 going to be more and more activity at the local
23 government level, particularly as a result of
24 legislation.

25 And we know as a company, we're getting

1 more requests from local governments about
2 information around our infrastructure, vis-a-vis
3 some of the work that they're doing. But we know
4 that doing it community by community can be
5 challenging. And that really, when you think
6 about climate change and climate change impacts,
7 taking a regional approach as opposed to a
8 community-by-community approach we think is
9 something that would actually help with
10 coordination and deliver better results at the
11 end of the day. And we do have really good
12 examples of how we do that in the State of
13 California, particularly something like the Air
14 Quality Management Districts, around pollution.
15 And so looking at that as a model of how could
16 translate that into taking more regional
17 coordinated approaches to climate impacts and
18 adaptation?

19 Another one that we've talked about a lot
20 today is there's a lot of work going on already
21 in the field of looking at potential impacts,
22 particularly on critical infrastructure, like gas
23 and electric systems. And so ensuring that the
24 work that we're doing at the utilities, and also
25 the work that the state is going to be doing or

1 localities are doing, is coordinated, and so that
2 we're ensuring that we are leveraging existing
3 work, as opposed to duplicating work that may
4 have already occurred. We know that there's a
5 lot of activity and a lot of excitement to do it,
6 but we think that a better coordination process
7 would be really helpful so that we can leverage
8 dollars, and also leverage information.

9 And finally, I was really happy to hear
10 the climate smart infrastructure process that
11 will be starting up. Because we do think having
12 joint agency workshops, like this but even
13 expanded, would be really helpful to both
14 identify where we're trying to go and what are
15 some of the metrics that we could develop in
16 terms of what should we be looking at from an
17 infrastructure perspective, and how do we know
18 that we're actually meeting those results? And
19 so working jointly on that, collaborating on what
20 is the end result we want and working backwards
21 from there of how we get there, we think would be
22 really helpful from our perspective, and also
23 from a statewide perspective.

24 So just a little bit of taking a stepping
25 back of how we actually got to these

1 recommendations. And I want to put this slide up
2 here because from PG&E's perspective, again, this
3 is something that we know we have a
4 responsibility to address, that climate change is
5 something that's happening, and that we have a
6 responsibility from a mitigation standpoint, but
7 also an adaptation standpoint.

8 And this is actually our new Mission
9 Vision of Culture that we just revised and we
10 released. And I wanted to put this up here
11 because I think it's critical that you see, in
12 our vision the concept of meeting the climate
13 challenge while providing affordable energy for
14 all customers, that is sort of at the core of
15 what we're looking at. So as we go forward, the
16 way we're integrating climate resilience then
17 into the investment planning that we have at PG&E
18 and into the looking forward in terms of how do
19 we mitigate risk going forward so that we are
20 able to provide that safe, affordable, reliable
21 energy to customers, that is going to be core to
22 what we're doing.

23 And so some of the things then that we're
24 active on right now is we are working really
25 closely as a result of that, and again, that's

1 what's driving us, sort of the mission and our
2 vision for the future, we are working very
3 closely with government at state level, but also
4 communities. And we're seeing again that
5 increasing interest in climate resilience as a
6 result of legal requirements, as a result of a
7 lot of philanthropic investments, state
8 processes, as well as funding that we're seeing,
9 both coming out of CEC, as well as funding that
10 we know that's going to be coming down the pipe.

11 And as we're seeing all this bubbling up,
12 what we're getting is a lot of disparate requests
13 for information. We're getting a lot of kind of
14 one-offs. And we do think that there needs to be
15 some sort of regional approach to climate
16 resilience that can then maybe coalesce up at a
17 state level. Because, as we know, the impacts of
18 climate change are going to be different.
19 They're going to be different in the Bay Area
20 than they are going to be up in the Sierras, and
21 they're going to be different down in L.A.
22 County. And so we have to figure out regionally
23 what's the best approach to address it, both from
24 an adaptation, but then also from a response and
25 restoration standpoint. But then we also need to

1 understand what individual communities are doing
2 and how what they're doing is going to impact
3 what their neighbors might be thinking about.

4 So this is something that we think is
5 really critical and why we ask that we think
6 about maybe kind of regional overlays for
7 actually moving forward on impacts of climate
8 change.

9 The other thing that we're doing is,
10 again, we're not just working with others, but
11 we're looking internally. A couple of things
12 that we're doing at PG&E, and again this is where
13 some of these recommendations come from,
14 obviously, is part of the work we're doing in
15 context to the ramp filing, looking at impacts of
16 climate change actually on our infrastructure and
17 what some of the implications of that going
18 forward. So we're in the process of doing that
19 now. We'll be filing that in November 2017. And
20 that will be used, obviously, in advance of our
21 next general rate case.

22 But one of the things that we're doing
23 and that we're piloting internally, and I think
24 it was talked about in some of the earlier
25 sessions, is looking at how do we actually take

1 what we're learning from the modeling and from
2 the information we're gleaning from that and
3 actually put it into practice in our
4 infrastructure investments? So we're starting to
5 develop internally what we're calling our climate
6 resilience screening tool. And we're going to
7 pilot that with some of our higher-end
8 infrastructure investment projects with those
9 projects that are on the books for the \$20
10 million-plus kind of projects, so that we're
11 making sure that we're asking the right
12 questions, that we're taking that into account so
13 that before we make those investment, we've
14 actually addressed the issue of climate change.
15 So this is something that we're starting to
16 develop. I don't have the answers yet. But it's
17 something that we're moving forward with.

18 We're also taking the opportunity to take
19 the information we're gleaning from some of the
20 modeling we're doing as part of the ramp work,
21 and taking the next step and utilizing
22 visualization maps, excuse me, so that we can
23 better overlay and understand in a really
24 graphical way what are some of the impacts we're
25 seeing and what the implications are overlaying

1 our existing assets and how that -- how we're
2 going to have to address that going forward.

3 And finally, we talked about this last
4 time we were here, but again, wanting to really
5 engage with our communities, because we know our
6 infrastructure is only as resilient as some of
7 the activities of our communities. We initiated
8 and launched our Climate Resilient Grant Program.
9 I'm happy to say we're going to be announcing our
10 winners in the coming weeks. But we focused this
11 year on wildfire, and also really focused
12 wildfire and put a premium on asking to get
13 applications from disadvantaged communities. So
14 we're going to be able to announce that, and
15 we're going to then be able to pilot some of
16 those grants, see what we get from that, and then
17 we're going to make the information publicly
18 available.

19 So I know I'm running out of time. So
20 back to the recommendations, where I started.

21 So the activities we've undertaken, the
22 assessments we've already done has, again, led us
23 to these four high-level recommendations.
24 There's a lot to unpack in here, and so I look
25 forward to answering your questions as we go

1 forward.

2 So thank you.

3 MS. RALFF-DOUGLAS: Thank you.

4 Next up is Craig Zamuda of the Department
5 of Energy. And he's going to talk about the
6 Department of Energy Guidance Document on Cost
7 and Benefit Analysis for Climate Adaptation.

8 MR. ZAMUDA: Thank you. And thank you
9 for the opportunity to address the group.

10 As Kristin introduced us, she said some
11 of us have come a long way. Let me just make the
12 observation that all of us, I think, have come a
13 long way in terms of the investment that energy
14 has put into building a more resilient system,
15 whether that's been done here based on the
16 information that's been presented earlier today
17 in California, or the work that we're doing as a
18 partnership for energy sector climate resilience
19 that has been referred to by a number of our
20 partners earlier.

21 I want to compliment and recognize the
22 compliment to our partners for the great work
23 that they've done that they've talked somewhat
24 about today, but there may be other things that
25 they're doing.

1 But equally important is to acknowledge
2 the great work that California is doing in terms
3 of leading the nation, I think, and in terms of
4 addressing the many different challenges
5 associated with building a more resilient system.

6 So I'm going to talk about a couple of
7 the things that we are doing at the Department of
8 Energy currently with -- this isn't advancing --
9 with our partners, since that has been mentioned.
10 I just want to briefly remind our folks here of
11 the partnership, which consists of a number of
12 utilities across the country, perhaps small in
13 number but big in the footprint in the sense of
14 broad coverage across the nation, but a number of
15 different types of utilities ranging from
16 investor-owned utilities, co-ops, state, munis
17 and federal, and of which we have a number of
18 California participants in this partnership.

19 We've done a lot of work in this space
20 over the last couple of years. For utilities
21 that joined the partnership, they committed to
22 doing vulnerability assessments, to developing
23 resilience plans. We committed to supporting
24 that with guidance, technical assistance, and
25 identifying key gaps in areas that we ought to be

1 looking to collectively as we move forward. I'm
2 going to mention two of those today. One is
3 really a focus on cost benefit analysis and
4 trying to develop a more robust foundation for
5 conducting that cost benefit analysis. And the
6 other one is on this resilient utility roadmap,
7 that if we have time, I'd like to just briefly
8 touch upon.

9 In terms of the cost benefit analysis, I
10 mean, the real challenge is to make a business
11 case for these investments. Okay. And where you
12 stand on that is a function of how well we can
13 characterize the costs, both the cost of doing
14 nothing, business as usual, as well as the cost
15 of making the investments in resilience
16 themselves, which is a little bit more
17 straightforward. You know, you can bring in the
18 engineers, you can kind of do the engineering
19 analysis and lay out what the capital costs are,
20 what the O&M costs are.

21 The benefits category, I think, is a
22 little bit more challenging. And you've
23 addressed, through a number of conversations
24 here, part of that challenge in being able to
25 identify what is the probability of an event

1 occurring into the future? And in the absence of
2 having -- in the presence of uncertainty there,
3 it makes it more difficult to be able to
4 demonstrate, what are the benefits, when you
5 don't know when that next impact is going to come
6 along for which your investment may ameliorate
7 those implications of that, so that's a
8 challenge.

9 The other aspect, in terms of looking at
10 the benefits, is also the broader set of benefits
11 that may move beyond just a resilience
12 improvement, so there may be benefits associated
13 with mitigation, co-benefits, et cetera, and how
14 does one adequately take that into account?

15 And so what we're trying to do with this
16 step, in terms of developing a cost benefit
17 guide, is to lay out kind of a step-by-step
18 approach that could be used to adequately
19 characterize, what are all the various costs that
20 we should be looking at in terms of resilience?
21 What are all the benefits that are part of that
22 equation? That may not be within your scope as a
23 public utility commission, to include all these
24 costs. But when we talk about costs that address
25 benefits to society, is that something that ought

1 to be included? When we talk about disadvantaged
2 communities, is that something that can be
3 factored in? What we'd like to do is lay out a
4 methodology where one can look at the various
5 costs, one can look at the various benefits and
6 can look at methodologies that have been employed
7 across the country in order to conduct that
8 economic analysis.

9 In terms of categories of costs, just for
10 illustration purposes, and I'm not going to walk
11 through this, but one can envision there are
12 direct costs to the utility, whether they're
13 restoration costs, replacement costs, they're O&M
14 costs. There are various costs that may vary
15 from climate threat to climate threat. But we'd
16 like to do a better job of categorizing those.

17 There are also what we'll call indirect
18 costs, the cost to the ratepayers, the customers
19 that might be impacted. We kind of like to look
20 at that. And here are just some examples
21 provided in this slide that talk about out-of-
22 pocket cost, damage cost, health and safety cost,
23 et cetera.

24 And then there's what we'll call induced
25 cost, for the sake of this conversation, which

1 are the costs that aren't directly related to the
2 utility and not directly related to the customer
3 or the ratepayer, but they could be broader
4 costs, costs in terms of impacts on society,
5 economic implications, et cetera. And we'd like
6 to, basically, lay out a characterization of the
7 all the costs and benefits. And this is just
8 kind of an illustration of some of the benefits
9 that we'll be talking about. Some of those are
10 kind of directly immediately apparent, reduced or
11 avoided electricity service interruptions,
12 avoided costs, et cetera.

13 But there are these other things toward
14 the bottom of the slide that kind of get into
15 some of these other benefits in terms of enhanced
16 energy supply, whether it's reduced energy
17 demand, whether it's co-benefits in terms of, as
18 I alluded to before, improvements in terms of
19 mitigate et cetera.

20 How do we take into account this broad
21 set of costs and benefits to make sure that we
22 have a robust economic analysis?

23 And then what are some of the tools out
24 there that can be used to kind of compare the
25 costs and benefits?

1 Here we just have an illustrative cartoon
2 here showing costs on the left matrix and impact
3 on the right. In this case, it's the time it
4 takes for recovery for 90 percent of the outages.
5 And we can see that there's a certain resilience
6 measure cost that we've outlined here, kind of
7 just a hypothetical to show you that as we
8 improve performance, resilience costs will go up.
9 We can't totally eliminate any outages, but you
10 can kind of approach that. But as you do the
11 costs, marginally, are going up.

12 The red line is basically the costs of
13 interruptions, probably not a linear line in
14 practicality. But you could envision the costs do
15 increase as the outages do improve. And ideally
16 what we're looking for is that crossover where
17 we're getting a maximum return on investment for
18 those investments. In this case it would be this
19 point of least total cost resilience investments.

20 So there's various methods out there, and
21 we hope to catalog what those methods are to kind
22 of show you how you can maximize that return on
23 investment.

24

25 The other issue I want to address very

1 quickly is this resilient utility roadmap. We
2 know that there's all types of actions that can
3 be taken, many examples given today in terms of
4 improving resilience. What we're trying to do is
5 step back and say how do we really define the
6 attributes of a resilient utility? How do we
7 define a resilient utility in the absence of a
8 disaster? Okay. So we don't want to have this
9 kind of outcome focus where we don't really know
10 the level of resilience until the event has
11 occurred? And then we may be, well, unpleasantly
12 surprised by the degree of resilience or lack
13 thereof associated with utilities.

14 So what are the attributes for a
15 resilient utility? And we're going to try to
16 develop a roadmap that outlines that, and do so
17 in a way that it's not just that penultimate,
18 resilient utility, but from a maturity model
19 perspective; how do you move towards greater
20 resilience in terms of the various attributes
21 that we would be trying to characterize? And by
22 attributes, I'm just kind of listing a few here,
23 whether it's on governance, disclosure,
24 stakeholder engagement, risk management,
25 investment supply chains. We haven't necessarily

1 adopted this specific set of attributes.

2 But what we hope to do for each one of
3 these attributes is provide some language to kind
4 of characterize, what would be -- what would a
5 resilient utility look like vis-a-vis that
6 particular attributes?

7 So here we have governance. And by
8 governance, we're really looking at how has
9 management defined what the vision is, what the
10 goals' objectives are, what the strategic plan is
11 in terms of building resilience? What are the
12 ways that that has been communicated into
13 corporate policies and plans and strategies? How
14 has that been embedded in terms of defining roles
15 and responsibilities within the organizations,
16 and captured in terms of performance awards for
17 improved performance in terms of enhancing
18 resilience or not?

19 So there's a number of attributes, we
20 think, that fall within this category of
21 governance. And we hope to kind of have a
22 process that outlines, not just for governance
23 but for these other attributes, what are some of
24 the characteristics we're looking for? We also
25 hope to supplement that with some case studies

1 where utilities have actually demonstrated
2 resilience vis-a-vis that respective attribute.

3 And I'll end on this note of our goal
4 here isn't to really define what is that ultimate
5 resilient utility look like, but really to put
6 that in kind of a maturity model perspective.

7 And so this is what this slide tries to do, is to
8 show you that for any one of these attributes, if
9 you pick management engagement, for example, you
10 can see this gradation of improvements as we go
11 from kind of an initiating level of maturity to
12 that one of more of a leading or transforming
13 level of maturity.

14 So that's our goal is move forward, is
15 collectively to both develop a more robust
16 characterization of costs and benefits, a more
17 robust characterization of what are we all
18 striving to in terms of resilient utility? And
19 our process for moving forward is really to have
20 this as an iterative opportunity to work
21 collectively with regulators, with our partners
22 and broader set of utilities.

23 And specifically the comment to you all
24 today would be we'd love to work and continue our
25 collaboration with the California Energy

1 Commission, with the California Public Utility
2 Commission, and have you actively engaged in this
3 process as we're developing this product over the
4 next several months.

5 Thanks.

6 MS. RALFF-DOUGLAS: Thank you.

7 So next up we have Alan Sanstad from
8 Lawrence Berkeley National Laboratory. And his
9 talk is on Addressing Deep Uncertainty and
10 Climate Change Impacts and Adaptation Analysis
11 for the Energy System.

12 MR. SANSTAD: Thank you, Kristin. I'd
13 first like to thank Kristin and Guido for the
14 invitation to participate today, and
15 Commissioners for your time and potentially your
16 interest here.

17 So what I want to talk about is what is
18 currently a fairly esoteric topic in the
19 economics of climate change and long-range energy
20 policy, but becoming less so over time,
21 particularly as the topics that we're talking
22 about now, climate impacts and vulnerability,
23 become of increasing concern.

24 So first of all, what's deep uncertainty,
25 deep compared to what?

1 There's additional distinction in
2 economics, going back about a century, between
3 risk, which are incompletely known phenomenon to
4 which probabilities can be assigned, and
5 actually, it's important, not just probabilities
6 but probability distributions, and uncertainty,
7 which refers to the absence of that kind of
8 information. Now this is not hard and fast. Any
9 example and practice for the most part -- and
10 with risk the implication is that there are
11 experimental or empirical data on which to base
12 this probability information.

13 This is a very challenging distinction in
14 some cases. So, for example, the uncertainty
15 characterizations of the IPCC have been worked
16 out over a very long period of time. It's been a
17 very rigorous and difficult process to get to the
18 IPCC, where they are today. So the terminology
19 is not completely standard, but the underlying
20 idea has grown in importance over time. There's
21 no, ultimately, single definition. But deep
22 uncertainties are those that are particularly
23 difficult and/or complicated instances of a
24 second type, where you really don't have rigorous
25 probability information, but you also have

1 enormous complication or depth of the thing
2 itself.

3 So strictly speaking, in this arena,
4 regarding impacts and adaptation analysis, and
5 definitely with respect to the energy system,
6 almost everything, if you're being literal,
7 qualifies as this, not just because of the
8 absence of probability information of this type,
9 but because there are large numbers of
10 possibilities, which is to say complexities. So
11 projections, examples such as projections of
12 climate change and, particularly, fine-scale
13 variables, meteorological variables at regional
14 scales, even sub-regional scales, projections of
15 physical and ecosystem impacts of climate change,
16 such as sea level and wildfire, again, at the
17 fine, granular scale, and most certainly the long
18 run evolution of the energy system and its
19 drivers. Even prior to considering climate
20 change impacts, what is technology evolution
21 going to look like? How are economic market and
22 institutional changes going to be manifest over
23 decades? How are economic growth and demographic
24 trends, what are they going to be and how will
25 they affect the energy system?

1 So although the scenario analysis is sort
2 of the lingua franca of a lot of this, of course,
3 and it's usually not framed this way, but it can
4 be considered as a way of trying to deal with
5 deep uncertainty. So when given scenario choices
6 for any sort of study, choose a scenario or
7 scenarios, and you can apply traditional methods
8 a lot, so you can apply very different kinds of
9 analysis and models and you can do cost benefit
10 analyses, and so forth.

11 The issue at hand is that with very few
12 exceptions, scenario analysis generally takes
13 account of a very limited degree of deep
14 uncertainty in these kinds of applications,
15 especially over the long run, which is to say a
16 relatively small number of possibilities are
17 usually addressed, so if you think of high,
18 medium and low economic growth, right, or
19 different kinds of climate projections, certainly
20 high, medium and low technological evolution.
21 We've all seen these examples where you take a
22 few examples and you run those, and possibly in
23 great detail. But within each of those, that's a
24 very small sample of a very large space that
25 might have been considered conceptually and

1 quantitatively.

2 When you really take this all onboard, a
3 couple of things that are challenges. One is the
4 traditional cost benefit analysis is difficult to
5 apply. Standard decision making on uncertainty
6 methods and stochastic analysis methods are also
7 difficult to apply, what I mean, standard,
8 because they're based on probability information.
9 And, also, our computations are very challenging
10 for large problems, problems that are represented
11 in terms of large models.

12 In general, finding the concept of
13 optimal solution to a problem in terms of the
14 global optimum, taking all information into
15 account, that is very hard to do. So robustness
16 is a term that comes up a lot in this field. And
17 it refers -- there are -- it means different
18 things to different people; right? It's
19 colloquial, but it's also -- it has technical
20 meanings, but there's more than one of those. It
21 generally refers to identifying solutions to
22 problems that, if not optimal, will be
23 satisfactory in some way under a wide range of
24 circumstances or conditions defined by deep
25 uncertainty.

1 So it's been exemplified here, I think,
2 today with different possibilities of what
3 climate change will do in California. What is --
4 how should we consider adaptation policies in the
5 energy system that will work out well under a
6 wide range of these conditions or under a wide
7 range of penetration of renewable technology
8 scenarios and so forth. Anything you might look
9 at there is potentially an example of something
10 for which robust solutions are desirable.

11 So the trick here is identifying exactly
12 what you mean by satisfactory. Okay, robust,
13 it's going to work out. It should work generally
14 well, no matter what. Well, what's work out well
15 mean; right? How well? You know, what are you -
16 - how are you characterizing that?

17 So there are technical methods for
18 answering that question. A good -- a well-known
19 example is something called max-min, which given
20 what information you have, you make the best
21 possible decision, assuming that the worst
22 possible outcome, external factor, is going to
23 emerge. So make the best possible -- you know,
24 make your climate-based decisions for energy
25 assuming the worst-case scenario of climate

1 change, or the worst case scenario as far as the
2 expense of advanced low-carbon technology in the
3 future. So this is a method that's been applied,
4 especially in the climate and economics by
5 macroeconomists. Some of my work and
6 collaboratives in the last few years has been
7 about this, and also energy policy.

8 An alternative approach, which some of
9 you are familiar with, is just defining the
10 complete space of all possibilities in whatever
11 your space is defining deep uncertainties. So do
12 you have a range of -- you know, for any or all
13 your variables? Do you have, numerically, a
14 range of them? Look at all of -- everything
15 that's defined across all those ranges of inputs.

16 This method has been pioneered,
17 especially by RAND in Santa Monica, Rob Lempert,
18 especially, in this room. And they've applied
19 this to a wide range of problems. Also, there's
20 a reference at the end of the slide deck about
21 this.

22 Now in practice, what this comes up
23 against is the fact that -- what this makes
24 challenging, especially, computational modeling
25 is now sort of the, obviously, the dominant

1 analytic methodology in a lot of areas, many
2 fields, physical, social and engineering science,
3 including, in the present context, general
4 circulation or climate modeling, and certainly
5 modeling in energy economic policy and planning.
6 So this is an emerging field, but so far it is
7 and definitely going to be primarily based on the
8 application of models like this and other
9 solution models.

10 So in practice, deep uncertainty tends to
11 embodied in the models themselves, not on the
12 structure of the models, their governing
13 parameters, also what input assumptions are built
14 into them, what theoretical assumptions they make
15 about the mathematics of the underlying
16 phenomena.

17 So, for example, climate models, the
18 general --the numerical models are a very good
19 example. I think Guido mentioned, there are
20 something like 16 research groups around the
21 world running models of this type. They all are
22 and feel equally credible, and they all give
23 different answer, which is to say if you sort of
24 normalize the inputs about things like human
25 emissions of carbon you run the climate for,

1 they'll all give you some different path. That
2 is a sort of characterization of how deeply
3 uncertain the climate system is with respect to
4 our curtailment knowledge and our ability to
5 model it.

6 In energy modeling, too, there are
7 fundamental principles, or not as -- you know,
8 they're different from the physics, but
9 economics, economic phenomenon can be described
10 in a lot of different ways. There's sort of
11 basic decision making and economic marketing
12 equilibrium, and so forth. There are many, many
13 ways to build those things into a medium-duty, no
14 matter what you're doing. And things like
15 functional forms, the real, the nitty gritty,
16 when you get down to it, there are many ways to
17 do it that are equally plausible. So this gives
18 rise to a lot of deep uncertain in practice.

19 So the problem is here, the models are --
20 you know, they're -- the models that we're
21 talking about are very complex and they're
22 complex for a reason, which is that the phenomena
23 are complex, too, and they're getting more
24 complex over time as more things, clearly, need
25 to be represented.

1 But the issue here is that the larger the
2 model, the harder it is to address directly these
3 problems of deep uncertainties, including any
4 form of formal robustness analysis. Basically,
5 there are examples where this has been done, for
6 example, energy technology futures with a full-
7 scale model. The one or two examples I know
8 about use super computers. And even then, it's a
9 challenge to set up and run the thing. So the
10 practical examples that I was mentioning before,
11 macroeconomics and the RAND work are generally
12 done with small or low dimensional models.

13 So as a conclusion, I want to say that
14 continued development of improved methods for
15 these simpler models, in parallel to more
16 complicated analysis, particularly in energy
17 models, could prove very useful. Now this is not
18 wanting simpler models, per se. It's not about
19 deep uncertainty; right? But you might ask,
20 well, useful for who to do what?

21 So there are examples in California of
22 simpler models becoming very useful. The E3
23 calculators are a good example. I mean, they're
24 quite simple, compared to what they're based on.

25 In the last couple of years, I want to

1 mention, the Aspen Energy Group, under the
2 leadership of Catie Elder and under the auspices
3 of Melissa Jones and Sylvia Bender, has developed
4 a low resolution gas-balance model that
5 complements the very complicated pipeline models.

6 So these are -- these can come in very
7 handy in particularly cases. But the
8 articulating -- you know, and as the models get
9 more complicated, if one really wants to fully
10 address these kinds of deep uncertainties, they
11 could prove an important avenue to that.

12 So the issue is how to do this in a way
13 that's articulated with the ongoing, more
14 complicated models? They're not -- those are
15 not, nor should they be, put aside by any means.

16 So in this space, I'm going to end on a
17 research, you know, topic, and it's totally
18 research. If there's basic research in energy
19 modeling, this is an example which is what are
20 the returns to complexity in modeling adaptation
21 strategies for the energy system?

22 So an example I have in mind is that
23 long-run climate scenarios, including NASA and
24 more complicated models, hourly resolution of the
25 system in the late 21st Century.

1 So the question is: For decisions you're
2 making in the next 20 or 30 years, do you need
3 hourly resolution in 2070 or 2080? How much will
4 it -- how much of a difference will it make to
5 identifying the critical decision thresholds
6 where you want to make long-term -- you need to
7 make long-term decisions about investments at a
8 particularly time?

9 So better tools for exploring this, I
10 think, would be very useful. And I have in mind
11 the boundary currently emerging between
12 integrated resource planning that's coming back
13 in California and long-run scenario analysis for
14 the energy system that's being done. Those are
15 both becoming more complicated. The critical
16 resilience decisions with respect to climate
17 change are going to be made in the coming
18 decades. And easier ways of making those
19 decisions robustly are more useful tools for
20 identifying those, what those are, in a robust
21 way I think would come in very handy. But this
22 is sort of a long-term and speculative path of
23 research.

24 But thank you.

25 MS. RALFF-DOUGLAS: Thank you.

1 And last but not least, we have Geoff
2 Danker of Southern California Gas Company. And
3 his presentation on Risk Assessment of Climate
4 Change Impacts.

5 MR. DANKER: All right. Good afternoon.
6 The last panelist on the last panel.

7 So I'm Geoff Danker, Franchise, Fees and
8 Planning Manager at SoCalGas. I'm here to talk
9 to you guys about our Risk Assessment and
10 Mitigation Phase filing that was recently done to
11 the CPUC last year, so we call it ramp filing,
12 and specifically, the climate change adaptation
13 portion of that ramp filing.

14 So the purpose of this chapter was to
15 present the Adaptation Assessment and Mitigation
16 Plan for SoCalGas for the safety-related threats
17 to gas infrastructure posed by climate change.
18 And then ultimately coming out of that was
19 addressing the risk through formal planning and
20 adaptive actions.

21 As we all know and as has been discussed
22 today, each community can be effected differently
23 from climate change. So formal planning and
24 adaptive actions are needed to address changes on
25 a proactive basis. And so we're pushing forward

1 with the vulnerability assessment and an
2 adaptation plan of our own. And so I'll talk
3 about that later and on our kind of mitigation
4 steps.

5 So SoCalGas and our friends at SDG&E take
6 compliance and managing risk very seriously. So
7 this is the first time that the utilities have
8 presented this climate change adaptation ramp
9 filing, so please be gentle. The process and
10 outcomes are, of course, expected to evolve
11 through work with the CPUC and other stakeholders
12 over the next several general rate cases.

13 And so, essentially, the first step was
14 understanding the risks. And so we got a group
15 of subject matter experts together at the Gas
16 Company and did a literature review. And to my
17 surprise is there wasn't a whole lot of data out
18 there specifically related to underground gas
19 infrastructure, and specifically related to
20 climate change impacts to that underground
21 infrastructure. But I think there's an
22 opportunity.

23 SoCalGas is the largest natural gas
24 distribution and transmission utility in the
25 country. We've got 20 million customers. We go

1 from Mexico to Fresno, and everywhere in between.
2 And so we have a whole suite of different
3 climates and different potential impacts. And so
4 I think we should be the leader on this issue
5 nationwide. And I think there's a fantastic
6 opportunity for us to start looking at these
7 issues that could ultimately help a lot of other
8 underground gas utilities throughout the country.

9 So starting at referring back to what our
10 friend at PG&E said, I support this idea of a
11 clearinghouse of data. You know, as I was trying
12 to dig up as much stuff as much stuff as I could
13 find, I was looking at Hurricane Sandy examples,
14 I was looking at the gulf examples, I'm sure
15 we'll have some studies coming out of Houston in
16 the upcoming years, a clearinghouse would be so
17 helpful, just a one-stop shop for utilities,
18 public agencies, the public, somewhere where we
19 know the data is solid, we know it's been peer
20 reviewed and it's accessible. So I'm glad PG&E
21 brought that up earlier.

22 So we started a process of trying to
23 identify key threats and, of course, around the
24 five major categories of the severity or
25 increased frequency and severity of storms, so

1 things like El Nino events or heavy rainfall, sea
2 level rise where we looked at coastal flooding,
3 change in precipitation patterns and drought, and
4 so we looked at subsidence and landslides and
5 mudslides, changes in extreme temperature which
6 we looked a lot at increased electric generation
7 and demand for natural gas during those extreme
8 heat days where people are using a lot of air
9 conditioning, and then the increased wildfire
10 frequency, and ultimately the potential for
11 exposure of underground pipelines.

12 And so after identifying those kind of
13 main themes, we kind of dug down a little deeper
14 and looked at kind of what the related events
15 and, ultimately, the consequences would be? This
16 is still, like I said, at a very high level.
17 This was very much a bunch of SMEs, or a bunch of
18 subject matter experts, using the data that they
19 had available and their experience with their
20 particular expertise areas. And so we looked at,
21 you know, damage caused by flooding and mudslides
22 and wildfires and what that would do to asset
23 repair and replacement.

24 The same thing for asset repair on the
25 changes of sea level and flooding. We looked at

1 localized system outages where, you know,
2 increased maintenance for frequently run assets,
3 increased customer usage in capacity-constrained
4 areas, safety shutoffs and emergency fire and
5 flood and landslide events.

6 And then, ultimately, also looked at
7 policy revisions, so the potential for evolving
8 regulations and standards, as well.

9 So in order to prioritize or, quote
10 unquote, rank these different risk -- these
11 different risks, we used what we call a risk
12 evaluation framework which, we agreed, was kind
13 of a rational and logical and common framework
14 used to understand and analyze risk. This
15 framework, we called it REF, the risk evaluation
16 framework, the Commission adopted it as a valid
17 method to assess risk for the purposes of this
18 ramp filing, and so we went with it and we used
19 it.

20 And so, essentially, there was kind of
21 three main inputs into the calculation or the
22 formula where we had a weighting of different
23 impact areas. And we gave a greater weighting to
24 safety and health and environmental, and then a
25 little bit less of a weighting to the operations

1 and regulatory and financial. And then,
2 ultimately, multiplied that by the level of
3 impact, and ultimately multiplied that by the
4 level of frequency, and then used that to
5 ultimately calculate risk scores for these
6 different risks. And like I said, this is early
7 in the process. And so we plan on working
8 through this is in the next kind of several
9 general rate cases. But it was a very productive
10 process to kind of try to quantify things that
11 are difficult to quantify.

12 And so looking at how we actually did
13 that, I have this massive matrix that's totally
14 easy to read. But essentially you have your
15 areas on the left that show the health, safety
16 and environment, the operation and reliability,
17 the regulatory, legal and compliance, and the
18 financial. And then, ultimately, with the work
19 of -- with the subject matter experts, we
20 attempted to score the severity of the impact,
21 and then also the frequency or the likelihood of
22 the impact.

23 And as you can see, for health safety and
24 environment, on the impact, you know, there's the
25 catastrophic level on the far left where there's

1 a high score of seven where you're talking about
2 fatalities and life-threatening injuries and
3 irreversible impacts to the environment. And
4 then you kind of move down the scale to that
5 where you're talking about, you know, maybe some
6 injuries but no deaths and, you know, minimal
7 environmental impacts.

8 And so same thing on the operations and
9 reliability where the catastrophic of the extreme
10 scores would be, you know, those types of events
11 that are effecting over a million people, you
12 know, a potential disruption of service for a
13 long period of time. And you kind of work down
14 your line to the lowest score would have been,
15 you know, an impact to maybe less than 100 people
16 and a disruption of service for maybe a few
17 hours.

18 And then on the frequency scale, you can
19 see the high scores were essentially those items
20 with the potential to occur ten times or more a
21 year. You know, going to the middle where, you
22 know, maybe it's once every three to ten years.
23 And then the lowest scoring on the frequency
24 being, you know, once every 100-plus years.

25 So ultimately we had an equation that

1 multiplied the severity of the impact by the
2 frequency of the impact to help us kind of
3 prioritize these different impact areas.

4 So moving forward, we're using this
5 matrix or this REFF, this risk evaluation
6 framework, to help us kind of prioritize
7 investments moving forward. And we're going to
8 work through this in the next couple kind of
9 general rate cases, that we kind of wrap our
10 heads around what are ultimately the threats to
11 the underground gas infrastructure and where we
12 should be -- where we should be focusing our
13 limited funds.

14 But the exciting thing for me is
15 something that I'm very passionate about is as
16 we're moving forward with the Gas Infrastructure
17 Resiliency and Vulnerability Report. And, you
18 know, I had to modify my presentation right
19 before this because it's not official-official,
20 but we're close to entering into a contract with
21 a consulting firm who's done a lot of work with
22 our system company at SDG&E on this stuff. And
23 so we're very excited to kind of put pen to paper
24 and get a vulnerability assessment, like our
25 electric IOU friends have done with their DOE

1 partnerships. And then ultimately using this
2 data to communicate at the local level.

3 And so, as we all know, SB 3079
4 (phonetic) has been talked about all day. And so
5 we're looking at developing a tool or process for
6 local government coordination. You know, we've
7 got 250-plus cities. We've got 11 counties.
8 We've got several MPOs. And so we need this data
9 to be accessible. We need it to be easy to
10 understand. We need it to be malleable so we can
11 differentiate Santa Monica from, you know,
12 Riverside and everywhere in between.

13 And so I included a couple of other
14 specific mitigation things that came out of our
15 ramp filing, but I'm getting the sign that I'm
16 out of time.

17 So thank you very much.

18 CHAIR WEISENMILLER: Thanks. Actually,
19 great panel. Some follow up.

20 I guess I'll start with Melissa on the
21 easy questions, at least the forewarned questions
22 are on forestry access and hydro licensing.

23 MS. LAVINSON: Okay.

24 CHAIR WEISENMILLER: Yeah.

25 MS. LAVINSON: So I think I know your

1 question on forestry access. And maybe you can
2 just clarify --

3 CHAIR WEISENMILLER: Yeah, start with
4 that.

5 MS. LAVINSON: -- on the hydro. So we'll
6 start with the forestry.

7 So that has been an issue for us in terms
8 of accessing rights of ways and sort of adjacent
9 lands. It's been kind of hit or miss with the
10 various federal agencies. We have worked with
11 Forest Service. We have worked with BLM. We
12 have worked with National Park Service.

13 I will say, with Forest Service, it has
14 been challenging over the years. But as a result
15 of drought, for the past couple years, we entered
16 into some emergency agreements, we have, as well
17 as Edison, figuring out how to actually take a
18 regional approach to accessing forest land, but
19 they've been upped year by year. We just re-
20 upped again.

21 But once the year ends, essentially, the
22 requirements around how we can access those lands
23 becomes very challenging. So instead of just
24 giving a notification and doing sort of a
25 regional process of this is the kind of work

1 we're going to have to do, this is how we'd like
2 to do it, this is how we'd like to access it,
3 let's kind of take a regional approach to this,
4 and creating a notification system as opposed to
5 an approval system, we'll go back to the approval
6 system where it can take, you know, forest by
7 forest, depending on kind of how the forester
8 essentially addresses. The process can take many
9 months to, essentially, just get on and do the
10 work that we know we have to do.

11 So we're trying to move to a similar kind
12 of arrangement with BLM, given that we had years
13 of drought, and now we have a lot of overgrowth,
14 we haven't worked that out.

15 And for National Park Service, we're
16 challenged there. Basically, all of the existing
17 agreements that we had with them have all
18 expired, and we're having challenges re-upping
19 them. And I think part of the problem we're
20 going to have going forward is most of our
21 federal agency friends are going to continue to
22 be resource constrained. So even though we have
23 cost sharing agreements with them, they're
24 having, sometimes, challenges implementing them.
25 And as we see federal budgets decline over time,

1 we know there are going to continue to be
2 resource constraints.

3 So these are things that we're trying to
4 work through. There's actually federal
5 legislation that we worked on with the industry
6 that passed the House of Representatives with
7 bipartisan support. And we're looking at trying
8 to do this similarly in the Senate, that would
9 actually put in place processes where it would
10 sort of require regional approaches to accessing
11 rights and ways, because we do think that's a
12 much more effective and efficient way of doing
13 it.

14 CHAIR WEISENMILLER: Do you have any
15 similar issues with California Forestry? Anyway,
16 I thought I'd try to see.

17 MS. LAVINSON: I'd have to go and --

18 CHAIR WEISENMILLER: That's fine.

19 MS. LAVINSON: -- actually

20 (indiscernible) --

21 CHAIR WEISENMILLER: Yeah. But if you
22 do --

23 MS. LAVINSON: -- (indiscernible).

24 CHAIR WEISENMILLER: -- I think all of us
25 understand that with the climate impacts we're

1 seeing, that we're seeing more and more
2 wildfires.

3 MS. LAVINSON: Yes.

4 CHAIR WEISENMILLER: And certainly the
5 implications of the transmission systems and
6 forestry has got to be front and center in a lot
7 of minds. And so the question of how to act
8 proactively there to reduce the hazard is really
9 critical, I think, for all of us as officials.
10 So if there are ways we can work together with
11 you on that, I'm certainly happy to know how to
12 do that.

13 I think the flip side is, obviously, you
14 have a large number of hydro facilities which are
15 in relicensing. And at the same time there are
16 climate change effecting them, and at the same
17 time with the expectations for the degree of
18 environmental mitigation is dramatically
19 different than when you were granted those.

20 So again, where does that stand, getting
21 that part of your system much better from an
22 environmental perspective, but also, presumably,
23 better able to deal with the changing climate?

24 MS. LAVINSON: So you're absolutely
25 right. And again, the hydro relicensing process

1 can be a challenging process, as well, and take
2 multiple years. I mean, on average it takes
3 about ten years to relicense an existing project.
4 And so it's something that we actually are
5 continuing to work in trying to advance,
6 actually, changes at the federal level, as well,
7 on that process. And I think some of the
8 learnings from today's workshop and from what
9 we're doing on climate resilience is actually
10 applicable.

11 So one example of things that we'd like
12 to see changed that can be challenging is use of
13 common models and datasets. So even at that
14 level there's not, sometimes, a common use of
15 datasets and models between agencies, so each can
16 go off and do their own analysis and, as we just
17 heard on some of the modeling, you're never going
18 to get the same answer. So it becomes
19 challenging then, actually, to work through what
20 needs to be done from a mitigation standpoint, so
21 it draws out the process and it takes time.

22 So you're absolutely right. We would
23 love to get through the process faster so that we
24 can actually get to the environmental mitigations
25 that we need to do. Because in the interim the

1 project just continues to operate as it has
2 operated for decades. So the delay through
3 getting through a relicensing process actually
4 delays the implementation of the environmental
5 upgrades.

6 And so we recognize that systems are
7 changing, hydrology is changing, and we have to
8 understand that as we go through the modeling
9 process, but we want to get through that faster.
10 So that's another area at the federal level that
11 we've been working to try to advance changes over
12 multiple congresses to better align agency work,
13 to better align the stakeholder process, and to
14 actually move through it at a much faster pace.

15 CHAIR WEISENMILLER: Now I guess one of
16 the things that I'd certainly encourage you in
17 your written comments is to flesh out better how
18 we can get to the clearinghouse --

19 MS. LAVINSON: Uh-huh.

20 CHAIR WEISENMILLER: -- and what we can
21 do in terms of governance in the process.

22 It seemed like one of the areas I wanted
23 to explore a little bit was, obviously, Edison
24 was very comfortable with, you know, the federal
25 approach we've had, you know, the working

1 approach with the, you know, agencies on climate.

2 And the question is: Should we have not
3 just that, but sort of a specialized California
4 version that pulled more generally across the
5 California utilities?

6 And so that can help with some of the
7 things you've talked about in terms of trying to
8 leverage research better or coordinate research
9 better and to have, you know, just more better
10 understanding across the agencies?

11 MS. LAVINSON: Absolutely. I think that
12 would be great to be able to replicate something
13 like that at the state level.

14 Again, I think getting back to the issue
15 of it's good for us to all, I think, be working
16 from similar, again, similar datasets, similar
17 modeling platforms and understanding at the end
18 of the day, what are the objectives that we're
19 trying to hit, and working back from there to
20 then create the metrics to make sure that as
21 utilities, we're actually doing what both we
22 think we need to be doing to mitigate risks, but
23 also what's going to be responsive from your
24 perspective, from the PUC's perspective on that.

25

1 So, yes, we think replicating and
2 convening something at a statewide level,
3 because, as we know, the impacts of climate
4 change are very localized. And even within the
5 state, impacts of drought are going to manifest
6 itself differently in our surface area, versus
7 Edison's, versus San Diego. So we absolutely
8 think that that kind of convening, and then that
9 kind of granularity, would be really helpful.

10 COMMISSIONER RECHTSCHAFFEN: Can I just
11 interject and ask Louise, are we in the process
12 of already establishing this clearinghouse under
13 SB 259? Are we already doing what Melissa has
14 suggested?

15 MS. BEDSWORTH: Yeah, I mean, to a
16 degree. So through Senate Bill 246 we --

17 COMMISSIONER RECHTSCHAFFEN: 246. Sorry.

18 MS. BEDSWORTH: -- were tasked with
19 creating a clearinghouse at the state level, and
20 it's not up yet, there's a placeholder. But
21 we're working closely to tie it -- link it up
22 with Cal-Adapt and make them really work
23 together. Through the direction in legislation,
24 it will include case studies, resources, links to
25 data.

1 And so we are going through a process
2 right now. We've been doing some stakeholder
3 engagement, user needs assessments. I believe,
4 and I'm going to look to Susan, that we are also
5 going to link up a user needs assessment with an
6 upcoming Cal-Adapt workshop, as well, just to try
7 to tie into the people who are using this
8 information.

9 And so I think it is a great resource
10 that we can work collaboratively on to build out
11 the body of information in there, because that's
12 always the biggest challenge. I think we have a
13 good approach to thinking about and are facing
14 all of that, but how do we get that credible,
15 updated information in there?

16 And so we have had a lot of focus to
17 date, really, on local government workers, but
18 also state agency users, of such a clearinghouse.
19 So it's just a conversation we should continue.
20 We're working with a group at UC Berkeley to
21 build that out, actually the same folks who built
22 Cal-Adapt, so that we try as much as possible to
23 have them work well together, so --

24 COMMISSIONER RECHTSCHAFFEN: And could I
25 ask another follow-up question, and maybe Guido

1 or Susan or you, the third bullet about better
2 coordinating research so that the utilities are
3 engaged. This is a process to engage the
4 companies in resilience research before we award
5 state research grants to make sure we're not
6 duplicating what the energy utilities are doing
7 in their research. Are we doing that in the
8 Fourth Assessment or in the research, Climate
9 Action Team, or do we have a process in place for
10 that already?

11 CHAIR WEISENMILLER: Let me try a little
12 bit.

13 So, obviously, the forum for us is the
14 Investment Plan. And we did a workshop
15 specifically, I'm trying to remember if it was
16 one or two, specifically on climate research
17 there. And actually, I don't know, I was going
18 to say at least I know Melissa was in town for
19 that and testified.

20 So that's part of the way to try to get
21 that in, although I'm sort of trying to push a
22 little bit in terms of saying, as you can tell, I
23 have a lot of scientists who want to do
24 actionable research, and at the same time making
25 sure that there's a lot of cross communication on

1 what are the priorities and needs?

2 And, you know, as I said, we try
3 workshops. We try various things. But if we
4 need to do better, let's figure out a way to do
5 it; right? You know, and -- go ahead.

6 MS. LAVINSON: I was just -- I'm trying
7 to remember back, because there was, I think, a
8 study that you all funded that looked at some
9 subsidence-related issues in the gas system. And
10 I know the work had already -- there was a lot --
11 there was research that had already been done,
12 but then there was an engagement with our subject
13 matter experts with the researchers prior to the
14 publication of that. And I think it actually
15 wound up making the publication much stronger
16 because we were able to actually kind of go back
17 in and take a look at some of the information and
18 the data that was being used and update it and
19 make it more relevant to actually what was
20 occurring. So we kind of got in the middle of
21 the process versus, you know --

22 CHAIR WEISENMILLER: Oh, no --

23 MS. LAVINSON: -- versus at the end.

24 CHAIR WEISENMILLER: That's good.

25 MS. LAVINSON: But I'm thinking if that

1 was -- you know, if we took a step back and had
2 replicated that a bit at the beginning of the
3 process as opposed to kind of in the middle of
4 the research, that would have even, I think, made
5 for a more robust and actionable output, from our
6 perspective.

7 CHAIR WEISENMILLER: No, that's good. I
8 think one of the things, looking at my staff, is
9 that often times we have a review group as part
10 of a contract -- you know, but I was going --
11 hoping someone could direct me if I get too far
12 off track -- but in terms of scoping it, and then
13 as it goes along in the process and the final
14 review.

15 So if, certainly, we can have your best
16 folks on those committees, along with PUC folks,
17 it's going to make everything much more
18 actionable as we go forward; right?

19 Guido, please, or David.

20 MR. FRANCO: Yes. And one of these that
21 we have to use, public process, always, when we
22 talk about research projects. And sometimes it's
23 difficult to talk about nuances and things in
24 high level of detail, and I think we need to find
25 a way to do that with the utilities. I think

1 we're moving from research that highlights the
2 problem to research that has to inform the
3 solution and help with the solution, with
4 implementation of solutions. So it's a different
5 type of research now, in my opinion.

6 CHAIR WEISENMILLER: Okay. But let's --

7 MS. RALFF-DOUGLAS: We had a meeting in
8 March where we talked with the utilities, the PUC
9 and the CEC on some of the issues that were
10 coming up as part of the EPIC and as part of the
11 Fourth Assessment and ways that we thought would
12 improve the process and bring the utilities in
13 earlier in the process.

14 CHAIR WEISENMILLER: That's good. Yeah,
15 let's work on fixing that.

16 I guess the other thing you and I have
17 talked about before is this question of,
18 obviously, you're coming up with plans now and,
19 obviously, if we can get the -- you know, for
20 what to do, you know, more on the capital venture
21 side. And if we could get, you know, obviously,
22 the basic underlying science lined up, that's
23 good. But at some point the PUC is going to have
24 to decide guidance-wise, you know, how far are
25 you going to go? I mean, there's obviously a lot

1 of skepticism amongst some folks that the
2 utilities tend to go gold plate things, have the
3 biased towards increasing their rate base. But
4 it's going to be a very difficult challenge for
5 the PUC balancing costs versus risk.

6 COMMISSIONER RANDOLPH: Yeah. I was very
7 interested in Craig's presentation about the cost
8 benefit. Because the way you're looking at it, it
9 is similar to the way we're looking at safety
10 issues now in the sense of it's not about --
11 well, it's not just about following the rules,
12 but it's about do you have a management culture,
13 do you have an organizational framework that
14 fosters safety in a utility? And looking at do
15 you, when you're building a resilient utility, do
16 you have the management structure in place to do
17 that?

18 And some of what we have to look at is
19 the gap between what does it take to create a
20 resilient utility today under today's conditions,
21 which may have some of the same impacts that
22 climate change will effect, but just less
23 frequent and less severe; right?

24 So you go, okay, you know, we go to the
25 Cleveland National Forest, we harden the

1 infrastructure because we know wildfire is an
2 issue today. But, you know, maybe it's not quite
3 so much farther of a jump to anticipate what the
4 wildfire risk would be 50 years from now under
5 climate change because you're going to be
6 physically doing some of the same things, and
7 it's identifying that gap. And so when you're
8 looking at expenditures and you're sort of having
9 that weighing of, you know, is it being gold-
10 plated or not, is it addressing both today's
11 risks and the risks that you're trying to
12 identify going forward, and the gap, you know,
13 may or may not be quite large.

14 MR. ZAMUDA: If I may, may I suggest, I
15 think one of the challenges that kind of address
16 the accusation that some may have in terms of
17 gold plating is the inverse, and that is to
18 figure out a way to incrementally build upon your
19 resilience so you're making decisions today,
20 perhaps based on the more immediate certain
21 threats that you envision, but you're leaving the
22 capability to leverage that current investment
23 with future investments in the future.

24 And so kind of an illustrative example
25 would be sort of you're going to be build a

1 seawall. It's a question of how tall you build
2 that seawall. But if you construct that in the
3 fashion where you can always incrementally over
4 time heighten that wall, whereas you may not want
5 to build it to some higher level today based on a
6 number of considerations and reactions from the
7 ratepayers, it gives you that option of having a
8 resilient, ready solution so that you
9 incrementally improve over time.

10 So I think looking at it from that
11 perspective so that you don't have to make that
12 total commitment today for what may be uncertain
13 projections over the next 50 years, but you're
14 doing what needs to be done today and leave you
15 the capability to build upon that as you move
16 forward.

17 COMMISSIONER RECHTSCHAFFEN: Can I follow
18 up on that? Because that gets to sort of a
19 question from Alan, his presentation, and the
20 larger question I had.

21 What you just described, does that fit
22 into a cost -- does that fit easily or at all
23 into a cost benefit framework or the cost benefit
24 framework that you're using? Because, really,
25 what Alan's presentation highlights is how ill-

1 suited, in some ways, climate change is for a
2 traditional cost benefit model? When there are
3 massive uncertainties and catastrophic,
4 unimaginable risks that we can't predict, how do
5 you put that into a traditional cost benefit
6 analysis?

7 So that's -- the Chair pointed out one
8 end of the spectrum. You're on the other end of
9 the spectrum. And we have to figure out how much
10 spending makes sense --

11 MR. ZAMUDA: Right.

12 COMMISSIONER RECHTSCHAFFEN: -- to deal
13 with what set of risks when.

14 So I'm wondering, are you grappling with
15 that in your cost benefit --

16 MR. ZAMUDA: Yeah. I'd say that it's --

17 COMMISSIONER RECHTSCHAFFEN: --
18 methodology?

19 MR. ZAMUDA: -- it's the proverbial, the
20 best is the enemy of the good; right? You have
21 to make decisions today, so you can't wait for
22 that perfect dataset, for all the uncertainty to
23 be removed, et cetera. You can't wait that long,
24 so decisions are being made today. So what's the
25 best decision you can make today with the

1 available information that's out there?

2 And so what we're really trying to do is
3 to kind of recognize those uncertainties and do
4 what's responsible in terms of investments, but
5 not to defer those investments and pay the
6 consequences; right? So we either pay now or
7 we'll pay later.

8 The real question is: What should we be
9 doing? What is a prudent kind of no-regrets
10 investments to be making today that leave us the
11 option to deal with that uncertainty into the
12 future so we can kind of come back and revisit
13 that as we're moving along?

14 So I don't know if that's responsive to
15 your question.

16 COMMISSIONER RECHTSCHAFFEN: Okay.

17 MR. ZAMUDA: But I think there are a
18 number of solutions that we can also identify in
19 terms of how people are currently dealing with
20 that uncertainty. I'll give you one quick
21 example.

22 Public Service Electric and Gas in New
23 Jersey, coming out of Superstorm Sandy, they were
24 in this situation, proposing resilience
25 investments. And they had to justify what was a

1 prudent investment. And so what they turned to
2 was this kind of break-even analysis approach
3 where they looked at what would be the cost to
4 certain investments they'd want to put in place,
5 and then how long would an outage need to be to
6 justify that cost?

7 So just for lesser purposes, if you're
8 talking about a substation was flooded, and now
9 they're going to elevate that substation, replace
10 that substation, what would that cost? And then
11 they looked at how long would an outage need to
12 be to recoup that investment? And what they
13 realized was that, in many cases, they were
14 talking about an outage of over two or three days
15 would more than pay for that investment. And
16 when you looked at a storm like Superstorm Sandy,
17 although one may say that's 1-in-100 or 1-in-
18 1,000, the outages went on for days, if not
19 weeks. But that's just one event.

20 And so what they were able to do is
21 without necessarily at a fairly quantified level
22 predict the future, they could kind of use common
23 sense parameters and recognize that even in the
24 absence of a 1,000-year or a 100-year event, they
25 were going to see outages which this investment

1 would address. And so using that kind of break-
2 even approach, it's kind of an alternative
3 variation on cost benefit methodology, they were
4 able to justify those investments.

5 CHAIR WEISENMILLER: Yeah. I wanted to
6 ask you, I mean, obviously, are you going to be
7 doing any lessons-learned studies on like Houston
8 or, you know, on Sandy? I mean, obviously, all
9 of these are sort of various things. So in terms
10 of really diving into some of the relatively
11 catastrophic things that have occurred elsewhere,
12 lessons learned might be, again, some way we can
13 get some guidance --

14 MR. ZAMUDA: Yeah.

15 CHAIR WEISENMILLER: -- going forward.

16 MR. ZAMUDA: Well, I think I'll use an
17 example of Superstorm Sandy.

18 CHAIR WEISENMILLER: Right.

19 MR. ZAMUDA: I think Superstorm Sandy was
20 a real poster child in terms of demonstrating
21 some of the issues that we need to be looking at
22 in terms of resilience, not just the examples of
23 the cost benefit methodologies we can use to
24 justify investments, but even the cascading
25 impacts, interdependencies of electricity with

1 the rest of the energy sector, with other
2 sectors, to recognize that we need to look at
3 this from a holistic perspective.

4 So when the electricity went out and the
5 wastewater treatment plant couldn't operate and
6 millions of gallons of untreated sewage were
7 being dumped into the waterways, or when the
8 electricity went out and gas stations, because
9 they need electricity to drive the pumps,
10 couldn't provide gasoline, even though they had
11 it, or you can kind of go down the endless list
12 of looking at these interdependencies, and the
13 lessons learned that we achieve coming out of
14 that example.

15 And I'm sure Hurricane Harvey will
16 provide us additional fodder in terms of helping
17 to characterize what we may need to be doing
18 different in terms of resilience, and not looking
19 at it from a perspective of, oh, that's just 1-
20 in-a-1,000-year event, but recognize the
21 frequency, intensity and duration of these all
22 events are coming a lot faster.

23 So I think last time I was hear I kind of
24 paraphrased it, oh, you'll be (indiscernible),
25 the future ain't what it used to be. And we need

1 to prepare, in terms of a decision making
2 process, to address that change that's taking
3 place.

4 CHAIR WEISENMILLER: You know, our
5 colleague at the Office of Emergency Services,
6 one of the things they're focused on is like a
7 18-day outage, you know, looking at, I'm trying
8 to remember, whether it's Tennessee or Kentucky,
9 but this series of windstorms that just knocked
10 out all the power in a substantial area for 18
11 days, which then sort of rippled through all, you
12 know, water, you name it, going around.

13 And so certainly there can be, you know,
14 some fairly catastrophic things which normally we
15 don't think are ever going to happen but can
16 happen.

17 MR. ZAMUDA: Can I make two other
18 comments --

19

20 CHAIR WEISENMILLER: Sure.

21 MR. ZAMUDA: -- with regards to an
22 earlier question that you had, talking about- the
23 clearinghouse.

24 I just wanted to highlight the fact that
25 at the federal level, at the national level, we

1 recognize that same need for that information.
2 In fact, there was a clearinghouse that was
3 established in the last administration, it was a
4 climate resilience toolkit. And I'll suggest
5 that there is an ongoing emphasis being placed on
6 addressing that need. And there may be some
7 synergies between what you want to do in
8 California and what has been in this ongoing
9 effort out of Washington D.C. And if there's
10 points of contact you need for that, we can
11 certainly provide that.

12 Similarly, on the partnership, we
13 recognize the need. In fact, the utilities
14 recognized the need and they came to us a couple
15 of years ago to kind of stand up to the
16 partnership. We recognize that not only is that
17 a value at a national level, but comparable
18 entities probably need to be established at a
19 state level, or perhaps a regional level. The
20 State of California is somewhat dependent in
21 terms of energy being imported from other states,
22 so you're all in this together, and kind of
23 looking at replicating that idea of partnerships
24 and greater collaboration.

25 And sharing of best practices is an

1 excellent idea. I would like to see it both at
2 the top level, national, state level, and all
3 points in between. Anything we can do to kind of
4 help support that and have some synergies in
5 terms of that exchange of information, we would
6 welcome.

7 CHAIR WEISENMILLER: That would be good.
8 Well, obviously, I was disappointed not to see
9 WAPA, nor BPA, participating in your effort.

10 MR. ZAMUDA: We are looking to mature
11 this partnership as we move forward. We have a
12 limited set of partners currently that are
13 participating in this. By design, we wanted to
14 keep it small to kind of maximize the degree of
15 networking and communication that could take
16 place. We're looking at opportunities to expand
17 that composition, as well as, perhaps, looking at
18 moving beyond just climate resilience and other
19 aspects of resilience, as well. So there's, you
20 know, a revisiting going on after two years of
21 this partnership to see what we can do to improve
22 and build upon the success that we've had to
23 date.

24 CHAIR WEISENMILLER: Thank you.

25 Louise, you've been trying to figure out

1 how to build in the state's capital process, you
2 know, investment process somehow, really building
3 in, you know, considerations of, you know,
4 adaptation and climate change. And I was trying
5 to figure out, just in terms of are there
6 specific approaches or tools that might be useful
7 to build into the PUC -- or into the utilities
8 investment processes?

9 MS. BEDSWORTH: Yeah. I mean, I think
10 we've been reviewing for several years the
11 state's Five Year Infrastructure Plan and looking
12 at the integration of climate change into that.
13 One thing we've done is created a checklist that
14 is just sort of a screening tool that accompanies
15 budget change proposal requests for
16 infrastructure, so that's one element.

17 The other, though, that I think was
18 really interesting this year is every two years,
19 all departments that own or lease facilities
20 create a sustainability roadmap. And that was to
21 look at meeting the governor's executive orders
22 around energy efficiency and zero-emission
23 vehicles and water efficiency. And this --
24 they're in the process of updating those right
25 now. And so we added a climate resilience and

1 adaptation element to the sustainability roadmap.
2 And we worked with our Department of Technology
3 to use the new API and Cal-Adapt's 2.0 to pull in
4 climate change baseline data and climate change
5 information for every owned and leased facility
6 that state departments have.

7 And then we walked through a process of
8 how do you interpret and think about what that
9 information means? So if you look at all of your
10 facilities, which ones have the highest risk from
11 extreme heat change or changing precipitation?
12 And that was actually a really informative
13 process, I think both for thinking about how we
14 use Cal-Adapt, for thinking about what parameters
15 are helpful and which are maybe less so, and just
16 walking through that process with the department
17 facility managers. And so that's still an
18 ongoing process but that has been another, which
19 is, you know, really to just start bringing that
20 climate change information into the processes
21 that we're -- you know, and decision making, you
22 know, just making it accessible.

23 And so I think that's a great feature of
24 the update to Cal-Adapt, is the ability to pull
25 that information in. And, of course, we have a

1 lot of work to do on how we help departments work
2 with it. But I think that was a first step that
3 was pretty valuable.

4 If I can, I'll step back, also quickly,
5 to a question Cliff asked on the cost benefit
6 analysis question, and I think touches on what
7 Alan talked about. And I kind of rushed through
8 it, but what we tried to do was use those
9 characteristics of sort of the risk, the scope
10 and scale of risk, to also talk about how you
11 choose an analytical approach? Because we do
12 have departments that have been using robust
13 decision making which is very -- it's fairly
14 resource intensive and complex.

15 So what we tried to do was say not
16 everybody needs to do this. In some instances we
17 do need to do this, and how can you think about
18 the characteristics of the risks that we're
19 facing to also inform the choice of an analysis
20 approach? And where do we need to step into these
21 new methodologies? And where can we maybe, you
22 know, do something that is a little bit more, I
23 don't want to say back of the envelope, but is a
24 little bit simpler and is just a starting point?

25 And so I think we tried to address, for

1 state agencies, not just the what are we planning
2 for, how do we plan differently, but then, also,
3 how do you inform the selection of an analytical
4 approach, and where do we need to move into some
5 of these other approaches to addressing deep
6 uncertainty?

7 CHAIR WEISENMILLER: That helps.

8 Just to follow up, I was going to ask
9 Geoff and Melissa in terms of your willingness to
10 try what Louise is trying to do with state
11 facilities for your facilities?

12 MR. DANKER: You want to start?

13 MS. LAVINSON: Sure. I mean, I think
14 that's part of what we're actually trying to do
15 in starting to get up and running. So that's
16 part of the work we're doing around the
17 visualization maps to actually, right, take the
18 modeling that we're doing, superimpose that kind
19 of over our systems to understand, actually, what
20 are the potential impacts, vis-a-vis existing
21 assets.

22 And then going forward, as we're looking
23 at, you know, future investments, trying to
24 create what would be a useable climate resilient
25 screening tool for our Operations Team as they're

1 looking at making future investments, we want to
2 pilot this, so we're going to target it at
3 creating enforcement of the more, you know,
4 expensive projects, right, those investments that
5 are sort of \$20 million or above, to ensure that
6 as people are going through the process of, you
7 know, going through their checklists of what
8 they're looking at, that they're recognizing
9 whether the potential impacts, not just today but
10 10 years, 15 years, 20 years out, potential
11 climate impacts.

12 And so it's not just sort of what is the
13 risk of that asset to wildfire, but what is the
14 risk to that asset if you impose, you know, years
15 of wildfire, followed by, you know, followed by
16 heavy rains, followed by drought, followed by et
17 cetera, what then are the actual then multiplier
18 effect that could happen? And now when you look
19 at that asset, is that the right asset in the
20 right place, you know, at the right time? And so
21 that's the approach that we're taking, and we're
22 in the process of doing that. We're working with
23 our business alliance to do something that's
24 useable and user friendly and that can actually
25 integrate into their existing process. So we

1 haven't done it yet, but we're in the process of
2 doing that now.

3 MR. DANKER: Yeah. And we're king of
4 agreed. We're at the early stages of -- this
5 ramp filing was a good first step for us. And
6 then working with the consultant to help us
7 expand on that into a systemwide vulnerability
8 assessment to ultimately be able to kind of hone
9 in on more specifically what the impacts would be
10 and the sort of infrastructure investments that
11 would be necessary. And so we're noticing that
12 we kind of have specific analysis to specific
13 requests, either from the CPUC, and so, you know,
14 we'll have a specific El Nino study that looks at
15 a specific area, or a some subsidence work in the
16 Central Valley that looks at drought. But being
17 able to synthesize that systemwide and to kind of
18 be able to compare things side by side is
19 definitely something we're working on.

20 CHAIR WEISENMILLER: Yeah. And just
21 following up with Alan for a second is just,
22 obviously, you've laid out the complexities of
23 trying to do the decision making here. At the
24 same time, it's pretty clear, the PUC is going to
25 be running into these issues more within, you

1 know, a couple years. And so just as Louise was
2 trying to figure out how to provide some
3 guidance, you know, how to bring in better than
4 nothing but realizing it wasn't going to be to
5 the ultimate level, what are your suggestions on
6 how to at least start bringing in some of that
7 into --

8 MR. SANSTAD: Yeah.

9 CHAIR WEISENMILLER: -- this thinking?

10 MR. SANSTAD: So I want to -- a couple of
11 things.

12 First of all, I think Commissioner
13 Randolph's example is very well taken. I mean,
14 in this example, what you were just suggesting,
15 what Craig was both -- also suggesting is
16 heuristics; right? I mean, you have enormously
17 complex, enormously uncertain situations. So
18 what are relatively simple rules you might
19 follow, you know?

20 So, for example, if you were going to
21 harden some infrastructure now anyway, maybe a
22 little more in anticipation of the possible
23 future impacts and, if so, how much more, or no-
24 regret strategies; right?

25 So I think of an avenue forward, because

1 he's obviously right, you know, you have to do
2 what you have to do now with the tools you have
3 available. I think it's identifying those
4 situations where you can apply those rules of
5 thumb in a well justified way. And I think, like
6 I was very impressed with what Louise said, when
7 do you really need to get more fancy; right? I
8 think identifying those situations, making those
9 distinctions, is extremely -- I hadn't actually
10 thought about it that way before, but that's a
11 very important thing because these things are
12 resource intensive.

13 But I'll go back to saying, what is the
14 essential information; right? So, for example,
15 you know, the no-regret strategy, no-regret
16 decisions are great when they're available. But
17 what is -- what are the right ways to hedge to
18 buy yourself time? And in terms of what I think
19 are the high -- the critical ones are where do
20 you get beyond a point of no return, where you
21 have to do something now, and if you don't do it
22 now you face a very high risk later. How do we
23 identify those things? And that has -- that all
24 has a lot to do with just literal climate
25 impacts.

1 Mr. Freeman from PG&E had a term earlier
2 today about non stationarity, right, so designing
3 things for 1-in-10, 1-in-100, 1-in-500. Well,
4 how often 1-in-100 things are going to occur is
5 changing in ways we don't know. So looking at
6 the phenomenon and figuring out what are the --
7 where are the sensitivities to the system for
8 resilience measurements to those kinds of
9 standards; right? And how reliable do you want
10 it to be? Because no regrets, and also designing
11 for the worst case, are both not very -- not
12 going to be applicable very often.

13 So, I mean, I'm sort of thinking out loud
14 here. But I think practical steps and, you know,
15 common sense is very good.

16 I do think, as (indiscernible) said,
17 extremely complex systems and methods in
18 certain -- may or may not buy you what you need
19 in these cases; right? So I like the idea of
20 heuristics with available evidence before you
21 jump in and try to model everything more
22 complexly, and then see what comes out of it, you
23 know, deciding what information, what is the
24 critical information you really need to make a
25 particular investment about an infrastructure

1 item or resilience.

2 There's another issue here that we
3 haven't even touched on, is what are the
4 regulatory standards of evidence for doing this;
5 right? And that's -- I don't have much to say
6 about that, but it's clearly a very important
7 problem about, you know, this is making -- under
8 risk is hard enough. This is making it under
9 uncertainty, and how you justify those
10 investments in an IOU is another frontier, but --

11 COMMISSIONER RANDOLPH: And I think the
12 flipside is also true in the sense that you -- we
13 have to, in a time of uncertainty, have to decide
14 what expenditures not to make, right --

15 MR. SANSTAD: Correct.

16 COMMISSIONER RANDOLPH: -- and, you know,
17 physically where to put an asset or how to modify
18 a planning decision based on, you know, imperfect
19 information going forward.

20 MR. SANSTAD: Right. So I think, you
21 know, to, you know, recap one thing I called out
22 is, you know, a critical threshold, right, when
23 you have to make -- when are you going to have
24 to -- when are you going to have to make a
25 decision that you can't undo later, right, or

1 when are you going to have to make a decision
2 that you can't delay anymore, and where are those
3 thresholds? I think that's the type of, you
4 know, better information, about that
5 specifically, would be very useful in moving
6 toward more robust decisions.

7 CHAIR WEISENMILLER: Thanks a lot.
8 Thanks for being here. Let's go on to public
9 comment.

10 MS. RAITT: So I didn't receive any blue
11 cards, but we are -- it's time to move on to
12 public comments. I don't know if there are folks
13 in the room who wanted to make comments? All
14 right.

15 Go ahead, I think. And just please
16 identify yourself.

17 MS. AVE: Hello. My name is Kathleen
18 Ave. I'm with SMUD's Energy R&D. I manage our
19 Climate Program. And I also chair our Regional
20 Climate Collaborative. SMUD is a member of the
21 DOE partnership, as well.

22 Because I have three minutes, I'm going
23 to narrow my comments tightly.

24 We also have a forest health research
25 project underway, a paired catchment study that

1 we're trying to scope right now and would
2 absolutely love to see the CEC and the CPUC focus
3 more resources on the bridging of remote sensing
4 techniques with on-the-ground assessment
5 techniques, as well as working on more
6 coordination with federal agencies and private
7 landowners that can create obstacles to that kind
8 of research.

9 It wasn't mentioned today, we also have a
10 new study we're scoping to look at
11 biosequestration potential in our region because
12 it has so much mitigation and adaptive benefit
13 potential. It's an area that is a fairly
14 technically heavy lift initially. We're working
15 with the Nature Conservancy, with some of the
16 past work that they've done. But that's an area
17 that I think, especially since it's a pillar in
18 our state's Climate Strategy, would really
19 benefit from additional state focus.

20 But I want to focus my comments on urban
21 heat island. It's been discussed today. It has
22 been a focus and very well-known phenomenon for
23 many years. But I feel like there are very few
24 places where there's the ability to take a heat
25 reduction goal. And because there are so many,

1 you know, multi-sector impacts related to heat,
2 in Sacramento for example, we already have in
3 excess of the state average in heat-related
4 illness and death, there's a big nexus with the
5 energy sector, but there's so many impacts,
6 there's no one place, no one entity that can
7 really take on an initiative like that. Our
8 Climate Collaborative has done so. Los Angeles
9 has taken a heat reduction goal.

10 But there is a need for more follow-up
11 research to the urban heat island index work that
12 was done by CalEPA a few years ago that
13 identified sort of the hotspots and the heat
14 archipelagos in certain regions, but that was
15 limited by population density. And it doesn't
16 show you where you can best target mitigation.
17 It shows you where to send the ambulances in an
18 heat event, but not really where there are the
19 most effective places for interventions. And
20 this is an area that, you know, it's ripe for
21 real focus to reduce urban heat island and
22 equalize some of that as global temperatures warm
23 with what's in the system. And, you know, it
24 sounds like it's an overwhelming problem, but
25 roofs get replaced every 30 years, pavements get

1 restored multiple times within that time frame,
2 so -- and it's entirely human caused, we know
3 that. It's a great area to really focus on
4 improving health and economic vitality.

5 And I'll just close with a mention of
6 that recent UC Berkeley study that came out that
7 indicated that for every -- well, it was by
8 county -- indicated that for every degree Celsius
9 increase in Sacramento County a four percent hit
10 on the county's domestic product, a four percent
11 hit to the economy. And when we're talking about
12 a four degree C increase by mid to end of
13 century, we're talking about nearly 20 percent of
14 the economy as a result of heat. So that needs
15 more focus, and there are some examples from
16 around the country of studies that could be done
17 by the CEC to help regions along that path.

18 Thank you.

19 CHAIR WEISENMILLER: Thank you. I'd note
20 that SMUD's been a leader in this area for a long
21 term, certainly. And you have had, I think, a
22 workshop every single year on climate issues,
23 including adaptation. And obviously SMUD
24 testified at some of the earlier events. You
25 know, we're certainly looking forward to your

1 written comments.

2 But anyone else in the room, on the line?

3 MS. RAITT: I don't think we have anyone
4 on WebEx, but we can go ahead and open up the
5 phone lines. So if you wanted to make a comment
6 and you're on the phone, go ahead. And if not,
7 please mute your line. It sounds like we don't
8 have any comments.

9 CHAIR WEISENMILLER: Okay. So you're
10 going to remind people when written comments are
11 do?

12 MS. RAITT: The written comments are due
13 September 12th.

14 CHAIR WEISENMILLER: And so in terms of
15 now on the dais, again, I want to thank everyone
16 for their participation today. It's an important
17 topic. I think we covered a lot of ground. And
18 I thank the staff for the organization of the
19 workshop. This came together well.

20 I would note that Laurie asked me to --
21 reminded me that I should also, in terms of
22 utilities participating and shaping the research,
23 I guess we have two buckets. One is one where
24 the utilities plan on competing for the money,
25 and one is where they plan not to. So if you

1 plan on competing, you can't really be sitting at
2 the table or designing it. But if you're not,
3 which many of these areas, I doubt if you would
4 be, then, sure, come on down.

5 COMMISSIONER RANDOLPH: I don't have
6 anything else to add. Thanks, everybody, for
7 participating. This was a really useful
8 discussion.

9 COMMISSIONER RECHTSCHAFFEN: Likewise.
10 Thanks, everybody, very much.

11 CHAIR WEISENMILLER: Okay. The meeting
12 is adjourned. Thanks.

13 (The workshop adjourned at 4:34 p.m.)

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of September, 2017.



Eduwiges Lastra
CER-915

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

September 19, 2017