

## DOCKETED

<b>Docket Number:</b>	17-BSTD-01
<b>Project Title:</b>	2019 Building Energy Efficiency Standards PreRulemaking
<b>TN #:</b>	221514
<b>Document Title:</b>	Transcript of the 1042017 Staff Workshop
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	10/16/2017 11:40:45 AM
<b>Docketed Date:</b>	10/16/2017

CALIFORNIA ENERGY COMMISSION

In the Matter of: ) Docket No. 17-BSTD-01  
)  
*2019 Building Energy* ) STAFF WORKSHOP RE:  
*Efficiency Standards* ) Draft 2019 Building  
) Energy Efficiency  
) Standards  
)  
\_\_\_\_\_)

CALIFORNIA ENERGY COMMISSION

ROSENFELD HEARING ROOM - FIRST FLOOR

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

WEDNESDAY, OCTOBER 4, 2017

9:00 A.M.

Reported by:  
Peter Petty

## APPEARANCES

### ENERGY COMMISSION STAFF

Mazi Shirakh, PE, ZNE Technical Lead & Advisor to the  
2019 Building Standard Staff

R.J. Wichert, Building Standards Office

Jeff Miller, Mechanical / HVAC (residential), Building  
Standards Office

Danny Tam, Plumbing/Water Heating/ Solar PV, Building  
Standards Office

### CONSULTANTS

Jim Benya, Benya Burnett Consultancy

### PRESENTERS:

Payam Bozorgchami, Project Manager, 2019 Building  
Standards

Gabriel Taylor, Healthcare Facility Integration/ Demand  
Response, Building Standards Office

Mark Alatorre, P.E. Mechanical / HVAC (nonresidential),  
Building Standards Office

Peter Strait, Supervisor, Building Standards Development

Simon Lee, Lighting, Building Standards Office

Thao Chau, Lighting, Building Standards Office

### STAKEHOLDERS:

Chase Kappel Maxwell, Ellison, Schneider, Harris & Donlan

Robert "Bob" Raymer, California Building Industry  
Association, CBIA

Michael "Mike" Hodgson, ConSol (representing CBIA)

APPEARANCES (Cont.)

STAKEHOLDERS: (Cont.)

Charles Knuffke, Wattstopper-Legrand

Gary Flamm, GR Flamm Consulting

George Nesbitt, Independent HERS Rater

Aniruddh Roy, Goodman Manufacturing Company, LP

\* Ken Nittler, Enercomp Inc.

\* Philip Hollander, Baltimore Aircoil Company

\* Tanya Hernandez, Acuity Brands Lighting

John Martin, International Association of Lighting Designers, IALD

Bernie Kotlier, National Electrical Contractors Association

Jon McHugh, McHugh Energy Consultants, Inc.

\*Kelly Seeger, Philips Lighting

\* Joe Cain, Solar Energy Industries Association

\* Laura Petrillo-Groh, Air-Conditioning, Heating and Refrigeration Institute, AHRI

Kelly Cunningham, PG&E

Luke Nolan, Central Coating Company, Inc.

Michael "Mike" Fischer, Kellen Company

Jeanne Clinton

## AGENDA

	<u>Page</u>
Introduction	
Payam Bozorgchami, Project Manager, 2019 Building Standards	7
General Structure of Workshop	8
Payam Bozorgchami, Project Manager, 2019 Building Standards	
Section 100 - General Provisions	15
• 100.0 - Adding healthcare facilities to scope of Part 6 Section 110 - Mandatory Equipment Provisions	
• 110.2 - Update of federal equipment standards	
• 110.9 - Moving lighting control specifications from Title 20	
• 110.10 - Redrafting Solar Ready Exceptions for readability	
• 110.12 - Consolidating Demand Response requirements for readability	
Gabriel Taylor, Healthcare Facility Integration/ Demand Response	
Section 120 - Mandatory Requirements for Nonresidential, High-Rise Residential, and Hotel/Motel Buildings	62
• 120.1 - Ventilation and Indoor Air Quality (IAQ) updates; Demand Control Ventilation (DCV) update	
• 120.2 - HVAC Control updates supporting 120.1	
• 120.6 - Condensers update; aligning commercial refrigeration language with federal equipment standards	
Mark Alatorre, P.E. Mechanical/HVAC (nonresidential)	

AGENDA (Cont.)

Page

Section 130 - Mandatory Requirements for Lighting Systems and Electrical Power Distribution 81

- 130.0. 1, and 2 - Redrafting lighting language for readability
- 130.0 - Allowing lamp efficacy to be used for determining lighting power density; more flexible specifications for modular lighting systems (formerly track lighting systems)
- 130.2 - Using reference to Part 11 for Backlight, Uplight, and Glare Martha Brook, California Energy Commission  
Peter Strait, Supervisor, Building Standards Development

Lunch Break 111

Section 140 - Performance and Prescriptive Compliance Approaches 111

- 140.3 - Clarification on demising walls, mass walls; new PAFs for daylighting devices (clerestories, horizontal slats, and light shelves)
- 140.4 - Revised fan power limitations, space conditioning zone control requirements; new requirements for chilled water systems
- 140.5 - Added exceptions to remove residential QII in high-rise and hotel/motel buildings, solar fraction in buildings of four or more stories.
- 140.6 and 7 - Lighting Power Allowance reduction to align with LED baseline; aligned space types with ASHRAE 90.1; added adjustments for color tunable lighting; redrafted 140.6(c) for readability.
- 140.9 - Added requirements for exhaust system transfer air, fan system power consumption, fume hood automatic sash closure  
Mark Alatorre, P.E. Mechanical / HVAC (nonresidential), Building Standards Office  
Simon Lee, Lighting, Building Standards Office

AGENDA (Cont.)

	<u>Page</u>
Section 141 - Additions and Alterations	149
• 141.0 - Merged and revised lighting control requirements	
• 141.1 - Added lab and process facility exhaust systems	
Thao Chau , Lighting, Building Standards Office	
Nonresidential Appendix (NA)	169
• NA 1.3.3 and 1.7.1 - Third Party Quality Control Program revisions	
• NA 2.2 - NA2.2 - Added field verification and diagnostic testing of mechanical ventilation systems	
• NA 7.4 - Added field verification of daylighting device PAFs	
Mark Alatorre, P.E. Mechanical / HVAC (nonresidential), Building Standards Office	
Closing Remarks	178
Adjourn	179



1 grammatical issues. So those, some will, some  
2 will not be presented today.

3           The draft language has been posted on our  
4 website for the past few weeks and if you haven't  
5 they're there for you to review. We're not going  
6 to go through every little detail of numbers and  
7 values.

8           A quick history of the Standards, the  
9 Energy Commission was proposed in 1974. It was  
10 funded in Jerry Brown in 1975 when he came into  
11 office.

12           The Energy Commission, through Executive  
13 Orders has to look at multiple things. One is to  
14 hit this so-called ZNE goal by 2020 for  
15 residential buildings and the nonresidential by  
16 2030.

17           There's also a lot on the carbon  
18 reduction programs through ARB that we have to  
19 also take into consideration.

20           The Energy Commission develops the  
21 Standards triennially with the help of its  
22 utility partners. I would like to give a quick  
23 thanks to Pacific Gas & Electric, Southern  
24 California Edison, Southern Cal Gas, San Diego  
25 Gas & Electric, Sacramento Municipal Utility

1 District, Los Angeles Department of Water and  
2 Power, Southern California Public Authorities,  
3 who with the help of the CASE Team helped us  
4 develop the 2019 Standards that you're going to  
5 be seeing today.

6           Also I'd like to thank Kelly Cunningham  
7 and Heidi Hauenstein who's helped the  
8 communication between the staff here at the  
9 Energy Commission and the CASE Team.

10           Also, one thank you to Marshall Hunt,  
11 with PG&E who's helped us -- pretty much he's  
12 never said no when we asked for a study to be  
13 done. He's always been there for us.

14           For California, being a little bit  
15 different than the rest of the country, 16  
16 climatic zones, we have to evaluate all 16  
17 climate zones for all of our energy measures.  
18 We've gone through a full life cycle cost  
19 analysis in all measures and based on a TDV.

20           Today's workshop is one of ten pre-  
21 rulemaking workshops that we've had, starting in  
22 April. We're hoping from today's discussion,  
23 that we'll get all your comments before October  
24 20th. The sooner we get those the better it is.  
25 One of the reasons I say that is we're going into

1 the 45-day language on January of 2018, mid maybe  
2 the second week of January.

3 UNIDENTIFIED SPEAKER: What was that  
4 again? The 45-day language (indiscernible)

5 MR. BOZORGCHAMI: We're probably going to  
6 present at a workshop here at the Energy  
7 Commission on January of 2018 on the 45-day  
8 language, okay? So with that, we have to have  
9 the draft language for the 45-day posted in mid-  
10 November. So the sooner we get your comments,  
11 the better it is for us.

12 The utility sponsored stakeholders'  
13 website has all the final draft CASE reports  
14 presented and posted for your review. The Energy  
15 Commission will have those final reports with  
16 staff supplemental reports here shortly, after we  
17 have a lot of these discussions back and forth on  
18 the pre-rulemaking. Those will be on our  
19 Building and Efficiency Program website. And  
20 please submit your comments to that last link  
21 there below.

22 What I did, also I've added all the  
23 standard -- the staff that worked on the Building  
24 Standards language here on our website.  
25 Depending who has the subject matter you'll see

1 that there's the contact information for them.

2           The presentations from today will be  
3 posted on our website on Monday. What I need do  
4 is I want to add contact information for all the  
5 presenters to all the presentations.

6           Any questions? Yes. Please come up to  
7 the mic and state your name and the affiliation  
8 you're with. This is being recorded.

9           MS. MAXWELL: Yes, Chase Maxwell;  
10 Ellison, Schneider, Harris & Dolan. And on the  
11 CASE reports I was specifically looking for one  
12 CASE report, the Joint Utilities CASE Report, for  
13 their suggestions to the modifications to the  
14 Standards. And I didn't see it under the docket.  
15 I mean I was doing text searching. I didn't see  
16 it under the docket. Are these CASE reports  
17 being posted?

18           MR. BOZORGCHAMI: The CASE reports will  
19 be posted on the --

20           MS. MAXWELL: Yeah, the utility-sponsored  
21 stakeholder group I believe.

22           MR. BOZORGCHAMI: Yeah. They'll be all  
23 there for now.

24           MS. MAXWELL: They're all on that  
25 website, so they're outside the docket?

1           MR. BOZORGCHAMI:  They're outside the  
2 docket.

3           MS. MAXWELL:  Okay.  But they are being  
4 considered by staff?  Because I didn't  
5 necessarily -- I couldn't draw lines between, for  
6 example, what's being the CASE reports for the  
7 utility sponsored stakeholder and changes made,  
8 in the current draft Standards?

9           MR. BOZORGCHAMI:  Yeah.  We didn't want  
10 to put those on our website as of now, because  
11 there's going to be changes being done from these  
12 discussions that we have then what's being  
13 proposed by the CASE Team.  So when that final  
14 decision is made or the final proposal, we have  
15 those posted prior to the 45-day language.

16          MS. MAXWELL:  Okay.  So this outside  
17 group, that is -- I'm sorry.  I'm not being  
18 accusatory.  I'm just intend to understand how  
19 it's working.

20          MR. BOZORGCHAMI:  Yeah.

21          MS. MAXWELL:  So this outside stakeholder  
22 group is doing a bulk collaborative effort that  
23 is not being moderated or directed by the Energy  
24 Commission staff; is that correct, or?

25          MR. BOZORGCHAMI:  It has been.

1 MS. MAXWELL: It has been.

2 MR. BOZORGCHAMI: And that's why we've  
3 had the nine pre-rulemaking workshops here at -  
4 the Energy Commission. And we've had quite a few  
5 at the utility level within their jurisdictions  
6 also.

7 MS. MAXWELL: Okay. And then do you  
8 expect, or are you recommending that the language  
9 being proposed in these CASE reports be entered  
10 into the docket by this set of comments that are  
11 being solicited, what is it, by October 20th?

12 MR. BOZORGCHAMI: No. The October 20th  
13 is your comments from today's presentations. If  
14 there's any comments or you have any comments  
15 that you would like to make on what you hear  
16 today, you're more than welcome to, by October  
17 20th, to our docket right there.

18 MS. MAXWELL: Okay. So I guess my  
19 ultimate question I'm trying to get at is the  
20 pre-rulemaking from what I understand, is an  
21 effort to get the substantive changes from the  
22 Standards in before the formal rulemaking takes  
23 place, so that everybody can kind of work out  
24 these details on the substantive?

25 MR. BOZORGCHAMI: Right.

1 MS. MAXWELL: But in this pre-rulemaking,  
2 we're not going to see an integration on  
3 substantive changes from the stakeholder effort,  
4 necessarily, in the language. We may not see  
5 that until the formal set.

6 MR. STRAIT: Actually, if I could jump  
7 in?

8 MS. MAXWELL: Yeah.

9 MR. STRAIT: The way that this structure  
10 works is any stakeholder can submit a code change  
11 proposal. We actually offer a template for that  
12 in our website. When we enter the formal  
13 rulemaking process, that's when some of those  
14 will become documents relied upon, and that's  
15 when they'll get docketed.

16 For now, because based on public  
17 commentary we may or may not chose to do what's  
18 in a given CASE report. We are not docketing  
19 those, because that would represent a final  
20 decision we have not made.

21 Right now, as we get this public  
22 commentary and we figure out what, out of those  
23 CASE reports, to include and how to embody them  
24 in the Code, that's part of what we're trying to  
25 solicit by having this pre-rulemaking draft

1 express terms. The draft express terms will show  
2 here's what we're considering. Here's what we're  
3 proposing. Some of that is based on CASE  
4 reports. Some of that is based on just need to  
5 improve the Code or research done by staff. For  
6 example, all the efforts for ZNE buildings have  
7 been done internally by staff.

8           For those CASE reports that we make into  
9 documents relied upon, because we have chosen to  
10 pursue changes that are recommended there, there  
11 will be staff supplement documents that will show  
12 and document staff's analysis of that CASE  
13 report, show what our thinking is, and how the  
14 changes that we've made on that subject area or  
15 on that topic really back the CASE Report. And  
16 especially in a case where the CASE Report might  
17 recommend have a 75 percent dimming level, a  
18 certain kind of lighting. And we'll say, "We  
19 think 50 is appropriate, 75 is too far."

20           All of that will come about, but for  
21 right now this workshop is about commentary on  
22 the pre-rulemaking draft express terms. Some of  
23 those changes might relate back to a proposal  
24 submitted by a stakeholder.

25           MS. MAXWELL: Okay. So it sounds like

1 you anticipate with the mid-November language,  
2 that you're going to provide in preparation for  
3 the formal, that so we should see recognition of  
4 CASE reports in that language? Is that --

5 MR. STRAIT: You will see at that point  
6 which CASE reports we have documents. And you'll  
7 also see staff supplements for those CASE  
8 reports.

9 MS. MAXWELL: Okay. That is very  
10 helpful. Thank you.

11 MR. BOZORGCHAMI: So any other  
12 questions? If not, I'm going to change it to  
13 Gabe Taylor, who will present on the subchapters  
14 1, 2 and the hospital measures.

15 MR. TAYLOR: Good morning everybody. My  
16 name is Gabriel Taylor. I'm an Engineer in the  
17 Building Standards Development Office. And I am  
18 here today to present to you the Section 100.  
19 This is the first subchapter. And section 110,  
20 the second subchapter of the proposed changes to  
21 the Standards.

22 Most of these changes are just clean-up  
23 changes, so I'm going to go through them fairly  
24 quickly. This should be a fairly short  
25 presentation. And then we'll have two

1 opportunities for comments and questions during  
2 this presentation, so I'll put that up here in a  
3 few minutes.

4           The most major change that we're making  
5 in the Section 100 is a change to the scope of  
6 the Standards. And the Energy Commission has  
7 released a staff paper a few months ago and a  
8 revision to that staff paper in June that  
9 describes the legal justification for this  
10 change. I'm not going to go into a lot of detail  
11 there. Hopefully you've all seen that. If you  
12 have not seen that and you can't find it, please  
13 let me know. And I will get you a copy.

14           This change to scope extends the Title 24  
15 Energy Efficiency Standards to licensed  
16 healthcare facilities in the state of California.  
17 The way that we're implementing this change is to  
18 add Group I occupancies to the scope and then to  
19 exclude separately, I-1, I-3 and I-4. I-1 is not  
20 used. It's a placeholder in the Building Code,  
21 so we'll probably drop the I-1 and just exclude  
22 I-3 and I-4.

23           The definition that we're adding to the  
24 definition section for healthcare facilities is  
25 here. And it references a separate section of

1 California Health and Safety Code. And  
2 specifically this is facilities that are licensed  
3 by OSHPD, by the Office of Statewide Health  
4 Planning and Development. We've worked very  
5 closely with OSHPD over going on a year now to  
6 develop the language. We've gone through every  
7 line of the Building Code, with OSHPD and with a  
8 number of their stakeholders, to try to identify  
9 a cogent proposal to go forward at during the  
10 pre-rulemaking phase. So this language that you  
11 see here is our initial proposal for these  
12 licensed healthcare facilities.

13 And then we've removed a few old  
14 definitions that were essentially workarounds,  
15 because of the perceived inability to apply the  
16 Standards to healthcare facilities.

17 The proposal here is the first phase of a  
18 multi-phase approach for healthcare facilities.  
19 In this first phase we're simply looking at the  
20 existing standards. And then we've looked very  
21 closely at the existing standards for places  
22 where they may not be cost-effective for  
23 healthcare facilities or they may cause some sort  
24 of conflict with health and safety issues in a  
25 healthcare facility; basically places where the

1 Standards need a little additional or a lot of  
2 additional examination or research in order to  
3 apply to healthcare facilities.

4           And in those cases we've proposed a flat  
5 exception. So in whole swaths of the Code there  
6 is an exception for healthcare facilities that  
7 simply say, "If you meet this definition, if  
8 you're a healthcare facility, you do not have to  
9 comply."

10           This leaves a fairly large amount of the  
11 Code still in effect for healthcare facilities.  
12 So I'm going to go through and highlight areas  
13 where we've proposed exceptions. However, I want  
14 you to focus on the areas where we have not  
15 proposed exceptions, because those still apply.

16           So I've separated the Code essentially,  
17 into these six major categories. This is a  
18 summary of the title and the Code, so this is a  
19 portion of the presentation I've given a number  
20 of times to the healthcare community to educate  
21 them on the purpose and structure of the Building  
22 Energy Efficiency Standards.

23           Obviously this was based on the 2016  
24 Standards. The text that you see that's been  
25 posted online is an update of the 2016 Standards,

1 so the red-line strikeout of this original  
2 document.

3           So I'm going to go through each section,  
4 one at a time for healthcare. The rest of this  
5 two-day workshop will be section-by-section, very  
6 straightforward. We chose to put hospitals or  
7 healthcare facilities first, because it touches  
8 every section. So this is a high fly, kind of  
9 overview of the entire code. And then the  
10 remainder of this workshop, of this two-day  
11 workshop will be focused, more detailed on each  
12 individual section.

13           So in the systems and equipment section,  
14 we've proposed exceptions for water heating and  
15 for the solar ready section. After a little bit  
16 of a discussion with the healthcare community,  
17 we've determined that solar-ready requirements  
18 are not quite ready for healthcare facilities.  
19 And water heater heating, there's a few details  
20 in there that need to be corrected.

21           For Section 120 there are a number of  
22 exceptions particularly in terms of ventilation,  
23 mechanical, demand management, covered processes.  
24 There are a number of areas in healthcare  
25 facilities where there are special needs. And so

1 the Energy Code will need to be examined more  
2 closely.

3           Now again, I mentioned this is a multi-  
4 phase process. This first phase is simply  
5 bringing the healthcare industry, the healthcare  
6 community into the Code, so that they understand  
7 the Code, educating them on what the Code means.  
8 And then in future cycles and beyond, I  
9 anticipate that we will invite stakeholders to  
10 recommend changes for the healthcare community  
11 and staff will propose changes for the healthcare  
12 community.

13           We've also initiated a number of  
14 discussion groups with OSHPD and the Hospital  
15 Building Safety Board and a number of their  
16 subcommittees on specific areas that we need to  
17 focus on. So as we go forward, we're already  
18 working on the next cycle and on the areas where  
19 we're proposing exceptions.

20           This time, likely in the future we'll  
21 look at a sensible movement to impose those. But  
22 again this will be a very open process and  
23 include all the healthcare communities. So there  
24 will be no surprises in future cycles. That's  
25 the commitment.

1           In lighting and electrical, we have a  
2 number of exceptions as well in indoor and  
3 outdoor controls. This is a good example. I can  
4 give you some specifics. I'm not giving you many  
5 specifics here. That's in the proposal. But for  
6 example, in psychiatric and secure areas  
7 obviously you need to have a secure access to  
8 shut off light, shut off the switches. So  
9 similar to other areas where you have secure  
10 areas, we give an exception for healthcare  
11 facilities to move the area controls to a secure  
12 location.

13           Auto shut-off is probably -- that needs  
14 to have some additional research before we can  
15 propose auto shut-off, essentially on occupancy  
16 sensors in a healthcare environment. You have  
17 too many situations where you'll have a patient  
18 in a space that needs light and they're not  
19 mobile and you have trouble triggering the  
20 occupancy sensor. So we need to do some more  
21 research there.

22           The outdoor signage in healthcare  
23 facilities generally is for emergency purposes.  
24 And it needs to be lit, sometimes 24-7, sometimes  
25 not. But it certainly does not fit seamlessly

1 into our current control zone.

2           The performance and prescriptive section  
3 is essentially unchanged. We are proposing that  
4 healthcare facilities have the option of going  
5 through either the performance path of the  
6 prescriptive path. So this will be an area of  
7 education for the healthcare community and for  
8 the Energy Commission and all of our stakeholders  
9 as we move forward identifying areas where there  
10 are inconsistencies or problems. And we move to  
11 solve those, particularly with respect to the  
12 software. Although my understanding is that the  
13 underlying software for CBECC-Com does consider  
14 healthcare facilities, so it should be absolutely  
15 doable.

16           Additions and alterations, the language  
17 that we published -- this is important. This is  
18 a correction to the language that we published a  
19 couple of weeks ago. I have here a little  
20 snippet of the language. There was a line here  
21 that's missing. We had intended to propose an  
22 exception for healthcare facilities, for  
23 additions and alterations.

24           At this stage, the Building Standards,  
25 the Energy Efficiency Building Standards, are

1 proposed for only new healthcare facilities.

2 Existing facilities will have an exception.

3           So I've received a number of concerns  
4 from people in the healthcare community, asking  
5 about the minor modifications they're making to  
6 the building and being forced by code to do all  
7 sorts of energy efficiency upgrades and what not.  
8 That is not going to happen. That will not be  
9 proposed without extensive vetting in the public  
10 process and research and proof that it is cost  
11 effective. That requires a little bit more  
12 research basically.

13           At this stage, however, there is ample  
14 sections of the Code, which are clearly cost  
15 effective. That is it is absolutely cost  
16 effective to put high-efficacy lighting, or  
17 sufficient insulation and sufficiently energy  
18 efficient demonstration in a healthcare facility  
19 that has no impact. In fact, it has a positive  
20 impact on patient well-being in many cases.

21           So, the sections of code where we've  
22 identified and again we've vetted it thoroughly  
23 with OSHPD and with the healthcare community,  
24 with a portion of the healthcare community. We  
25 have additional outreach to do, but this is one

1 section where we identified a certain concern and  
2 so we'll look at that in more detail in the  
3 future.

4           So at this point, I'd invite anybody to  
5 come up to the mic or to speak up if you have  
6 questions or comments on the healthcare section  
7 of the proposal. Again, over the next couple of  
8 days, we'll be going through each section of the  
9 proposal and we won't be speaking directly to  
10 healthcare under those separate sections, so this  
11 is the area to talk about healthcare.

12           MR. RAYMER: Bob Raymer with CBIA. And I  
13 realize this has nothing to do with residential.  
14 I was on the phone yesterday with Michael Nearman  
15 with the Building Standards Commission. And he  
16 mentioned that there was going to be a rather  
17 large meeting with OSHPD and the healthcare  
18 facility groups today and tomorrow. Are they  
19 aware of the exception that you just spoke of?

20           MR. TAYLOR: I did email it out to a  
21 number of people, both OSHPD and CHA, California  
22 Hospital Association. I have a webinar that is  
23 actually hosted by the CHA next Wednesday. I'm  
24 presenting for the fourth time to the Hospital  
25 Building Safety Board Energy Management and

1 Conservation Subcommittee next Thursday. So I'm  
2 doing everything I can to outreach and educate.

3 MR. RAYMER: That's great.

4 MR. TAYLOR: Do let me know if there's  
5 somebody that you contacted, or if there's any  
6 organization that you are aware of that is not  
7 aware, and I will contact them and I'll reach  
8 out.

9 MR. RAYMER: I think additions and  
10 alterations was going to be the biggest issue, so  
11 that's just in the cross talk that I've seen  
12 going back and forth.

13 MR. TAYLOR: Understood. Yeah, our  
14 initial proposal, back eight odd months ago, did  
15 include additions and alterations. In my initial  
16 presentation, I said additions and alterations  
17 points back to the rest of the Code. If we're  
18 proposing exceptions to everything that causes  
19 concern, why not include the additions and  
20 alterations?

21 After six months of discussion, we've  
22 determined that we'll push that to a following  
23 cycle. That needs a little bit more time.

24 MR. RAYMER: I think that's going to give  
25 them a lot of comfort with your proposal updates.

1           MR. TAYLOR: All right. We have one hand  
2 raised online. We're going to see if somebody  
3 has a comment online.

4           MR. WICHERT: Holder, you're unmuted.  
5 You can go ahead with your comment.

6           MR. TAYLOR: Will the person online, if  
7 you decide you want to comment on the hospitals,  
8 I'll have another comment section here in about  
9 two or three minutes. You can speak up then if  
10 you get a chance.

11           So I'm going to move on to Subchapter 2,  
12 this is Section 110. These are mandatory  
13 requirements for manufacture, construction,  
14 insulation systems.

15           So this was a point of confusion actually  
16 when we were proposing this update for healthcare  
17 facilities. There are Sections of 110 which  
18 point to systems and equipment that in some  
19 cases, if you read them, just on their face they  
20 seem like they would impose a requirement on your  
21 building. However if your building does not --  
22 there are separate sections of the Code that  
23 point back to 110. And so it caused a little bit  
24 of confusion, but.

25           Proposed updates for section 110 are

1 predominantly cleanup. We have five specific  
2 areas of cleanup here that I'll go through.  
3 First is we're updating the minimum efficiency of  
4 equipment. This is to align with 2016 ASHRAE.  
5 As you know, ASHRAE was updated in 2016. The  
6 federal government has an 18-month clock to  
7 endorse those. However, we have a window here  
8 where we can update ours. And we, as a matter of  
9 practice, update whenever we get a chance. So we  
10 are aligning our efficiency requirements with  
11 2016 Code ASHRAE.

12           We have a minor correction to the  
13 lavatory water temperature. This is for the  
14 lavatory sinks, where you wash your hands.  
15 There's a specification for the temperature of  
16 the water coming out of those sinks. And we  
17 identified a minor discrepancy between this and  
18 the California Plumbing Code. And so we're  
19 bringing our code into alignment with the  
20 Plumbing Code.

21           We're moving lighting control  
22 specifications from Title 20. Anybody who is  
23 familiar with lighting control knows that we have  
24 a bunch of specifications for equipment in Title  
25 20. It's been moved around a little bit, but

1 we're consolidating everything into Title 24. So  
2 rather than pointing to Title 20 and asking the  
3 Title 20 team to adopt code that we want to point  
4 to, we're simply going to adopt the code directly  
5 and move it all into Title 24.

6           The solar ready section has been  
7 substantially redrafted and this is not intended  
8 to change the requirements. This is simply  
9 redrafting it, so that it makes more sense, so  
10 it's easier to read and it's easier to follow.

11           And then finally and this is actually the  
12 point that I'm most interested on managing this  
13 section of the update, consolidating demand  
14 response language. So the Energy Commission has  
15 had authority to propose and adopt demand side  
16 management, demand response standards since the  
17 1970s. This was part of the Warren-Alquist Act  
18 in '76. And we have adopted throughout the  
19 years, based on available technology and cost  
20 effectiveness, we have adopted a number of demand  
21 side management regulations.

22           At this point, we are collecting all  
23 those disparate regulations and they're all over  
24 the code. We're putting them all in one place.  
25 It's only going to be a couple of pages, two or

1 three pages really, of requirements related to  
2 demand side management, demand response. And  
3 we're going to make sure they're consistent with  
4 each other, so we're making terminology  
5 consistent.

6           So rather than having various different  
7 terms for a device that manages your demands,  
8 based on your specifications with an appropriate  
9 signal from price or what have you, we're simply  
10 consolidating all of those definitions under an  
11 energy management control system. So now a  
12 building has an EMCS and it controls demand side  
13 management. It's modernizing the code, in a way  
14 as well.

15           The biggest change, so all of this is  
16 going to be consolidated under a new section, in  
17 Section 110.12.

18           And then we are adding a proposal here.  
19 And this came from a number of different sources,  
20 so there was a question about the CASE reports.  
21 We've also had other stakeholders propose ideas  
22 to the Energy Commission. The CASE teams are  
23 obviously one of the best funded and one of the  
24 largest groups that propose regularly updates to  
25 the Energy Commission.

1           But other groups are welcome to propose  
2 code changes to the Energy Commission. And we  
3 welcome those. We entertain those. In order to  
4 go through the entire process, of course they  
5 need to meet a level of intellectual rigor and  
6 analysis, in order to withstand the rulemaking  
7 process. But staff looks forward to helping with  
8 that.

9           We received a proposal from a number of  
10 stakeholders to finally bring OpenADR into the  
11 code. Currently, the code specifies an open  
12 source communication protocol for external demand  
13 responsive communication. That has caused some  
14 confusion in practice. We've had a number of  
15 stakeholders who are basically builders say,  
16 "What exactly does this mean? Tell me what I  
17 have to do, so that I can know that I'm meeting  
18 the Code, rather than have this kind of nebulous  
19 terminology."

20           Open ADR was -- this is an Energy  
21 Commission success story. I'm really proud of  
22 this one. After the 2000-2001 energy crisis  
23 there was an identified need for an open source  
24 communication protocol, so that utilities could  
25 trigger demand response behavior at consumers who

1 wanted to engage in demand response  
2 automatically. There was a number of different  
3 manufacturers that had proprietary software and  
4 proprietary systems that would sometimes get  
5 abandoned. And it caused all sorts of costs and  
6 what not. So the goal was to reduce the cost of  
7 participation as much as possible.

8           The Energy Commission funded a research  
9 program through our PIER Program. And then a few  
10 years later we brought in the Demand Response  
11 Research Center in Lawrence Berkeley National  
12 Labs. And we ended up through that program,  
13 bringing in dozens of standards organizations,  
14 national and international standard-setting  
15 organizations and governing bodies.

16           And the OpenADR 1.0 was published by the  
17 Energy Commission. It was an Energy Commission  
18 document. And then shortly after, that was taken  
19 up by the nonprofit OpenADR alliance for  
20 Maintenance and OpenADR 2.0 was released  
21 relatively recently and 2.0b a little bit more  
22 recently.

23           At this stage, this is a well-vetted  
24 standard. This has been in the marketplace and  
25 has been used both nationally and internationally

1 for over a decade. And we feel that this  
2 protocol is sufficient for specification in the  
3 code. A lot of people have talked to me about  
4 picking winners and what not. That is certainly  
5 a concern. We've thought about this carefully.  
6 We have spent almost ten years now not picking  
7 winners in this space, because we wanted to be  
8 very, very certain that this was the right  
9 choice. We left it open.

10           The proposal that we're bringing forward  
11 here simply says that a demand responsive device  
12 needs to be able to communicate through OpenADR.  
13 It can communicate through other channels, if you  
14 want. It can do whatever you want. But it has  
15 to be able to have this as a backstop, so that  
16 you can talk to your utility or you can talk to  
17 an aggregator so you can engage, so that a  
18 consumer can engage in demand responsive behavior  
19 that they chose to engage in. It's about  
20 reducing that cost of participation, so that's a  
21 major proposal in the demand response section.

22           And that concludes my presentation.  
23 Again, if there's questions on Section 110,  
24 particularly on the demand response section,  
25 although I will also accept questions on

1 healthcare still.

2 MR. HODGSON: Good morning, Mike Hodgson,  
3 from ConSol, representing CBIA. In Section 110,  
4 page 89, Section 110.0, there's a note at the  
5 bottom of the page that's been struck. And we  
6 would like -- the building industry would like  
7 that note not to be struck. It's very useful in  
8 clarifying responsibility over who has the  
9 enforcing agency, as well as the testing  
10 responsibility. And we would like that to be  
11 left in place. Okay?

12 MR. BOZORGCHAMI: Mike, this is Payam.  
13 We heard about it yesterday and went through and  
14 fixed that already.

15 MR. HODGSON: Great, thanks. We're just  
16 making comments into the record.

17 MR. BOZORGCHAMI: Sure.

18 MR. STRAIT: Actually, and I can clarify,  
19 part of the reason that we struck that originally  
20 is that anything that's marked as a note, is  
21 something we've added that's not regulatory. It  
22 just restates things that are elsewhere in the  
23 regulation. We've gotten some pushback from the  
24 Legal Department, because that statement being  
25 non-regulatory it shouldn't be there like best

1 practice. But we agree that it has a use to the  
2 people reading the code, so in this case we're  
3 absolutely willing to restore that.

4 MR. HODGSON: Great, thank you. And in  
5 Section 110.10, which is the mandatory  
6 requirements for solar ready, we've talked to  
7 staff and we would like to probably work with  
8 staff to eliminate this section entirely. We  
9 think it's already covered in the standards, but  
10 I understand we really actually need to work  
11 through different types of exemptions and make  
12 sure all building types that we're anticipating  
13 are covered. And if so, than I think one  
14 section, 110, can be eliminated.

15 MR. BOZORGCHAMI: So are you going to  
16 submit that to docket? I see what you're saying  
17 and we're going to look into it with Mazi and  
18 Bill and so forth.

19 MR. HODGSON: Right, so we have kind of a  
20 two-fold, Payam. I think one is we'll send this  
21 comment in and then we'll take the responsibility  
22 of thinking of odd-building types, of shaded  
23 three-story structures, pancake multi-family that  
24 we think are going to be difficult in the code  
25 and then try to work through and make sure they

1 have the correct exemptions.

2 MR. BOZORGCHAMI: Beautiful. Thank you.

3 MR. HODGSON: Thank you.

4 MR. RAYMER: Bob Raymer with CBIA. Sort  
5 of adding on to what Mike just said on the solar-  
6 ready. A common theme that I'll be doing today  
7 and tomorrow is it would be very useful as the  
8 CEC goes forward to provide some rather  
9 simplistic examples of how you would envision the  
10 solar ready area, the new solar mandate area that  
11 we'll talk about tomorrow, and the community  
12 solar that we'll talk about tomorrow morning. To  
13 see how those things will actually apply out in  
14 the field.

15 Right now, I'm having a little bit of  
16 difficulty envisioning how some of these would  
17 apply. And what we may do is provide with you  
18 some of the examples of what we think is  
19 happening. But once again if you've got  
20 something that's already prepared or wouldn't  
21 take a whole lot of time to prepare -- I know  
22 that you're going to be smashed for time -- but  
23 to the extent that you could let us know how you  
24 would envision this applying to a production  
25 housing project that would be very useful.

1           We wouldn't want you to spend a lot of  
2 time on it, but anything that could help us  
3 better understand how you envision this applying  
4 out in the field would be helpful.

5           MR. BOZORGCHAMI:   Okay.

6           MR. KNUFFKE:   Good morning, Gabe,  
7 Charles Knuffke with Wattstopper-Legrand.  Thank  
8 you very much for the overview.

9           I did hope that there would be a bit more  
10 explanation on the Title 20 versus Title 24.  So  
11 we've spent quite a bit of time trying to work  
12 with building inspectors and getting folks to  
13 understand the difference between having a device  
14 in Title 20, which negates its sale in California  
15 versus something in Title 24, which merely  
16 negates its use or requires its use on a system.

17           So is Title 20 definitions going away, or  
18 is Title 24 going to work on and somehow cover  
19 the unitary devices that are also sold in  
20 California?

21           MR. STRAIT:   So this change is primarily  
22 administrative.  We want to make sure instead of  
23 simply pointing to Title 20, that we have that  
24 language in Title 24 in case there's a change in  
25 Title 20.  And that way also, so any updates that

1 are found to be necessary in our code, we can  
2 make those same updates to the definitional  
3 language to that instead of saying, "Okay. Now  
4 the Appliance Team has to make an update."

5 MR. KNUFFKE: So we're not removing  
6 language. When you said moving it, somehow I  
7 would emphasize that you're copying the language  
8 then as opposed to moving it, because Title 20  
9 will still exist for the unitary devices.

10 MR. STRAIT: What I would say to that is  
11 that Title 20 is also examining whether it's  
12 still worthwhile to certify these devices. Most  
13 lighting controls are now a very mature  
14 technology. There's less of a case where a  
15 lighting control will simply fail to perform a  
16 function. So it may be enough now, instead of  
17 saying you have to check all these true-false  
18 boxes and tell us yes your device does these  
19 thing, to just trust it when something says it  
20 does it, it can actually do it.

21 You know, again certification is a  
22 bureaucratic burden and we're always looking at  
23 opportunities to streamline that. In practice it  
24 would still mean the same requirements of Title  
25 24 are going to exist about where and how you

1 install those controls. Whether we have a  
2 manufacturer take that additional certification  
3 step is a discussion we'd like to be able to  
4 have. So no decision has been made on that, but  
5 I know that we are interested in -- the Appliance  
6 Program is interested in discussing whether  
7 certifications still makes sense for these  
8 devices.

9 MR. KNUFFKE: And I would only offer that  
10 although a control says it does something, it  
11 probably does that. The example though that I  
12 would put forth is that there is not allowed to  
13 have the way of easily disabling devices. And  
14 we've all gone into the big box retailers and  
15 seen racks of devices that are occupancy sensors  
16 with a hand-off auto switch, that once they get  
17 put in has an out of the auto mode in to on, to  
18 stay on then forever.

19 So that's the concern that we would have  
20 taking that language out entirely from Title 20.

21 MR. STRAIT: Certainly. I know one of  
22 the things that we're having to contend with is  
23 this idea of whole building automation, whether  
24 there's going to be centralized and programmable  
25 control of a lot of lighting. So although there

1 won't be a switch effectively on the wall that  
2 does that, the central systems a lot of times are  
3 programmable meaning somebody could go into that  
4 system and say disable the sensor, ignore its  
5 input, things like that.

6           So if we're going to be treating both  
7 sides of that equation fairly, we have to kind of  
8 navigate that, thread that needle and find out  
9 how do we contend with separate wall box devices,  
10 versus integrated systems?

11           MR. KNUFFKE: And I understand the  
12 rationale behind that and I thank you very much  
13 for the explanation.

14           On a separate topic, I just wanted to say  
15 that the moving to OpenADR, I applaud the  
16 decision. I think that OpenADR 2.0, a and b or  
17 any other code that the CEC then decides that  
18 supersedes it would be a good thing, because it  
19 would allow the use of the equipment that's being  
20 installed right now that's not being used, that's  
21 actually being wasted.

22           I would hope that the simplicity for  
23 testing is kept in mind as to making sure that  
24 there is an easy way of verifying that. I'd also  
25 hope that it may not need to be OpenADR to the

1 lighting control system. It may be a central  
2 system that then communicates automatically to  
3 other systems, such as the lighting system, so  
4 that you don't have multiple different ways of  
5 communicating. I just hope that that would be  
6 considered as some place, a way of being a way of  
7 being able to respond automatically to an OpenADR  
8 signal that comes into the building. And then  
9 not necessarily picking winners or losers as to  
10 whether it's Modbus or BACnet or another protocol  
11 inside of the system itself, so.

12 MR. STRAIT: Yeah. I believe that's  
13 already considered in the code. We specify  
14 external communications for OpenADR. And then  
15 there's a separate section that says that any of  
16 the accepted internal communication protocols are  
17 fine, such as (indecipherable) --

18 MR. KNUFFKE: Terrific. I appreciate  
19 that. Thank you very much.

20 MR. STRAIT: You're welcome.

21 MR. FLAMM: Good morning, Gary Flamm with  
22 GR Flamm Consulting. I also would like to ask  
23 about the moving language from Title 20 to Title  
24 24, on the lighting controls.

25 It appears to me that that's a

1 substantive scope change, that if it's not simply  
2 -- it can't be simply administrative, because  
3 Title 20 regulates all lighting controls that can  
4 be sold in California. Whereas, Title 24 only  
5 affects lighting controls installed within a  
6 building that is regulated by Title 24. So it is  
7 a substantive scope change.

8           MS. TAYLOR: I should correct when I said  
9 moving. Obviously, this is not a rulemaking  
10 proceeding for Title 20, so we're not making any  
11 changes to Title 20. This is simply a change to  
12 Title 24 and any changes that Title 20 makes in  
13 the future will be a separate rulemaking.

14           MR. STRAIT: And I should specify, all  
15 this is, is to places in 110.9 that pointed to  
16 language in Title 20 -- instead of having that  
17 pointer we have simply copied that description  
18 in. So instead of pointing to it, we just have  
19 it in place there. We're not changing any of the  
20 requirements, either in Title 24 or Title 20,  
21 related to those devices. We're just making sure  
22 that when we are pointing to language we instead  
23 have a copy of that language directly in Title  
24 24.

25           MR. FLAMM: Okay. So Peter, clarify on

1 the long-range goal of the Energy Commission, I'm  
2 not clear of what you stated about -- is the  
3 Energy Commission considering taking lighting  
4 controls out of Title 20?

5 MR. STRAIT: Again, I can't speak for the  
6 Appliance Program. I can say what's -- in case  
7 they wanted to make changes or they were looking  
8 at whether certification of those devices to say  
9 they perform the functions they claim they  
10 perform, whether that makes sense. Anything that  
11 would go in that direction would be driven by  
12 that office. It would be subject to public  
13 commentary. They may or may not choose to do so.

14 But what we found was we still lack  
15 control of that language, if we don't have a copy  
16 of it directly in Title 24. So whatever changes  
17 happen in the Title 20 side of things, both we  
18 want to make sure it doesn't change what Title 24  
19 requires, because that would be out of sequence  
20 with the Building Code. And when we update our  
21 language, we want to make sure we have the  
22 ability to update that language, to suit changes  
23 we might make in Title 24.

24 Right now, it's an administrative action.  
25 If there's a later action considered by Title 20,

1 to either reduce certification of those devices  
2 or change requirements in some other way that  
3 would be in a separate rulemaking proceeding,  
4 that would be subject to separate policy  
5 discussions and decision making.

6 MR. FLAMM: Okay. So one of the  
7 challenges with Title 20 rulemaking timeline  
8 versus Title 24 is they're never on sync. So in  
9 the event that either Title 20 or Title 24 wants  
10 to change definitions, how is the Energy  
11 Commission going to deal with any conflicts  
12 between the two codes?

13 MR. STRAIT: So because we participate in  
14 the triennial cycle with the Building Code if  
15 there's a change in Title 20, we would have to  
16 wait until the next cycle in the Building Code.  
17 This is actually better than the current solution  
18 of pointing to language, because strictly  
19 speaking we are not best practices. The  
20 California Building Standards Commission  
21 considers it, if a change to Title 20 can mean a  
22 mid-cycle change to what's required under the  
23 Building Code, which these pointers outside of  
24 the Building Code currently make the case.

25 So if there was a change in Title 20,

1 Title 24 would simply incorporate that change in  
2 the next update. And in terms of being  
3 responsive to the mid-cycle, we do have under 10-  
4 109 the ability to consider alternate compliance  
5 methods and we could use that process to adopt an  
6 interim solution that would allow us to maintain  
7 compatibility with Title 20.

8 MR. FLAMM: So are you saying that there  
9 will be language in Title 24 that says if there's  
10 a change in Title 20, that Title 24 will  
11 recognize that change?

12 MR. STRAIT: No, we can't have language  
13 that says that. What I'm saying is that  
14 procedurally if there's a change in Title 20 that  
15 would create a conflict with Title 24, we could  
16 use the process under 10-109 to recognize the  
17 difference and allow whatever that difference is  
18 under Title 24, should it be found to be  
19 appropriate.

20 MS. TAYLOR: Yeah. This all goes back to  
21 simplification and clarification. Right now,  
22 because of that pointer from Title 24 to Title  
23 20, it just causes a little bit of confusion for  
24 the exact reasons you mentioned.

25 And as Charles mentioned, generally

1 speaking the perception is that Title 24 covers  
2 the built environment. Title 20 covers all  
3 devices sold and offered for sale in the state.  
4 So we're trying to teas that out through a multi-  
5 year cyclical rulemaking process. And the first  
6 step here is Title 24 is trying to pull back and  
7 make sure that all the code that governs built  
8 environment is in Title 24. And minimize  
9 pointing over to Title 20.

10 MR. FLAMM: Okay. So one of the reasons  
11 I wanted to ask the question is your presentation  
12 was just a bullet in today's workshop. Is the  
13 exact language going to be presented at another  
14 time or is that all you are presenting, is that  
15 one bullet?

16 MS. TAYLOR: Yeah. My understanding is  
17 that all the presentations that you'll see over  
18 the next two days do not include exact language.  
19 We have the exact language posted. Everybody  
20 should have a copy of it. I see a number of  
21 people with fat binders. And our staff will  
22 provide a summary and point the interested  
23 parties to the sections that are really pertinent  
24 to them. So we're trying to draw your attention  
25 to the changes we've made so you can flip to that

1 page and look at the exact language on the actual  
2 document, rather than trying to flash up some  
3 complex code language onto the screen here and  
4 have you read it real fast.

5 MR. FLAMM: Okay. Thank you.

6 MR. TAYLOR: You're welcome.

7 MR. NESBITT: George Nesbitt, HERS Rater.

8 I did not have time to download all of the  
9 proposed language beforehand. And the Energy  
10 Commission's guest log-on will not allow me to  
11 even load the Energy Commission's home page.

12 But on the issue of Title 20 and Title 24  
13 there are currently, within I think Title 24,  
14 there are some sections that are in multiple  
15 places where the same language I think is in sort  
16 of the preamble. And then it's also repeated in  
17 the actual Part 6.

18 So you've sort of answered some of the  
19 questions. Okay, so you're leaving things in  
20 Title 20, but you're going to take some of that  
21 language, repeat it in Title 24. One problem  
22 with that is when you have the same thing in  
23 multiple places you have the possibility of  
24 having errors between the two.

25 So I think what you're essentially saying

1 is you're going to take current Title 20, put  
2 some of that language in Title 24. And for as  
3 long as the 2019 standards are in effect, in a  
4 sense what you're saying is Title 24 trumps Title  
5 20. Even if Title 20 changes and you could no  
6 longer make or sell say a given feature or  
7 product, you can still install it. You're  
8 requirement is still based on what's written in  
9 Title 24.

10 MS. TAYLOR: That does not sound totally  
11 correct. We're trying to tease them apart, so  
12 that they do not conflict. So our goal is to  
13 create language that doesn't conflict. So if you  
14 see a section where it conflicts, please let us  
15 know and we'll hopefully fix it.

16 MR. STRAIT: Well, also I should mention  
17 that Title 24 is trying to specify what the  
18 building's controls do. That is, here are the  
19 functions that they need to perform.

20 Title 20, as an appliance standard, is  
21 usually about here is specifically how you  
22 construct your appliance. Here are the things  
23 that it must incorporate.

24 That slight difference is we care less  
25 about how it's done, as long as it's

1 accomplished. And for example, when you talk  
2 about whole building automation, centralized  
3 approaches, as energy management control systems,  
4 as long as they perform the appropriate  
5 thermostat functions and lighting control  
6 functions, they just behave the right way, great.  
7 You've met the requirements for the building to  
8 behave certain ways.

9           Right now the language that we have in  
10 110.9 should be identical in effect, if not in  
11 specific language, to what's in Title 20. And  
12 should Title 20 change, or should Title 24  
13 change, we're going to work closely with that  
14 office to ensure either that we make the change  
15 at the same time in both sections. Or that if a  
16 change is made in one, that we have a way of  
17 accommodating a change in the other. We're not  
18 going to be operating blindly.

19           And yes, you're correct that it does  
20 create a risk that those two different sets of  
21 code can wander apart from each other. But going  
22 forward as we said, there's an administrative  
23 need to tease these apart. And we're going to  
24 remain hand-in-hand, so that we know what each  
25 other is doing and hopefully prevent situations

1 like that from occurring.

2 MR. NESBITT: Right. But on the one hand  
3 you're saying that currently because you point  
4 back to Title 20, if Title 20 changes mid-stream,  
5 that would then essentially become the Title 24  
6 requirement. But you're saying you can't --  
7 you're also saying you can't just put language to  
8 say that, but it seems like there's some  
9 conflicting in what you're saying. I mean do you  
10 want it to change midstream, or do you not want  
11 it?

12 MR. STRAIT: So this is where we have a  
13 difference between what the California Building  
14 Standards Commission requires for the Building  
15 Code as a whole, and what would be ideal for us  
16 as just the Energy Code. Obviously, if Title 20  
17 makes a change in midstream, it would be ideal  
18 from our perspective if that also immediately  
19 made the change in Title 24. But that does  
20 conflict with the California Building Standards  
21 Commission and the mission of that body of law as  
22 a whole, to only change on a three-year basis and  
23 not have many changes that occur throughout a  
24 code cycle.

25 So even the intervening cycle for

1 example, is limited in what it can consider or be  
2 used to do. So in order for us to comply with  
3 what we're required to do under the Building  
4 Standards Commission we find that this is better  
5 for that, even if it does cost us the ability to  
6 always remain exactly in sync with the appliance  
7 regs.

8 MR. NESBITT: Okay. Yeah. I mean in  
9 Title 20, a lot of things, a lot of the date of  
10 change has to do with manufacturer. And so stuff  
11 that's already been manufactured can continue to  
12 be sold. So there's nothing definitive really  
13 date-wise in a lot of respects about Title 20.

14 MR. STRAIT: Yes, this concern and a  
15 number of the previous concerns about that nuance  
16 between Title 24 and Title 20, this is exactly  
17 why we're trying to tease them apart, is to  
18 prevent this kind of confusion.

19 MR. NESBITT: Right.

20 MR. STRAIT: Title 20 is about what you  
21 can sell in California. Title 24 is about what  
22 the building inspector looks for when they go to  
23 the project site. So these are separate  
24 regulation points and separate codes.

25 MR. NESBITT: Perhaps what you need to

1 really look at is what belongs in Title 20 and  
2 what belongs in Title 24 and get those separated,  
3 in a sense, so that there is clarity.

4 MR. STRAIT: Yes.

5 MR. NESBITT: On this solar ready issue,  
6 the solar ready section applies to all non-  
7 resident -- or I think pretty much all the non-  
8 residential buildings also. So obviously it  
9 can't go away.

10 I guess the big question with solar ready  
11 becomes if we end up requiring solar on all low-  
12 rise residential units, in those cases where it  
13 can't be done, what is that building or unit  
14 going to have to do instead? I mean, they're not  
15 going to have to make the investment in PV. They  
16 also don't get the benefit, so the real question  
17 will be what do they have to do to earn that  
18 exception or to do something equivalent?

19 MR. BOZORGCHAMI: So George, the Section  
20 10-110 that Mike brought up earlier is something  
21 that we're looking into, so it's going to be  
22 clarified and clarified. So if you have comments  
23 to that, please submit it to the docket, all  
24 right?

25 I understand what you're saying about

1 110.10, but we're going have to look into it.  
2 And like Mike said he's going to be doing some  
3 analysis with staff here to see what we can do  
4 with that language. Okay? So we're not going to  
5 -- for commercial buildings, hotel, motels, we'll  
6 have to figure that out.

7 MR. NESBITT: Yeah. It would seem it  
8 needs to stay for that, although there may be  
9 portions of it that are no longer relevant.

10 MR. BOZORGCHAMI: Yeah. I don't think  
11 what Mike said was -- or meant, I shouldn't say  
12 said -- was to unrealistically rid of the whole  
13 thing. Yeah, for residential we're going to have  
14 to make some modifications, but also for non-  
15 residential commercial buildings we're going to  
16 have to figure that out also.

17 MR. NESBITT: Okay.

18 MR. BOZORGCHAMI: Okay?

19 MR. ROY: Good morning, Aniruddh Roy,  
20 with Goodman. I just had a question on 110.10.

21 There's an exception, which talks about  
22 dish washers, ENERGY STAR dishwashers and  
23 refrigerators. The question was, are you  
24 considering additional products, because ENERGY  
25 STAR also covers a wide variety of products.

1           MR. STRAIT: That product list was  
2 actually established in the 2016 code cycle,  
3 based on an analysis of how much energy is saved  
4 by those individual devices and how likely they  
5 were to be installed by the builder, as opposed  
6 to brought in by the tenant.

7           While there are other ENERGY STAR  
8 devices, we can't make it necessary to install  
9 additional ENERGY STAR devices, because the ones  
10 in the exception already cover as much energy  
11 savings as is needed to achieve parody.

12           In terms of alternative packages, that is  
13 so you don't install one of the ones on the list,  
14 but you install some other collection of  
15 equipment -- if there's one that can be shown to  
16 be as effective we might be able to consider it.  
17 It's a little bit late in our process for a new  
18 proposal, but if you've got another package that  
19 you're looking at, that you think achieves the  
20 same benefit, and is also ENERGY STAR recognized,  
21 I'd say go ahead and docket it and give our staff  
22 a chance to look at it.

23           MR. ROY: Okay, sure. And one follow up  
24 question was on 110.12. And that's the automatic  
25 demand shed controls seems to be moved from 120.2

1 to that particular section?

2 MR. STRAIT: That's correct.

3 MR. ROY: So I guess the requirements  
4 then also expand to low-rise residential or it  
5 would still be only commercial for that  
6 particular requirement?

7 MR. STRAIT: So in the section where it  
8 was there is a small snippet that says, "For  
9 demand response requirements go look over there,"  
10 basically. The only change this should be making  
11 -- and I can have our staff review it, but I'm  
12 fairly certain this is the case -- is that we've  
13 moved those requirements to one section. We have  
14 not changed those requirements or expanded them.

15 It does mean, for example, we've noticed  
16 that on the commercial side you have energy  
17 management control systems. On the residential  
18 side, you have occupant control smart thermostats  
19 that are becoming more like energy management  
20 control systems. And it gives us an opportunity  
21 to maybe use common language to talk about both  
22 kinds of devices. But it's not intended to  
23 change or expand the requirements when one is  
24 required to be installed in a given setting.

25 MR. ROY: Okay. Yeah, it just came

1 across to me as it was expanding it to  
2 residential. So if you could just clarify that,  
3 it would be much appreciated.

4 MR. STRAIT: Sure.

5 MR. ROY: Thank you.

6 MR. WICHERT: We're going to an online  
7 comment. Ken Nittler, can you state your name  
8 and affiliation please?

9 MR. NITTLER: Yes, good morning. This is  
10 Ken Nittler. I'm with Enercomp here in  
11 California. Some of you probably know me from my  
12 work on software related to residential  
13 standards. But I also operate a business that  
14 does NFRC ratings for the fenestration industry.

15 And I'd like, this morning, to discuss a  
16 topic that's a concern, that wasn't discussed.  
17 It's in Section 110.6. This is the section that  
18 certification and ratings for fenestration  
19 products. And specifically, I'm asking that  
20 there's an exception one in three different  
21 subsections: 110.6(a)2, 110.6(a)3 and 110.6(a)4.  
22 And I'm asking that exception one be deleted from  
23 the standards.

24 Basically, these exceptions have proven  
25 to be a large loophole due to sort of the lack of

1 compliance and enforcement of the certification  
2 and labeling requirements. And I think what  
3 we're seeing is there's large numbers of  
4 nonresidential buildings that include the site  
5 built fenestration that's the subject of this  
6 exception. These are mostly products that one  
7 would call curtain walls and store front  
8 products, are getting installed without having  
9 appropriate ratings.

10 I'll put written comments in on this, so  
11 I'll just give you some short version of my  
12 reasoning today. A brief look at history,  
13 uniform fenestration ratings were first added to  
14 the 1992 Standards and referenced on the National  
15 Fenestration Rating Council. You'll know the  
16 abbreviation, NFRC Standards.

17 And then in 1995, the Standards went even  
18 further. And the administrative regulations  
19 referenced NFRC as the specifying entity for  
20 fenestration energy ratings. And so they have a  
21 special relationship in the standards and sort of  
22 a mandate that their ratings are the basis of our  
23 standards.

24 Strangely, even though most of this  
25 language was added back in the early '90s, really

1 for the 1992 Standards, implementation of the use  
2 of NFRC ratings on larger projects has pretty  
3 much not happened to the level that it should be,  
4 given the importance of fenestration to the  
5 performance of buildings.

6           And so I look at what would be the reason  
7 to this? Why are there so few certificates? As  
8 an example, I looked at the recent certificate  
9 activity for NFRC. And then that's public  
10 available at the NFRC website. And since 2010,  
11 there've only been 103 certificates issued for  
12 these larger site-built projects in California.

13           When one thinks about the size of the  
14 California economy and you think of the  
15 tremendous boom in construction, especially in  
16 places like San Francisco and Silicon Valley and  
17 Silicon Beach, in San Diego, in places mostly  
18 coastal regions. It would seem to me that there  
19 should be maybe ten times as many, an order of  
20 magnitude more certificates issued in California.

21           Take contrast, you can look at the State  
22 of Washington. There's sort of a hot bed of  
23 energy standards that are in the City of Seattle.  
24 The City of Seattle, over that same time period  
25 by itself, has 261 certificates. It's like 2.5

1 times more certificates than what we have  
2 California-wide. Now, Seattle obviously is also  
3 a booming tech hub, but California's GDP is about  
4 five times larger than the entire State of  
5 Washington. It's not very logical to expect  
6 there to be fewer certificates in California than  
7 there is in Washington.

8           NFRC has this unique relationship with  
9 the Energy Commission. NFRC invested millions of  
10 dollars to create an approach that accommodated  
11 the type of construction that typically goes on  
12 with site-built windows, where there's often  
13 glazing contractors involved and different  
14 suppliers of things like the framing materials,  
15 compared to the glass. And this process is  
16 largely going underutilized and it puts the  
17 Commission's investment and the NFRC's investment  
18 in this approach at grave risk, since it's so  
19 inadequately enforced, here in California.

20           I have a lot of experience helping  
21 glazing contractors and sometimes manufacturers  
22 get these certifications in California. It's  
23 pretty common for us to get calls where what  
24 people are calling to ask me is, is there a way  
25 they can get out of doing this requirement,

1 rather than what can I do to comply with the  
2 requirement? And I really believe a huge part of  
3 it is these exceptions that say if you have less  
4 than 1,000 square feet of these products than you  
5 can use favorable default equations.

6 And so I'm going to be requesting that  
7 those three sections, exception one be stricken  
8 from the standards and I'll put something in  
9 writing on that.

10 MR. BOZORGCHAMI: Thank you, Ken, a quick  
11 question for you. What is the average cost of  
12 doing one of these analyses, using the CMA model  
13 and what's the turnaround time to get the  
14 certificate for that?

15 MR. NITTLER: Well, I can only speak to  
16 the way we operate and --

17 MR. BOZORGCHAMI: I just need an average.  
18 I don't need exact.

19 MR. NITTLER: Typically the costs are  
20 somewhere between \$300 and \$700. And we are  
21 able, normally to turn around a certificate in  
22 just a day or so, from the time we get complete  
23 information about the product.

24 MR. BOZORGCHAMI: Okay. Thank you.  
25 Yeah, please submit that comment to the docket

1 and we'll review and start a dialogue with you on  
2 that.

3 MR. NITTLER: Thank you.

4 MR. BOZORGCHAMI: Thank you.

5 MS. TAYLOR: A quick reminder, we are  
6 recorded here for a transcript. So if you  
7 comment in person please give your business card  
8 to the court reporter. And if you're commenting  
9 on the phone, please enunciate your full name and  
10 your association as clearly as possible, so that  
11 that is available on the recording.

12 MR. STRAIT: And actually I'll also jump  
13 in. That comment is an excellent example. If  
14 there's a change that you are expecting to see in  
15 the code that you're not seeing, or something you  
16 would like to see the code do, feel free to  
17 express it as well.

18 We can't consider completely new  
19 proposals. For example, establishing a new  
20 standard for equipment or making drastic changes.  
21 But we are interested in hearing about other  
22 areas that we probably might want to look more  
23 closely at. Or things like this where an  
24 exception we've had on the books for a while  
25 might be having an unintended consequence. Thank

1 you.

2 MR. BOZORGCHAMI: Any more comments,  
3 R.J.?

4 MR. TAYLOR: Any more comments online?  
5 (No audible response.)

6 MR. BOZORGCHAMI: So with that we're  
7 going to go to Sections 120. Mark Alatorre is  
8 going to be doing the presentation. This is for  
9 the non-residential, high-rise residential,  
10 hotel/motel occupancies and covered processes,  
11 mandatory requirements.

12 MR. ALATORRE: Good morning. My name is  
13 Mark Alatorre. I'm with the Building Standards  
14 Development Office. Like Payam mentioned, I'm  
15 going to be presenting Subchapter 3, which is  
16 mainly requirements for mechanical systems.

17 So we made a change to the scope of  
18 120.1(a). And the change was really to, given  
19 that we are now going to be regulating healthcare  
20 facilities, we wanted to make it very clear right  
21 at the scope of 120.1 that the ventilation  
22 requirements for healthcare was going to remain  
23 in the mechanical code, given that OSHPD has done  
24 extensive amendments to what's being required  
25 there. The OSHPD amendments basically are

1 incorporating ASHRAE Ventilation Standard 170  
2 now, which is specific to healthcare facilities.  
3 And we thought it was appropriate to maintain  
4 that.

5           Next, part of our proposal for 2019 was  
6 to adopt ASHRAE Section 62.1 and 62.2  
7 respectively. And in that change, ASHRAE has now  
8 moved high-rise residential dwellings units to  
9 62.2. So we felt a need that we needed to break  
10 this section apart and have specific requirements  
11 to high-rise residential dwelling units, separate  
12 from non-residential and hotel/motel occupancies.  
13 So we've created the new Section 120.1(b), which  
14 is specific to high-rise res dwelling units and  
15 121.1(c), which would include all other non-  
16 residential spaces and hotel/motel.

17           In 120.1(b), what we have there is new  
18 requirements that are based in ASHRAE 62.2. I  
19 say based because there are some amendments to  
20 it. And this is also highly reflective to what's  
21 in our Residential Section 150.0.

22           So in summary, what we're going to be  
23 requiring for dwelling units is an increased  
24 filtration to a minimum MERV 13; also for that  
25 filter a minimum depth of two inches. The

1 dwelling unit will require to have balanced  
2 ventilation or continuously operating supply or  
3 continuously operating exhaust.

4           If somebody chooses to go with a supply  
5 or exhaust system, they must verify that the  
6 envelope of the dwelling has a maximum leakage of  
7 0.3 CFM per square foot of the envelope surface  
8 area. This also carries field verification. And  
9 there would be verification of the minimum  
10 ventilation rate air flow. And it would also  
11 have a verification of the kitchen range hood  
12 performance.

13           120.1(c), the proposal is to adopt ASHRAE  
14 62.1, again with some amendments. We will be  
15 requiring a higher filtration than what's  
16 required by ASHRAE. We would have a minimum MERV  
17 13 across the state with a minimum depth of two  
18 inches. We are in alignment with 62.1 for the  
19 natural ventilation rate procedure. We are also  
20 aligning with the ventilation rate procedure for  
21 a single zone and 100 percent outside air  
22 systems.

23           However, we are amending what's currently  
24 in 62.1 for multi-zone and we are doing so. We  
25 are trying to incorporate what's currently being

1 proposed as addendum f to 62.1. However, it's in  
2 the public review process right now and it won't  
3 be final in time for us to formally adopt it. So  
4 we are proposing to go forward with the public  
5 language, for a simplified multi-zone  
6 calculation. We are also aligning with ASHRAE's  
7 exhaust ventilation requirements.

8           One thing I'd like to mention is what's  
9 posted in the draft language I've failed to give  
10 ASHRAE credit for. One of the things we need to  
11 do is go back and actually give a citation to  
12 where the language originated from, just so we  
13 can appease the ASHRAE committees.

14           So within that proposal we have created  
15 new tables. Table 120.1-B, which now includes  
16 the minimum ventilation rates; the categories  
17 that are there are exactly what's in 62.1. And  
18 it also includes classification of air, based on  
19 occupancy type.

20           Table 120.1-C has the adjustment factors  
21 for the zone air distribution effectiveness  
22 depending on the type of defuses or whatnot that  
23 are chosen by the designer.

24           Table 120.1-D is the minimum exhaust rate  
25 based on occupancies types. I want to note that

1 Table 120.1-A is designated for the simplified  
2 multi-zone calculations.

3           So 120.1(g), this is also taken from  
4 62.1. In order for us to have a complete  
5 standard I felt we needed to bring in the  
6 recirculation and air classification requirements  
7 from 62.1 that limits the designer's ability to  
8 use transfer air and also how many times they can  
9 be recirculated, given the class category that's  
10 listed in Table 120.1-B.

11           We think that's a good requirement for  
12 source control and you won't be able to use  
13 transfer from a class two to a class one space  
14 and things like that. So we feel that the  
15 building will have improved indoor air quality,  
16 given these requirements.

17           This proposal which ended up in  
18 120.1(d)3, it originated with the addendum to  
19 ASHRAE 90.1. And it increases the scope of our  
20 current demand control ventilation requirements.  
21 The major change is the deletion of an exception  
22 for classrooms, office spaces and call centers.  
23 And it really opens up demand control ventilation  
24 to be applicable to most spaces, given that they  
25 satisfy these requirements: occupant density of

1 25 people per 1,000 square foot and one of the  
2 following. The old language, you needed to have  
3 an air economizer and you needed to have -- all  
4 the triggers were dependent on each other. Now,  
5 it's just one of these things that you're going  
6 to have to install the demand control  
7 ventilation.

8           So the scope of this is going to really  
9 increase the amount of spaces that are going to  
10 require DCV.

11           This is another addendum to 90.1 that was  
12 the origin of this measure. It classifies a  
13 space, or defines a space or it uses the term  
14 "occupied standby." And what it does is it uses  
15 rooms that already have an occupancy sensor,  
16 because of the lighting control requirements.  
17 And it couples that with the occupancy space  
18 category, which is listed in our new Table 120.1-  
19 B.

20           If it's a space that the CD 2.1 Committee  
21 (phonetic) has deemed that it can go to zero  
22 ventilation when it's not occupied, then the  
23 controls must comply with these two bullets at  
24 the bottom. So the cooling and heating set  
25 points must be set up or set down. And the

1 ventilation rate can be reduced to zero for those  
2 spaces.

3 I would like to mention that in occupied  
4 stand by, it's when the occupancy sensor doesn't  
5 detect anybody for more than five minutes. It's  
6 not an automatic as soon as somebody leaves the  
7 room. It's a five-minute timer.

8 Just a note that the requirements for  
9 automatic demand shed that were in 120.2(h) have  
10 been moved to 110.12. Also, 120.2(I), the  
11 economizer fault detection diagnostic requirement  
12 that used to be applicable to only packaged  
13 rooftop systems over four-and-a-half tons have  
14 now been -- it's now expanded to be required for  
15 all cooling systems over four-and-a-half tons  
16 that have an air economizer, must have a form of  
17 fault detection and diagnostics.

18 The required faults did not change. Just  
19 the systems in which it is now required. And it  
20 really opens the door for EMS control systems  
21 with DDC controls to be required to detect  
22 economizer faults for these larger built-ups.

23 As with 120.1 and 120.2, the only changes  
24 to 120.3 through 120.5 have been there are some  
25 exceptions for healthcare where appropriate.

1 You'll see that throughout the standards, where  
2 appropriate there are exceptions. In 120.3, we  
3 added hot refrigerant lines under space heating  
4 systems that require insulation on the pipes.  
5 Currently, there's a list of heating types, or  
6 heating pipes serving heating systems. That does  
7 not include hot gas lines. And we just wanted to  
8 clarify that it was intended that any heating  
9 system that uses a hot fluid must have insulation  
10 on that pipe.

11           There was also some clean-up language on  
12 120.3, where we just needed to be clear that the  
13 requirement was for a minimum amount of  
14 insulation. There was some funny language that  
15 made it seem that we were requiring the exact  
16 amount of what was in the table. So it was  
17 really just it was the minimum amount.

18           So new to 120.6, we added a new class of  
19 condenser systems, adiabatic condenser systems,  
20 or hybrid condensers. You know, the industry  
21 uses that term, hybrid condensers.

22           We added performance requirements for  
23 these systems while they operate in dry mode.  
24 And most of these requirements are similar to  
25 what a air-cooled condenser would have to comply

1 with. There's new design saturation condensing  
2 drybulb temperatures while in dry mode, condenser  
3 fan control and requiring that all condensers be  
4 controlled in unison, minimum condensing  
5 temperature of less than or equal to 70 degrees,  
6 again, which is the same for air cooled  
7 condensing temperature reset, and a minimum  
8 condenser efficiency. Again, all while in dry  
9 mode.

10 For 120.6(b), it's the same requirement  
11 for this 120.6(a) is for refrigerated warehouses,  
12 (b) is for commercial refrigeration or  
13 supermarket refrigeration. And what we did is  
14 just incorporate the same requirements for these  
15 adiabatic condensers, where it's appropriate in  
16 both.

17 120.7 b), this is for wall insulation.  
18 This is the only section in 120 that's not  
19 mechanical. There was a reclassification of, or  
20 a redefinition of what a light mass and a heavy  
21 mass wall is. And the threshold is 95 pounds per  
22 square foot, so if you're equal to that or less  
23 you're considered a light mass. If you're over  
24 that, you're considered a heavy mass.

25 MR. BOZORGCHAMI: Yeah. That's cubic

1 foot, not square foot.

2 MR. ALATORRE: Cubic foot, sorry.

3 And also there was a clarification that  
4 the slab insulation requirements for a heated  
5 slab was only if your slab was considered on-  
6 grade. Before, it was just any heated slab. It  
7 could have been the second floor slab or  
8 something and that wasn't intended to be  
9 insulated.

10 So with that, I'm at the end of my  
11 presentation. I don't think I have a questions  
12 slide, but I'll end it here and open it up for  
13 anybody who has comments or questions.

14 MR. NESBITT: George Nesbitt, HERS Rater.  
15 I'll start with your last slide and then I'll go  
16 back to your first slide. So you could have a  
17 heated slab in an elevated podium. I think you  
18 would want that insulated not only under, but at  
19 the slab edges. So not all heated slabs that  
20 need to be insulated are on-grade.

21 MR. BOZORGCHAMI: True George, but on an  
22 elevated like that you already have insulation  
23 underneath it. It's considered something similar  
24 to a raised floor, per se.

25 MR. NESBITT: Right. Although --

1 MR. BOZORGCHAMI: It doesn't matter if  
2 it's heated or not, does it?

3 MR. NESBITT: Yeah. I mean I think most  
4 elevated slabs are required to have some  
5 insulation, whether there's enough.

6 UNIDENTIFIED SPEAKER: Just back away  
7 from the mic just a little bit, there.

8 MR. NESBITT: Okay. Often people are not  
9 close enough to the mic.

10 So on the high-rise, multi-family ASHRAE  
11 62.2, I support going to that strongly. The two  
12 questions, so if someone does exhaust only or  
13 supply, continuous supply or exhaust, you're  
14 asking for a blower door test in meeting a  
15 certain requirement. Is that required to be done  
16 by a HERS Rater?

17 MR. ALATORRE: Yes.

18 MR. NESBITT: The other thing is I think  
19 you mentioned verifying the kitchen fan  
20 performance, but I think you mean probably just  
21 that it's HVI-rated.

22 MR. ALATORRE: Right. I mean, it's a  
23 visual inspection, but you're verifying the specs  
24 that are on the hood are also in the HVI  
25 Directory and the performance of the fan is

1 adequate to what's required in 62.2. But it's a  
2 visual. It's not a measured.

3 MR. NESBITT: On the next slide was non-  
4 res and hotel/motel. Now, that's staying in  
5 ASHRAE 62.1. Although my question would be  
6 hotels and motels are probably a lot more like a  
7 residential unit. And actually most of them  
8 don't have kitchens, so why would hotel and motel  
9 occupancy not also go to 62.2?

10 MR. ALATORRE: I believe that's what the  
11 definition of a dwelling unit, but I'll let Jeff  
12 answer that one. He's more close to the subject.

13 MR. MILLER: I think the issue is whether  
14 the dwellings are transient occupied. Occupancy  
15 is transient. So for residential, high-res  
16 residential that's not transient occupancy, but  
17 hotels/motels, it is.

18 MR. NESBITT: Okay, although I can't -- I  
19 know that part of the high-rise multi-family  
20 going to 62.2 from 62.1 was essentially a  
21 reduction in ventilation rates and therefore  
22 actually energy savings. I can't imagine that  
23 the ventilation rates for hotels and motels  
24 wouldn't also be a reduction if you went to 62.2.

25 MR. MILLER: And I'm not sure what your

1 point is?

2 MR. NESBITT: It just seems they are far  
3 more like a residential occupancy than a non-res.  
4 But --

5 MR. MILLER: Okay. I acknowledge your  
6 comment. I --

7 MR. ALATORRE: Yeah, what we're doing is  
8 we're staying in line with what the 62.1 and 62.2  
9 Committee have made. They made their choice and  
10 we're just staying with that.

11 MR. NESBITT: Okay.

12 MR. ALATORRE: Thanks.

13 MR. HODGSON: Mike Hodgson, ConSol  
14 representing CBIA. Good morning, Mark.

15 MR. ALATORRE: Good morning.

16 MR. HODGSON: Just kind of a quick  
17 question on 120.1(b), where we're talking about  
18 the air filter having a depth of two inches. I  
19 presume the rationale for that is to decrease  
20 pressure drop across the filter?

21 MR. ALATORRE: Yes.

22 MR. HODGSON: All right. So my concern  
23 is in multi-family, pancake units, which are put  
24 in the hallway, they're very tight in space.  
25 Have you talked to the manufacturers of those

1 units who can get a two-inch filter into there?

2 MR. ALATORRE: I think you're saying that  
3 in high-rise multi-family, it's going to be more  
4 difficult?

5 MR. HODGSON: No, in multi-family in  
6 general, there's very limited space there, Jeff.  
7 You know, in design you probably have 18 to 22  
8 inches. And now we're adding an inch? And I'm  
9 just wondering if you've talked to those  
10 manufacturers to see whether or not they can --

11 MR. ALATORRE: Manufacturers of what?

12 MR. HODGSON: -- of the pancake HVAC  
13 units, it's like a hydronic unit, to see whether  
14 or not it would fit. And if not, is there a  
15 solution where you could specify a minimum  
16 pressure drop against the filter and let them go  
17 with one inch?

18 MR. ALATORRE: There are solutions. You  
19 can build a plenum around the pancake unit and  
20 provide a larger surface area filter. It's one  
21 solution that I've seen. There may be others.

22 MR. HODGSON: Right. But would that then  
23 also drop it an inch in depth? I mean, this is  
24 looking the mandatory requirement that your  
25 filter must be two inches in depth?

1 MR. ALATORRE: Yes.

2 MR. HODGSON: Right?

3 MR. ALATORRE: That's what's currently is  
4 proposed, yes.

5 MR. HODGSON: And I'm just saying is  
6 there a solution? I'm fine with it, as long as  
7 there's room. I don't know the answer to the  
8 question. If you guys have checked great, if not  
9 there may be a solution that the manufacturer  
10 comes up with, where they could get a similar  
11 low-pressure drop with a one-inch solution.  
12 Would that be acceptable? That's my question.

13 MR. ALATORRE: We could consider that.

14 MR. HODGSON: Okay. So my recommendation  
15 -- I have no language. I'm just thinking we need  
16 to talk to these manufacturers, because it's such  
17 a dominant part in our market right now --

18 MR. ALATORRE: Okay.

19 MR. HODGSON: -- and make sure that they  
20 can meet the two inches, thumbs up, we move  
21 forward. If they can't, maybe there is a kind of  
22 performance metric that you come up with on  
23 pressure drop, which is the issue here to resolve  
24 the problem.

25 MR. ALATORRE: Okay.

1 MR. HODGSON: That's my only concern.

2 MR. ALATORRE: Okay. Thank you.

3 MR. HODGSON: And real quick, I know you  
4 probably caught this already, but your page 169  
5 120.7(b)4, a little typo on pounds. It says 9S  
6 instead of 95. I'm sure you'll --

7 MR. ALATORRE: Yeah. No, I did catch  
8 that when I was reviewing this thing.

9 MR. HODGSON: We'll submit all these  
10 comments too.

11 MR. STRAIT: And please give us all the  
12 typos you spot, because nothing's perfect. I  
13 already know there's one embarrassing one in 10-  
14 106. (Laughter.) So if you spot them, let us  
15 know.

16 MR. WICHERT: We do have a question  
17 online. Philip, I'm going to unmute you. Please  
18 state your name and affiliation. Thank you.

19 MR. HOLLANDER: Yeah, sure. My name is  
20 Philip Hollander, from Baltimore Aircoil Company.  
21 I have a question that is on 120.6, regarding  
22 adiabatic condensers.

23 I was curious if you could go into more  
24 detail about why the performance criteria were  
25 established to be the same as air cooled

1 condensers, rather than there were evaporative  
2 condensers or something more unique to them  
3 themselves?

4           MR. ALATORRE: The CASE Report that was  
5 submitted came to these conclusions and said that  
6 there was more data that was needed, that the  
7 technology was more in its infancy than it was in  
8 a maturity. And they don't want it to create  
9 requirements that would prohibit any kind of  
10 growth of this type of system. So they left it  
11 kind of for when you're operating in dry mode to  
12 hit these targets. And they thought that it was  
13 easily doable for the technologies that were  
14 available now.

15           MR. HOLLANDER: Yeah. I'm not sure if  
16 whether it is or it isn't possible to achieve it.  
17 But I think there may be some concerns with  
18 putting the requirements in that, I'll say on  
19 that metric. Because it's a little odd that it's  
20 being measured on the metric of another  
21 technology rather than on its own, because on a  
22 summer day, on a warm day for a lot of the year,  
23 it's not running dry. But yet the performance  
24 efficiency criteria are as if it was another  
25 product.

1 MR. ALATORRE: Okay.

2 MR. HOLLANDER: And so by measuring it  
3 this way, it could potentially lead to  
4 manufacturers somehow relabeling air cooled  
5 condensers as adiabatic. And then because the  
6 numbers are lower than an air cooled, because the  
7 product when running wet is much more efficient.  
8 And so by measuring in that same way, but with a  
9 lower target assuming that it's going to run wet,  
10 somehow someone could try to substitute something  
11 instead of it; if that makes any sense?

12 MR. ALATORRE: No, it does. So you're  
13 talking about the 45 BTU per hour, I mean yeah  
14 per watt, 45 BTU per hour per watt  
15 (indiscernible).

16 MR. HOLLANDER: Correct. The reason why  
17 that works is because when it's wet it's much  
18 more efficient. So it would seem as if having  
19 some metric for when it's running wet would be  
20 more in alignment with what it is. And would  
21 avoid anybody from trying to substitute or come  
22 up with something strange that would ultimately  
23 will result in facilities, whether it's in  
24 Section (b) or (c), in facilities using more  
25 energy than what was analyzed in the case study.

1 Because I think in the case study, the whole  
2 analysis was based on the assumption that it is  
3 running wet for whatever percentage of the year.

4 But in here it doesn't really seem to  
5 reflect that, unless I'm missing something?

6 MR. ALATORRE: No, yeah it does and all  
7 the requirements are for when it is running in  
8 dry mode.

9 And again, the analysis they didn't want  
10 to make any determination of performance in the  
11 wet mode, because they felt that they were going  
12 to kind of put limits on this tech, going  
13 forward. But please submit your comment. You  
14 and me can have a dialogue about this and see if  
15 there's something more appropriate.

16 MR. HOLLANDER: Okay. That sounds good.

17 MR. ALATORRE: Thank you, Philip.

18 MR. HOLLANDER: Yeah, also I have  
19 something prepared. I'll submit that. Thank  
20 you.

21 MR. ALATORRE: Thanks.

22 That's it? Okay.

23 MR. BOZORGCHAMI: Are there any other  
24 questions from the audience? If not, for some  
25 funny reason we're ahead of schedule big time.

1 So I think we should maybe start moving on the  
2 afternoon presentations and maybe have Peter do  
3 the Section 130s, the mandatory requirements for  
4 lighting systems and electric power  
5 distributions.

6 MR. STRAIT: I'm happy to.

7 MR. BOZORGCHAMI: Let's take a ten-minute  
8 break real quick, if possible. Mazi's tired.

9 (Off the record at 10:32 a.m.)

10 (On the record at 10:46 a.m.)

11 MR. STRAIT: All right, so this next set  
12 of slides is on Section 130. This is non-  
13 residential, high-rise residential and  
14 hotel/motel occupancies, mandatory requirements  
15 for the lighting systems and equipment, and  
16 electrical power distribution systems. I'm going  
17 to again -- much like the other presentations,  
18 this is a flyover view. Your homework assignment  
19 is to go and read the actual language if you are  
20 so possessed and to give us good comments on it.

21 So starting off, Section 130.0, we  
22 rewrote the entire section for clarity. This was  
23 a general request that we had related to the  
24 lighting controls language or lighting language  
25 to make it read better and be clearer to a

1 reader. Most of these changes are non-  
2 substantive. I'll highlight here where we've  
3 made an intentional substantive change.

4           The biggest change that we've made in  
5 this section is that we allowed recognition of  
6 the installed lamp wattage. Previously, Title 24  
7 ignored any installed lamps and said this  
8 luminaire is going to be rated at the worst  
9 possible performance it could have.

10           Now we're saying the lamp that is  
11 installed there, you can consider that for  
12 compliance. This mainly applies to a lot of  
13 screw-in or removable LED products that we know  
14 have upwards of a five-year life time and very  
15 efficient performance.

16           We've also updated the track lighting  
17 language that we have to refer more broadly to  
18 modular lighting systems. This accounts for new  
19 modular approaches, primarily LED tape lighting  
20 and LED remote ballast systems.

21           There's still kind of an open question.  
22 We've received some commentary about what to do  
23 about power over Ethernet systems. We're  
24 considering that internally. But right now, the  
25 main intent of the changes here is to broaden

1 that approach and look at the -- basically what  
2 is your bottleneck on that system and that'll be  
3 what you're going to be rated by.

4           In 130.1, once again we rewrote the  
5 existing sections for clarity. We aligned the  
6 automatic shutoff requirements to Building Code  
7 Section 1008. 1008 has to do with minimum levels  
8 of egress lighting and right now we had some  
9 automatic shutoff that would say turn lighting  
10 completely off in areas that Section 1008 would  
11 say you needed some minimal amount of lighting on  
12 at all times there's an occupant anywhere in the  
13 building that might use that route as a means of  
14 egress.

15           So that does mean that there are more  
16 areas potentially that are required to have  
17 partial off behavior, instead of full off  
18 behavior. But that's also if there is a  
19 dedicated egress lighting system, separate from  
20 the general lighting, then that wouldn't apply.

21           We moved demand response of control  
22 requirements to Section 110.12. We moved them.  
23 We didn't fundamentally alter them. We added a  
24 new Section, 130.1(f) to describe and clarify the  
25 expected interaction to lighting controls.

1           One thing we're very often asked is you  
2 are asking to install five different types of  
3 controls that do different things, how are they  
4 supposed to relate with one another? So we've  
5 tried to put something in code that specifies,  
6 "These are now they should permit the other  
7 controls to act."

8           We did add occupancy sensing as a  
9 requirements for restrooms in Section 131(c)3.  
10 And we clarified some of the daylighting  
11 requirements in Section 130.1(d) relating to  
12 overhangs and to atrium spaces.

13           I've got a few slides here to show the  
14 change we've made for daylighting. The skylit  
15 daylit zone here, you'll notice there's some  
16 spillover on this top floor. But on these lower  
17 floors we're not extending the daylighting zone  
18 sideways in the same manner.

19           Similarly, if you don't have spillover on  
20 this top floor, you continue to not have  
21 spillover on these lower floors. It's simply the  
22 area that's going to receive skylight on the  
23 bottom floor.

24           And the biggest changes here, where  
25 instead of the size of the opening determining

1 all the way down to the bottom floor what your  
2 daylit zone is, if you have an overhang that's  
3 limiting some of that it's going to be the size  
4 of that vertical area inclusive of different  
5 occlusions that occur between the top and the  
6 bottom.

7           For Section 130.2(c), our outdoor  
8 lighting controls, we deleted section 130.2(a).  
9 That was motion sensor controls for certain types  
10 of legacy light sources that really would not be  
11 installed under current lighting power  
12 allowances.

13           We modified section 130.2(b). We now  
14 simply refer to Part 11 for the outdoor luminaire  
15 bug requirements. This is to avoid duplication  
16 in the Building Code. And also, only the  
17 backlight and uplight requirements were able to  
18 be adopted in this section where the glare  
19 requirements really complete that package where  
20 it will be adopted in Part 11. Now, Part 11  
21 includes all of that language and we simply need  
22 to point to it rather than having it stated in  
23 two sections.

24           We modified Section 130.2(c). This  
25 consolidates and revises outdoor lighting

1 requirements. Outdoor controls shall now be  
2 capable of first turning off outdoor lighting  
3 when daylight is available same as before, but  
4 it's more clearly stated.

5           Secondly, dimming and/or turning off  
6 outdoor lighting during nighttime when the area  
7 is unoccupied. This was formerly called part-  
8 night behavior. And we're trying to use some  
9 simpler language to refer to it. And we're  
10 currently proposing that you can accomplish this  
11 through automatic scheduling controls and/or  
12 motion sensing controls.

13           I'll point out here that we've also had  
14 some commentary already from folks who've  
15 downloaded the document that there are some areas  
16 where really you do want to require that occupant  
17 motion sensing and not allow someone to just use  
18 an automatic scheduling control. We're  
19 considering, much like we do in the indoor  
20 controls a section or paragraph following that  
21 would say, "In the following circumstances, you  
22 are required to use the occupant sensing."

23           And third, we allow override of automatic  
24 scheduling controls for up to two hours. That's  
25 just to be consistent with our indoor

1 requirements.

2           And just to give you an example of how  
3 we've managed to simplify and clearly state this  
4 language, this is now the entirety of Section  
5 130.2(c). There's a lot less detail, but it  
6 captures nearly all of the same requirements.  
7 And if there's more nuance that we need to add,  
8 like I said to add a part three down here to say  
9 where occupant sensing is required, we'd like  
10 your feedback on that. But, you know, brag a  
11 little bit about the good job we did drafting  
12 this code.

13           For 130.4 lighting control installation  
14 certificate requirements, we removed Sections  
15 130.4(b)3 and 4, relating to certification  
16 requirements for line voltage track lighting  
17 integral current limiters and supplementary over-  
18 current protection panels.

19           We no longer require that example  
20 products be submitted to the Energy Commission,  
21 and manufacturers just certify product  
22 information, partly based on the clarification  
23 we've made for modular lighting systems and  
24 partly based on just -- again, this is a fairly  
25 robust technology at the moment. And it doesn't

1 seem to make as much sense as far as people to be  
2 submitting physical products to the Energy  
3 Commission for us to inspect.

4           I want to clarify though the acceptance  
5 testing is still required for these systems that  
6 happen to use those components, under the general  
7 requirements of 130.4(b)1. And we are interested  
8 in feedback on acceptance test protocols for  
9 modular lighting systems that can be added to NA  
10 7.7. Again, based on the changes we've made in  
11 the 130.0.

12           For Section 130.5, the electrical power  
13 distribution system, the only change we've made  
14 is to move the demand response controls and  
15 equipment again to Section 110.12. We're trying  
16 to consolidate all of those.

17           And that's the entirety of the  
18 presentation that I've got. Anyone that has any  
19 comments on the changes that are being proposed  
20 for these sections, please step up to the mic.

21           MR. KNUFFKE: Good morning and thank you  
22 very much for that speedy overview and allowing  
23 us so much time to make commentary, because it  
24 definitely is appreciated. Charles Knuffke, with  
25 Wattstopper-Legrand, a couple of items that I

1 noted and just I hope you don't mind if I go  
2 through these one at a time.

3           But 130.1(a), so previously there had  
4 been an allowance for in addition to, or rather a  
5 switch in a space was required, but you could  
6 have it if it was a pilot light someplace else.  
7 And I see that definition of those spaces has  
8 been expanded. And I think that's a good thing.  
9 I think that designers should actually be allowed  
10 the latitude of putting those devices wherever  
11 they want.

12           However, what's now missing is the key  
13 switch. So there was language in there that  
14 talked about switches that are accessible only to  
15 authorized personnel. And working with  
16 specifiers quite often, the spaces that that  
17 comes up regularly in, is two or more stall  
18 bathrooms, stairwells and corridors, and parking  
19 areas where you don't necessarily want to have a  
20 key or switch that is accessible to somebody just  
21 walking in the area.

22           I'm just wondering, why did that section  
23 get deleted?

24           MR. STRAIT: Again, the intent was not to  
25 remove that. It might have been moved, because I

1 don't have that language on the screen in front  
2 of me. I thought we had retained those  
3 allowances to place it in an area that is only  
4 accessible to authorized personnel or requires a  
5 tool for access. That was the phrasing that we  
6 used. I can take a look at that, but the intent  
7 would be to retain that.

8 MR. KNUFFKE: Excellent, because it's not  
9 there. So appreciate that.

10 MR. STRAIT: Okay.

11 MR. KNUFFKE: Jumping to 130.1(c)1. So  
12 this is where we define that there are automatic  
13 shut off controls. One of the items that's  
14 called is occupancy sensing, automatic time  
15 switch captive key or other control functions. A  
16 captive key switch is not an automatic shutoff  
17 control device. A captive key is merely an  
18 interface to a scheduling system or an occupancy  
19 sensing.

20 With the language the way it is right  
21 now, somebody could just put captive keys  
22 wherever they wanted to and then leave those on  
23 24/7. So I'm sure that wasn't the intent of the  
24 Code. I just wanted to point out that that was  
25 something that was there.

1           MR. STRAIT: Certainly. Actually, the  
2 intent there was that we allowed captive key for  
3 hotel/motel spaces. And it wasn't clear if that  
4 should be limited to those spaces, if there are  
5 other areas that made use of the captive key  
6 system, mainly industrial, people on the floor  
7 doing things. If it made sense to say, "When  
8 that person is no longer in the space, they have  
9 to take that key with them, therefore that's  
10 going to cause the lighting to shut off,"  
11 treating it as equivalent to having other things  
12 that shut off the lighting when the person's left  
13 the space.

14           If you feel that would not be appropriate  
15 then that would certainly be a comment that we  
16 would like to have.

17           MR. KNUFFKE: Very good.

18           In regards to section 130.1(c)3, this is  
19 the areas where occupancy sensing controls are  
20 required. In the 2016 Code language was added so  
21 that -- to take advantage of the spaces that had  
22 dimming controls in there. Where when you had a  
23 dimming capability or a code mandated dimming in  
24 a space that instead of the lights turning  
25 automatically 100 percent on, that they were

1 either manual on or partial on?

2 MR. STRAIT: Uh-huh.

3 MR. KNUFFKE: That section now is gone  
4 and that seems like that's a substantive change,  
5 because that was to me one of the major energy  
6 saving devices we had was making sure that in  
7 certain spaces when somebody walked in to drop a  
8 letter on a desk, the lights didn't turn on for  
9 20 or 30 minutes.

10 And additionally, speaking of 20 or 30  
11 minutes, the code requirement previously had  
12 moved the time delay to 20 minutes. And the new  
13 code in the, I believe it's Section 110.9, now is  
14 calling it out as 30 minutes.

15 MR. STRAIT: Right. So there was a  
16 conflict in 2016 where that level was specified  
17 in one place to be 30 minutes and in another  
18 place to be 20 minutes.

19 And it is a non-substantive change to go  
20 with the more permissive. When there is a  
21 conflict like that and a reasonable person  
22 reading the code, what they will say, "This seems  
23 to allow me 30 minutes, this seems to say 20  
24 minutes, I'm going to choose to do 30 minutes."  
25 We wouldn't be able to put that person in front

1 of a judge and say this person broke the law. So  
2 that way that this was a non-substantive change  
3 is to have it at the 30-minute level because that  
4 would be consistent with the conflicting  
5 requirements in 2016.

6           If it's preferred to move them  
7 universally to 20 minutes, we could look at going  
8 in that direction.

9           MR. KNUFFKE: And quite honestly, I  
10 thought it had. But to me, the bigger issue with  
11 the language is the lack of now partial on or  
12 manual on in spaces. People have paid for the  
13 dimming capability, the ability to go partial on  
14 or manual on -- the fact that it was in the 2016  
15 Code -- to remove that seems like the entire  
16 code, the goal of moving forward with energy  
17 efficiency, this is actually a fairly significant  
18 step back.

19           MR. STRAIT: Well, we can look at that.  
20 I know that there's -- we looked closely at when  
21 we were requiring a partial on behavior and if  
22 there was consistency there and if that made  
23 sense.

24           I know that we had looked at whether  
25 language strictly required that the controls

1 operate in that manner or not. Or if it was  
2 simply much like we had some permissive language  
3 for partial off, where say you can turn to a dim  
4 level or to off, meaning that a full off control  
5 would technically satisfy those requirements.

6           For those it wasn't clear whether  
7 mandating partial on behavior or rather back up a  
8 little bit -- we have had some questions about  
9 whether automatic on controls are allowable under  
10 the code or whether they are prohibited in  
11 California by the Energy Code. The intent of the  
12 California Energy Code is not to prohibit an  
13 automatic on functionality. So I know that was  
14 part of what we're looking at when we looked at  
15 partial on and manual on behavior.

16           Mandating a partial on capability, I  
17 think was just not well embodied in that code,  
18 but we can look at language that might hue closer  
19 to what was required in 2016. I know there was  
20 an issue though with mandating it.

21           MR. KNUFFKE: As I'm sure, myself and  
22 many others applaud the idea of trying to clarify  
23 the code, making it simpler to understand.  
24 However, where we've tossed the baby out with the  
25 bath water, and in this case I do believe the

1 energy savings that was being rewarded by partial  
2 and manual on would be considerable, and at  
3 exactly the time of the day when you wouldn't  
4 want to lights turning on. So just appreciate  
5 the comment and the opportunity to possibly look  
6 to see if that was an error.

7 MR. STRAIT: Sure.

8 MR. KNUFFKE: Section 130.1(c)4. This is  
9 the section now that talks about going to what  
10 was a partial off, is now there. By calling out  
11 those areas, what I saw was the partial off  
12 requirement. What I didn't see clearly was that  
13 those lights still have to go off when nobody's  
14 there.

15 MR. STRAIT: Again, that's because of the  
16 issue here with the automatic shut-off  
17 requirements aligned to Building Code 1008.

18 So there are areas where we were  
19 requiring lighting to go off, where Section 1008  
20 says those lights are not allowed to go all the  
21 way to off if there's anyone in the building. So  
22 we've had to look closely at how to align that  
23 language.

24 MR. KNUFFKE: But those wouldn't have  
25 been egress areas. When we're talking about

1 things like warehouse aisles, open areas of the  
2 warehouse, those would not typically be an egress  
3 area. So I understand completely why the code  
4 changes are being made to try to accommodate  
5 egress areas. But the idea of not turning the  
6 lights off in a warehouse seems like, again that  
7 is a -- the way I'm reading it looks like that is  
8 allowance. If I'm reading it wrong, please let  
9 me know.

10 MR. STRAIT: Sure. I know that for those  
11 areas, they are allowed to have partial off  
12 controls. They are not required to go full off.  
13 That's consistent with what's in 2016.

14 MR. KNUFFKE: Right, but at some point  
15 when the building is empty the lights have to go  
16 off. That's the way the Code is right now in  
17 2016 and I don't see that that's where the  
18 requirement is in the current -- the draft  
19 language in (indiscernible).

20 MR. STRAIT: I'll reexamine that. My  
21 understanding is that that section is consistent  
22 with the 2016 Code, but if there's a discrepancy,  
23 we'll look at getting that fixed.

24 MR. KNUFFKE: In regards to exterior  
25 lighting, so the significant reduction came with

1 one exception that I was kind of surprised about,  
2 which was that there was an entire list of  
3 lighting -- there is a mention made that says now  
4 all lights going off, based on daylight. I  
5 understand that completely, that there was this  
6 additional requirement of lights going to a  
7 partial off based on 50 percent or lower, when  
8 they are in an unoccupied period.

9           There was a whole list of lighting types  
10 though, that were exempted previously from these  
11 things. And those were the things that were  
12 called out in Section 140.7 and that included  
13 items like temporary lighting, landscape  
14 lighting, public monuments, ATMs. I was just  
15 surprised that that exemption that was in the  
16 code before wasn't carried forth in the section  
17 that we're talking about.

18           MR. STRAIT: Sure. We're looking at  
19 whether it makes sense. Again, this is to dim or  
20 turn off lighting. It's trying to strike the  
21 balance between having a simple code that applies  
22 pretty universally to say these are what the  
23 controls should be capable of. And if a person  
24 wants those controls to behave that way or not,  
25 it's up to the operator to say, "I'm going to say

1 this is landscape lighting. I want have it at  
2 this level for this period."

3           So from our perspective, we would like  
4 the controls to always be capable of enabling  
5 those behaviors. And then turn it over to the  
6 person that's actually making use of the space to  
7 say, "How would I like to configure these  
8 controls?"

9           MR. KNUFFKE: And what I would suggest is  
10 just taking a look at that list again in 140.7.  
11 Because trying to make capable of, for temporary  
12 lighting or ATMs that are -- it just seems like  
13 that would be an additional cost that maybe  
14 wouldn't serve as a payback.

15           The last item I believe that I've got on  
16 my list for the override. I understand that the  
17 desire of trying to match what's going on in the  
18 interior, which is a two-hour override with the  
19 exterior, the only issue that I would caution  
20 about is in the interior you pretty much know  
21 where your switches are. For exterior lighting,  
22 where are those override switches going to be  
23 mounted?

24           So I do know that oftentimes, when  
25 somebody is doing something, they're doing --

1 they're cleaning the floors inside the building  
2 and they're going to be going in and out to the  
3 trucks constantly. You know, to try to find an  
4 override switch to turn on the exterior lights  
5 might be a problem. So there is one key  
6 difference between interior and exterior. And  
7 that's if you've got a wall to put them on that's  
8 clear.

9           So I'd just offer a caution on that about  
10 trying to mandate a two-hour off, without making  
11 it clear and easy for somebody to be able to turn  
12 it back on.

13           So thank you very much for the  
14 opportunity to make the commentary to the  
15 Commission.

16           MR. STRAIT: Certainly.

17           MR. FLAMM: Gary Flamm. Thank you,  
18 Peter, for making that presentation. The  
19 Building Code, section 1008, I think that was the  
20 number?

21           MR. STRAIT: Uh-huh.

22           MR. FLAMM: I've not read that.

23           MR. STRAIT: It was formally Section 1006  
24 in the most recent. In the 2016 version, it's  
25 1008.

1           MR. FLAMM:   Okay.   So what would expect  
2 from that is a very broad interpretation, because  
3 any building, some time of the year can be  
4 assumed to have an occupant in it.   So I would  
5 expect that to be a significant loophole.   And  
6 I'm not sure if you've considered that.

7           MR. STRAIT:   We did.   We actually had to  
8 talk to the State Fire Marshall and determine  
9 what the appropriate language would be, because  
10 unfortunately the State Fire Marshall's guidance  
11 will trump our language.   And previously the Fire  
12 Marshall had, on some occasions issued guidance  
13 to say ignore that section of the Building Code,  
14 because you need to comply with Section 1008, or  
15 1006 at the time.

16           MR. FLAMM:   Well, I just believe that's  
17 going to be a significant loop hole.   All the  
18 egress lighting will be on all the time.

19           Another thing is the track lighting, all  
20 the language that was deleted.   Historically that  
21 language was put in there to constrain the use of  
22 such products to only track lighting.   And I'm  
23 wondering if the changes are going to allow  
24 current limiters and supplementary over-current  
25 panels for all lighting systems.   I'd have to

1 really look at the language to consider that, but  
2 the red flag that went up for me was, "Will this  
3 then allow such products for all lighting  
4 systems?"

5 MR. STRAIT: The current language still  
6 uses that it has to be a modular lighting system  
7 that allows the lighting to be changed without  
8 any rewiring. So that same phrase about track  
9 lighting where you can add or remove lighting  
10 without rewiring the system at all, still  
11 applies.

12 So if it's non-modular systems, your  
13 normal ordinary wired circuits would not be able  
14 to take advantage of a supplementary over-current  
15 protection panel, in order to de-rate the  
16 installed value that they're coming up with.

17 MR. FLAMM: Okay.

18 MR. STRAIT: If there's a better way to  
19 phrase that, please do submit that in comments,  
20 but the intent is to still say this is only  
21 applicable to modular systems, where again it's  
22 snap on/snap on kinds of things such as track  
23 lighting.

24 MR. FLAMM: Okay. So I will look at it  
25 and mull over that. Thank you.

1           Okay, again Charles Knuffke brought up  
2 about controls not accessible to unauthorized  
3 personnel. There are a lot of spaces where one  
4 wouldn't want a stranger to turn the lights off.  
5 And I would just ask that you relook at the  
6 language and make sure that there are not some  
7 safety/security issues there.

8           MR. STRAIT: Yeah. If it's not present  
9 in the published language, that may be an error.  
10 My understanding was that we were still retaining  
11 that language that said, "For those spaces, you  
12 can have a control that's not accessible to  
13 unauthorized personnel." So I'll take a look at  
14 what happened to that.

15           MR. FLAMM: Okay. Thank you.

16           MR. NESBITT: George Nesbitt, HERS Rater.  
17 Can you explain a little bit more on the issue of  
18 screw-in bulbs and using the installed wattage,  
19 rather than an assumed wattage?

20           MR. STRAIT: Certainly. This is a change  
21 we made in 2016 to residential lighting, to say  
22 we can look at what's populating the socket.  
23 Instead of just saying that's a screw base  
24 socket, we're going to assume incandescent.

25           Right now, with current federal law,

1 again with some uncertainty given for the current  
2 Administration, the current federal law already  
3 prohibits the incandescent lighting that we were  
4 worried about.

5           In addition, we've got a lot of questions  
6 about LEDs to say we just want to be able to use  
7 just screw-based LEDs. And right now a screw-  
8 based socket is assumed to have a 50 watt  
9 incandescent bulb in it, which is far too  
10 punitive. So the question is can we do something  
11 similar on the non-res side as to residential?

12           We no longer have the fear that we had as  
13 recently as six or three years ago about those  
14 bulbs fleeing. About the second the building  
15 inspector leaves, the expensive bulbs get taken  
16 out and cheap ones get put in.

17           We think if the building starts with LED  
18 lights we can be confident those things are going  
19 to be in there for five or ten years. And in  
20 five or ten years' time when they get replaced,  
21 they're going to be replaced by even more  
22 efficient LEDs. So we have less of a concern  
23 over going back to the socket and saying,  
24 "Because the socket is a line voltage screw base,  
25 it's necessarily going to end up with an

1 incandescent in it." And are more comfortable  
2 saying, "Whatever that original lamp is, you can  
3 start there for the purpose of rating that."

4 MR. NESBITT: Okay. So in non-res, what  
5 is the assumption if you have a screw-in outlet  
6 to wattage?

7 MR. STRAIT: Under the 2016 Code, I  
8 believe it's assumed that each of those is a 50  
9 watt lamp.

10 MR. NESBITT: Okay.

11 MR. STRAIT: Assumed as a 50 watt lamp.

12 MR. NESBITT: Although certainly, it's  
13 legal to buy higher wattage than that in  
14 incandescent or halogen bulbs.

15 MR. STRAIT: Yes. If you're asking where  
16 did we establish those values at, I couldn't tell  
17 you. But I know that now most of those bulbs are  
18 illegal under state and federal law, a majority  
19 of those high-wattage bulbs.

20 MR. NESBITT: Okay. I'm just wondering  
21 to what extent if on the one hand, the nice thing  
22 about a screw-in bulb is you can change  
23 technologies. You can change wattages. You can  
24 change light temperature to fit needs better. As  
25 opposed to a pin-based technology, you're pretty

1 much always stuck with that technology and that  
2 wattage, without making changes.

3           So to what extent, assuming that the  
4 initial installed wattage is reality, that that  
5 would encourage people to put in more screw-based  
6 and actually maybe put -- whether that ends up  
7 meaning they put in higher wattage and even swap  
8 out.

9           I've had electricians tell me, "Oh yeah.  
10 We put that in to meet code, but we're going to  
11 take it out." I mean, that kind of thing goes on  
12 a lot. I mean we can't completely eliminate it.  
13 I'm just wondering to what extent we're creating  
14 sort of like an easy loop hole for someone to  
15 drive large trucks through.

16           MR. STRAIT: Well, again right now if  
17 there are efficient LEDs populating those sockets  
18 when the building inspector comes through, we  
19 think there's a minimal chance of those being  
20 different by the time somebody moves into the  
21 building. Certainly we do want to make it so  
22 that folks have an easier time updating their  
23 lighting, when it comes time to do so. And  
24 especially we're seeing now there are LED prices  
25 also integrate. It's also a Wi-Fi hub. It also

1 provides some other services. It's color tuning  
2 and color dimmable.

3           As this lighting technology evolves,  
4 having that additional flexibility, we don't  
5 think it's going to result in less efficient  
6 lighting, because we're seeing the LEDs are  
7 become more and more popular. And so the idea  
8 that it's going to snap back to a florescent or  
9 an incandescent or halogen technology, we don't  
10 have the same concern we would have had five  
11 years ago.

12           So I mean, it's a valid comment to say it  
13 is certainly a worry that we also have, that  
14 we're giving this allowance. We're simplifying  
15 compliance, we're simplifying installation, at  
16 the cost that somebody could walk that backwards  
17 and install less efficient equipment than when we  
18 first looked at the building.

19           On the one hand it's not necessarily that  
20 different than if somebody starts with an  
21 efficient HVAC system and then when that  
22 equipment dies in 12 years, they bring in a less  
23 efficient system. So it's a risk. It's one that  
24 we're saying we think it's appropriate to take.

25           But if your comment is maybe that's not

1 appropriate we'd certainly like to get public  
2 feedback on the record to see how people feel  
3 about it.

4 MR. NESBITT: Yeah. I mean, I don't know  
5 to what extent you might want to limit its use.  
6 Just have some limit or some assumption of watts  
7 per square foot or whatever, that essentially you  
8 can't just put everything into all of your  
9 lighting in that.

10 But anyway, the other issue I want to  
11 raise although it's not technically controls, but  
12 I just don't see anywhere else to put it, is  
13 issue with outdoor lighting and the calculation  
14 methods for figuring out your allowable wattage.

15 MR. STRAIT: Oh, that's actually in 140,  
16 so Section 140.3 and 140.6. Later on we'll talk  
17 about the lighting power allowance discussion.

18 MR. NESBITT: We are, okay. Okay. I'll  
19 talk about it later then.

20 MR. STRAIT: Yeah. Not that I don't want  
21 the comment, but there is a presentation for  
22 that.

23 MR. BOZORGCHAMI: R.J. is anybody on?

24 MR. WICHERT: I'm going to go to an  
25 online comment. Tanya, I'm going to unmute you

1 now. Go ahead and state your name and  
2 affiliation.

3 MS. HERNANDEZ: Okay, high. This is  
4 Tanya Hernandez with Acuity Brands. Can you hear  
5 me?

6 MR. STRAIT: Yes, we can hear you.

7 MS. HERNANDEZ: Great. Thank you.

8 So thank you Peter, for the presentation.  
9 I will tell you it went by so quickly my head was  
10 somewhat spinning. So you'll have to forgive  
11 some of the comments that are more questions than  
12 probably comments.

13 MR. STRAIT: Sure.

14 MS. HERNANDEZ: The first thing was in  
15 the agenda, it actually states that in what looks  
16 like Section 130.0, allowing lamp efficacy to be  
17 used in determine light power density. I am  
18 assuming that you meant wattage there? I didn't  
19 see anything about efficacy, but I want to make  
20 sure I did not miss anything.

21 MR. STRAIT: So in terms of determining  
22 whether following the normal procedure in Section  
23 130.0 for determining wattage for comparison  
24 against the allowed lighting wattage for the  
25 space, I think possibly using the word efficacy

1 was incorrect in the agenda.

2 MS. HERNANDEZ: Okay. Great, thank you.  
3 There was in Section 130.2(b) where it is reduced  
4 -- and I don't think you addressed this one at  
5 all -- it's the exemption that moved it from a  
6 150 watt lamp to 30 watts, yes?

7 MR. STRAIT: Yes.

8 MS. HERNANDEZ: Okay. So there, that  
9 being an 80 percent reduction, even though it's  
10 based on the aggressive efficacy level for LEDs,  
11 we'd like to comment that we think that 30 watts  
12 is every severe, especially given what the  
13 technology will do. And because this is outdoor  
14 lighting, where there's way more builders just  
15 equally as many distribution requirements that  
16 will effect efficacy that we think 30 watts is a  
17 little too steep for that.

18 I wanted to also make the comment about  
19 backlight with a BUG rating. I want to make sure  
20 Part 11; is that CALGreen or no?

21 MR. STRAIT: Yes.

22 MS. HERNANDEZ: Okay, great.

23 MR. STRAIT: CALGreen, just to clarify,  
24 has both mandatory provisions and voluntary  
25 sections. These are part of the mandatory

1 requirements in CALGreen.

2 MS. HERNANDEZ: Okay. And so my question  
3 is because now backlight requirements are being  
4 added where they were not there previously, would  
5 that require some type of cost effectiveness or  
6 additional review?

7 MR. STRAIT: No. They're being moved, so  
8 they're still part of the Building Code, they're  
9 simply in a different section of the Building  
10 Code.

11 MS. HERNANDEZ: Okay. All right, and I  
12 think that was it for that section. Thank you.

13 MR. STRAIT: Thank you.

14 It looks like that's it for the online  
15 comments. I think this is going to be the last  
16 presentation we have before -- oh, we're only at  
17 11:15.

18 Payam, do we want to go ahead and have an  
19 earlier lunch or how do we want to continue?

20 MR. BOZORGCHAMI: I think we should have  
21 an earlier lunch. What do you guys think; 12:30  
22 or 1:00 o'clock to be back here? 1:00 o'clock.  
23 Okay, I got 1:00, so let's take an early, longer  
24 lunch and be back here at 1:00 for the second  
25 half of the afternoon. Thank you.

1 (Off the record at 11:17 a.m.)

2 (On the record at 1:04 p.m.)

3 MR. BOZORGCHAMI: So we're going to start the  
4 afternoon on the performance prescriptive requirements  
5 for nonresidential in Section 140. Mark Alatorre is  
6 going to start with that and when we get to the lighting  
7 sections, we're going to switch it and Simon's going to  
8 do a discussion on that or presentation on that, excuse  
9 me.

10 MR. ALATORRE: Good afternoon. My name is  
11 Mark Alatorre. I'm an Engineer with the Building  
12 Standards Development Office. And I'll be presenting the  
13 mechanical systems in 140. I'm also going to talk about  
14 the changes to the Envelope Section, 140.3.

15 Most of these changes were clarification. The  
16 items that we wanted to point out were clarification in  
17 140.3(a)3 where we clarify the exception to the roof  
18 construction with a weight of at least 25 pounds per  
19 square foot, that it was dependent on weight, not the  
20 thermal mass. The current 2016 language had a term  
21 "thermal mass" in the exception, which is not the case.  
22 It was really based on the weight of the roof assembly  
23 rather than the thermal mass.

24 Updating Tables 140.3-C and 140.3-D to align  
25 with the new thermal mass definition that's in 120.7,

1 where the threshold is 95 pounds per cubic foot, so  
2 whether you're being considered as a light mass or a  
3 heavy mass.

4 140.3(a)5, this had to do with fenestration.  
5 We added an exception for demising walls. That they are  
6 not subject to the fenestration requirements for SHGC  
7 when you have fenestration in a demising wall, an  
8 interior wall.

9 All right, now we're into the mechanical  
10 systems. So 140.4(a) and (b), the changes here were to  
11 accommodate the healthcare facilities now that we are  
12 bringing those into the scope of Title 24.

13 And what we did here, we with worked with OSHPD  
14 and the edits that were made here are not new  
15 requirements. It's consistent with what's current  
16 practice. And all the changes that we made were to give  
17 healthcare facility designers direction on where to get  
18 their design information, you know, for occupant  
19 densities and what not. And most of it's pointing to  
20 other sections of the California Building Code.

21 And again we worked with OSHPD on this language  
22 specifically, so it shouldn't be a surprise to anybody.  
23 It's right along with what's currently being done.

24 We are proposing, in 140.4(c) to adopt new fan  
25 power calculations. This was originally meant as

1 alignment with 90.1, however the actual numbers that are  
2 in Table 140.4-A for fan power limitation, those numbers  
3 are not consistent with 90.1; they're a little more  
4 stringent. And those numbers are based on what is  
5 currently under the 2016 and what was under the 2013  
6 assumption for the standard design.

7           So if anybody that was complying, using the  
8 performance approach in either 2013 or 2016 Standards,  
9 the standard design assumed specific fan power. And  
10 those numbers are what are being proposed in the table.  
11 And again, it's more stringent than what's currently in  
12 90.1.

13           The change in 140.4(d), there used to be an  
14 exception that allowed for re-heating or re-cooling of  
15 air. And it was a pretty detailed exception on the  
16 specific scenario when it was allowed and what load was  
17 required by the control system. And it just seemed  
18 inappropriate to being in an exception, so what we did is  
19 we rearranged 140.4(d) to basically make it an option for  
20 compliance instead of an exception to the section. And  
21 so it looks like a lot of new language, but in reality  
22 it's just getting rid of the exception and putting it  
23 into the actual standards language as an option.

24           140.4 for economizers, so expanded the water  
25 economizer requirement to not just forced air systems.

1 Currently, it was limited to chilled water systems that  
2 used forced air. So now, it also includes chilled water  
3 cooling systems without a fan or with induced air flow.  
4 And for those types of systems there's Table 140.4-C,  
5 which has system capacity thresholds for when the water  
6 economizer would be triggered for the non-fan systems.

7           Also, once a water economizer is used, there's  
8 new language for the performance of the water economizer,  
9 so limitations on pressure up. There's a maximum  
10 pressure drop. It has to be less than 15 feet of water,  
11 or there must be a secondary loop to bypass the heat  
12 exchanger when the economizer is not in use.

13           And also, there's language to explicitly  
14 require full integration, so that way it provides partial  
15 cooling when you could still benefit from some  
16 economizing.

17           140.4(h)5, this is a new requirement for a  
18 cooling tower efficiency. And it's limited to open  
19 circuit cooling towers that are greater than 900 gallons  
20 per minute or 900 gallons permitted and greater. The  
21 minimum efficiency of that tower must be 80 gallons per  
22 minute per horsepower.

23           There are exceptions to this requirement:  
24 towers serving Climate Zones 1 and 16. And also in the  
25 alteration world if the existing tower is roof mounted or

1 inside the building or in, I think we use the term  
2 building mounted towers, they would not be subject to  
3 this requirement.

4           Duct leakage, we made this change again because  
5 of the healthcare facilities coming under the scope of  
6 Title 24. Currently, the way OSHPD handles duct leakage  
7 is they've made amendments to the California Mechanical  
8 Code. And so we just made it explicit there that we  
9 expect duct systems in hospitals to still comply with the  
10 California Mechanical Code requirements, as amended by  
11 OSHPD.

12           And again, this is not really imposing a new  
13 requirement on the industry. This is something that they  
14 already are doing.

15           140.4(0), the basis of this measure was an  
16 addendum to 90.1. And it sets limitations on the amount  
17 of conditioned air that is delivered to a space and that  
18 space, having mechanical exhaust.

19           The limitation is as follows: the conditioned  
20 air shall not exceed the greater of supply flow required  
21 for the heating or cooling, or the ventilation rate, or  
22 the amount for mechanical exhaust minus available  
23 transfer.

24           And the reason why this is a requirement is  
25 according to the author of the addendum that they're

1 doing peer review of other engineer work and they noticed  
2 that this was not the case, that people were supplying  
3 conditioned air and not using available transfer. And so  
4 they felt that it would be easily complied with if there  
5 was a prescriptive requirement. And it just goes into  
6 good design practice.

7           Along with this requirement, we added a  
8 definition for what is considered available transfer air,  
9 so I brought it up here just to highlight it. We define  
10 it as, "The portion of total outdoor ventilation air that  
11 is not required to satisfy other exhaust needs, or to  
12 maintain pressurization of other spaces and that is  
13 transferrable, according to Section 120.1(g)."

14           If you guys were here in the morning, you know  
15 that 120.1(g) is where we have the air classification  
16 section and recirculation limits and transfer air  
17 limitations. That's out of 62.1.

18           All right, so now we're going into the service  
19 water heating section. Currently, the requirements point  
20 to 150.1 for these types of spaces and within 150.1,  
21 there's a requirement for multifamily to comply with a  
22 solar fraction, using solar thermal. The proposal is to  
23 give an exemption for buildings of five stories and  
24 higher. And the analysis that went into that showed that  
25 buildings of four stories and less would still benefit

1 from solar-thermal, while it's not practical for  
2 buildings bigger than that.

3           That's going to conclude my portion. Before we  
4 jump into the lighting, I wanted to pause and take  
5 questions or comments now, before we switch off.

6           MR. GOODMAN: Aniruddh Roy, Goodman. Thank you  
7 Mark, for this presentation, I just had one question on  
8 fan power limitation. Could you walk me through what was  
9 behind the decision making to go more stringent?

10           MR. ALATORRE: Yeah. So under our ACM rules,  
11 the alternative calculation method, there is a standard  
12 design and a proposed design. The standard design is  
13 (indecipherable) for compliant building. And for the  
14 2013 cycle and the 2016 cycle, the assumption for fan  
15 power is what we are proposing to be formally  
16 incorporated into the prescriptive requirements. That's  
17 the basis of that decision.

18           MR. GOODMAN: Okay. But in terms of the  
19 stringency compared to 90.1, what was the decision to go  
20 higher, I guess? That's really --

21           MR. ALATORRE: Our thinking was that currently,  
22 people are being compared against that already. People  
23 complying with Title 24 now using the performance  
24 approach, are already being compared against that level  
25 of stringency on the fan power. So we think that because

1 people are already complying with it on a performance  
2 level, that it's appropriate to bring it in as a  
3 prescriptive requirement now.

4 MR. GOODMAN: Okay. And I may have missed it,  
5 but was that captured in the CASE report, like that  
6 decision making?

7 MR. ALATORRE: Yes.

8 MR. GOODMAN: Okay. Thank you.

9 MR. ALATORRE: Sure.

10 And I'll just point out that at the end of the  
11 -- Simon's going to come up and discuss some lighting  
12 things. I'll come back on for the last part of 140,  
13 140.9. And at the end, there'll be another chance for  
14 comments if anybody has something that they're pondering  
15 and they want to ask later, that's fine.

16 Next would be Simon Lee. He's going to discuss  
17 lighting.

18 MR. LEE: Thank you, Mark, for presenting those  
19 early sections. And I will continue on lighting sections  
20 140.6 first, and 140.7 second. And then I'll hand it  
21 back to Mark to continue on section 140.9.

22 In this code cycle LED lighting is used as the  
23 baseline for both indoor and outdoor lighting power  
24 allowance. The complete building method, the area  
25 category method, and the tailored method have all been

1 updated with modify lighting power density values.

2           For the complete building method, they are  
3 added to the building occupancy types. Similarly, for  
4 the area category method they are added to the primary  
5 function area types. For primary function area types not  
6 listed, our reasonably equivalent type is permitted to be  
7 used for the area and the LPD values.

8           Table 140.6-B is for complete building method.  
9 Some of the changes to the table are shown on this  
10 presentation slide. For complete building method,  
11 besides the update to the lighting power density values  
12 they are also added to add new building types such as  
13 assembly buildings.

14           So let's look at one example for a minute.  
15 Assembly buildings as defined in Section 100.1, is a  
16 building with meeting halls in which people gather for  
17 civic, social or recreational activities. A combination  
18 center building can be qualified as an assembly building.

19           Table 140.6-C, this is for area category  
20 method. So this table contains the lighting power  
21 density values for different building functional areas.  
22 Besides the update to the LPD value, the other important  
23 changes to this table is the addition of two new columns  
24 to the right-hand side of the table.

25           One column here is for the qualified lighting

1 systems. And other column shows the additional lighting  
2 power for the qualifying system. And this is important  
3 that I would like to point out, as it relates to the next  
4 slide. So this additional lighting power is use it or  
5 lose it. Let's look at two examples: auditorium and open  
6 office.

7           For auditorium, additional lighting power is  
8 provided for ornamental lighting. And it is .30 watt per  
9 square feet. Accent, display and feature lighting is  
10 allowed for an additional lighting power of .20 watt per  
11 square feet. And this additional power is use it or lose  
12 it. Another example is office area, for office area and  
13 additional lighting power is provided for portable  
14 lighting for .20 watt per square feet.

15           Table 140.6-D for the tailored method, again  
16 they are modified values on the lighting power allowed.  
17 I have just listed one of the areas, auditorium area.  
18 There are some other function areas that are no longer  
19 listed in this table for tailored method. The reason  
20 being is that there is already additional lighting power  
21 provided under area category method.

22           And let me switch back to one slide. So this  
23 is the area category method. So to the far right-hand  
24 side, those are the additional lighting power. And let  
25 me come back to 140.6-D, so continuing on tailored

1 method.

2           There are two other tables for tailored method  
3 that I want to mention here: Table 140.6-E and Table  
4 140.6-G. For Table 140.6-E, we have updated with  
5 modified adjustment factor for wall display and for  
6 display lighting. On Table 140.6-G, we have added with  
7 modified general lighting powers values by room cavity  
8 ratios and general illuminance.

9           Section 140.6(a), this is for calculation of  
10 actual lighting power. I will skip over the first bullet  
11 point as I have talk about briefly early on. There are  
12 two new subsections added to Section 140.6(a). They are  
13 4B and 4C. 4B is for tunable lighting, which covers  
14 tunable-white lighting and dim-to-warm lighting. This  
15 subsection is for small aperture luminaires as small  
16 aperture luminaries can use as much as double the power  
17 as the fixed CCT luminaires.

18           Subsection 4C is for wall display and floor  
19 display lighting under the tailored method.

20           I'll switch gear a little bit and we'll talk  
21 about daylighting devices for power adjustment factors.  
22 This is a new subsection under 140.6.

23           The qualified daylighting devices for this  
24 subsection, for these new requirements include  
25 clerestory, light shelves and horizontal slats. I want

1 to point out that there are two sections actually related  
2 to this daylighting device measure. One is in Section  
3 140.3-D. And the other part is Section 140.6(a) and  
4 Table 140.6-A. For the performance requirements, they  
5 are in Section 140.3-D. For the power adjustment factor  
6 values they're in Table 140.6-A. So on the slides, the  
7 power adjustment factors for these DYs (phonetic) are  
8 shown.

9 I have just highlighted the changes in Section  
10 140.6. I will pause here and open the floor for comments  
11 and inputs.

12 MR. MARTIN: So I am John Martin from the  
13 International Association of Lighting Designers. Nice  
14 job and I would like to just use this opportunity to  
15 raise a couple of sort of ancillary points, Simon, to  
16 what you've outlined.

17 With respect to lighting power density  
18 calculations in general, on a long-term basis these are  
19 fine. Most people would be able, given solid state  
20 lighting, to comply with them. On a longer-term basis,  
21 though, we would urge the Commission to commission some  
22 studies to look at what are the performance impacts of  
23 these requirements on humans in spaces that meet the  
24 requirements. That is, what is the impact on human  
25 comfort and productivity?

1           Aside from the savings and energy, I realize  
2 this isn't technically within the strict purview of the  
3 Commission, but the Commission's involved in the  
4 driverless vehicle business. You might as well get into  
5 some other things too.

6           Also, as a general effort I would commend you  
7 to continue the work of aligning your power density  
8 requirements with other major energy codes that are used  
9 in the United States and elsewhere. So for example the  
10 closer you come to both the space-type definitions and  
11 the values of ASHRAE/IES 90.1, that makes life better for  
12 everybody who's involved in the lighting business,  
13 because it reduces the confusion and temptation to assume  
14 that there's something to evade here, rather than just  
15 simply getting on with what are accepted to be valid  
16 values.

17           So good job, keep it up. Extend your thinking  
18 little bit. Thank you.

19           MR. LEE: Thank you, John, for the comments.

20           The staff at the Commission, we always look out  
21 on new research and new findings. And this topic of the  
22 lighting impact to human health is definitely on our  
23 radar. And then in terms of aligning the requirements  
24 with other energy codes, one of the major codes that we  
25 have paid close attention to is ASHRAE and so we'll

1 continue this effort.

2 MR. KOTLIER: Good afternoon. My name is  
3 Bernie Kotlier and I represent the California Labor  
4 Management Cooperation Committee. We represent thousands  
5 of contractors, electrical contractors, in California and  
6 tens of thousands of electrical workers.

7 I know I'm a little bit out of order here, but  
8 because the agenda was advanced I wasn't able to make  
9 some comments on some earlier lighting points, which I  
10 would like to do now as a catch-up, if that's okay?

11 MR. LEE: Certainly.

12 MR. KOTLIER: Thank you. So first of all, I'd  
13 like to support for vacancy controls. In the current  
14 2016 Code we have manual on, auto off, vacancy type  
15 controls. What we're seeing in the 2019 Code is that  
16 some of those requirements have been removed.

17 For 2019, we support a mandate for specific  
18 areas, for vacancy controls. Without those manual on,  
19 auto off types of controls, we will have significant  
20 energy loads that could be easily saved.

21 I'll just give you one example. There are  
22 certainly probably hundreds, but one obvious one is in  
23 schools. If we're just relying on a scheduling pattern  
24 and timers for turning off lights, if someone forgets to  
25 do that for a holiday we could have a whole week or

1 multiple weeks where those lights are on. It's just  
2 common sense to have vacancy controls. And they're in  
3 the 2016 Code and we'd like to see that continue in the  
4 2019 Code.

5           The second point I'd like to make is also  
6 something that's in the 2016 Code that we're not seeing  
7 in 2019, that seems to have been changed and that is  
8 exterior lighting occupancy sensors. They are required  
9 in 2016. Apparently they're being dropped in 2019. It's  
10 proposed, from what I can see that it goes to a scheduled  
11 system.

12           And once again, this is a very similar  
13 situation. Occupancy sensors are going to save a lot  
14 more energy than a schedule system. And the industry  
15 strongly supports continuing with the 2016 requirement  
16 for occupancy, as opposed to a scheduled system. Thank  
17 you.

18           MR. STRAIT: Thank you.

19           A quick two points on the presentation for  
20 Section 130, for 130.2, for the outdoor controls? We've  
21 already received commentary and we're looking at adding  
22 in matching requirements that specific spaces have  
23 occupancy controls specifically and not simply be  
24 allowed the scheduling controls. We're looking at  
25 phrasing that the same way as it's phrased in Section

1 130.1, so that issue has been raised. We're already  
2 looking at how that might be done.

3           Regarding the vacancy sensors we had that  
4 conversation with Charles Knuffke and we did some  
5 research and clarified with them over the lunch break.

6           Right now the 2016 Code requires that when you  
7 have occupant-sensing controls -- that if you have a  
8 sensor in the space that can tell you whether the space  
9 is occupied or not -- you can either have them as a  
10 vacancy control, meaning that they have a manual on  
11 function. Or if they have automatic on, that it'd only  
12 be partial on, that it only would turn on the lighting to  
13 a certain percent.

14           The current code is you can have either manual  
15 on or auto on without that limitation. And if it's auto  
16 on that it only come on of between 50 or 70 percent. We  
17 can look at adding -- again since the intent was not to  
18 change those requirements, we can look at adding a quick  
19 sentence or a section that says when you have multi-level  
20 controls and an occupancy sensor in the space, and you  
21 have automatic on as a function that the automatic on be  
22 capable of coming on to between 50 and 70 percent,  
23 matching the requirements of the 2016 language.

24           So that's what we're currently looking at, on  
25 that. And I just wanted to make sure to keep the

1 conversation moving. We are looking closely at that and  
2 seeing what can be done.

3 MR. BENYA: This is Jim Benya, Benya Burnett  
4 Consultancy, advisers to the Commission team.

5 Getting back to 140.6, one of the things I  
6 wanted to point out, that people don't know some of the  
7 stuff's going on in the background. Excuse my voice. I  
8 just gave an all-morning class. It's mud.

9 But one of the things people don't know that's  
10 going on in the background is that CASE Team has used the  
11 same spreadsheet system that is used by ASHRAE/IES. In  
12 fact, it's using the same spreadsheet. For those of you  
13 who know these things it's called the "Big Ugly  
14 Spreadsheet," or the BUS, because it is rather large and  
15 it's very complex. But that spreadsheet was used by the  
16 CASE Team and working with staff we reviewed every one of  
17 those values to make sure that we felt they were  
18 consistent with our understanding.

19 And for the most part the values that are  
20 embedded in the current draft standard we're looking at  
21 are virtually identical to 90.1 in many, many ways. So  
22 you may find small differences, but you're not going to  
23 find big differences.

24 MR. MARTIN: So John Martin, IALD again.  
25 That's a great comment, Jim. I would point out that the

1 IALD and the IES -- the Illuminating Engineering Society,  
2 which is the cosponsor with ASHRAE of the ASHRAE/IES 90.1  
3 Standard -- and ASHRAE, along with the British Columbia  
4 Power Authority are funding a study to validate the  
5 values that are derived from the BUS, the Big Ugly  
6 Spreadsheet, because there is great suspicion on the 90.1  
7 Lighting Subcommittee that the values are not entirely  
8 valid in given modern equipment.

9           And I don't want to go into a lot of detail  
10 about a pretty technical topic, but I would say that to  
11 the extent that the Commission can continue to keep an  
12 eye on what the 90.1 Lighting Subcommittee does over the  
13 next year as it learns the results of this validation  
14 study, which will be undertaken starting around the 1st  
15 of November and will conclude in the middle of June next  
16 year. That's a great opportunity to just sort of  
17 everybody check the numbers and see if we all still think  
18 they make sense. Thank you.

19           MR. STRAIT: There is one issue there that we  
20 will likely have already progressed the rulemaking to the  
21 point of adoption before June, so we might not be able to  
22 incorporate the results of that study. We are of course,  
23 interested in paying attention, but the timing might be  
24 an issue.

25           MR. MARTIN: That's certainly understood, that

1 the timing could be an issue. I think that the bigger  
2 issue here is as we go through every three-year code  
3 cycle, if the ASHRAE/IES 90.1 Committee by this time next  
4 year says, "Whoops, we've got about a 15 percent  
5 correction to make in the many of our values," or some  
6 number. I have no idea what it will be. That'll be  
7 plenty of opportunity for California to take note and  
8 say, "Hey, we've got to make sure we do something about  
9 this in '22," or whenever.

10 MR. STRAIT: Absolutely. Actually, that's part  
11 of the purpose overall for the Building Code, of having a  
12 triennial cycle, is to be able to stay that agile, so  
13 absolutely.

14 MR. MARTIN: Thank you.

15 MR. MCHUGH: John McHugh, McHugh Energy. I  
16 thought I'd just mention a little bit more the  
17 harmonization between the ASHRAE committees and the CASE  
18 Team. So this spreadsheet that was used, as Jim points  
19 out, was the BUS. We actually changed it a little bit  
20 and called it the VAN, because we actually compressed the  
21 spreadsheet, used the same equations but fixed broken  
22 links, did a number of changes to the spreadsheet,  
23 including the wall wash model that's in there is now  
24 based on different -- before the wall wash model it was  
25 based on one value. And now we have wall wash

1 calculations that vary by the various luminaires.

2           The updates to the Standards, in addition to  
3 just the values in the spreadsheet as Jim knows, we  
4 didn't blindly just use the spreadsheet. It went through  
5 a very significant review including review by the 90.1  
6 Committee, because we took many of these same  
7 recommendations to ASHRAE 90.1. They were too far along  
8 in the process. And then we took that to ASHRAE 189,  
9 which is the Green Building Standard. So there's been a  
10 fairly significant amount of harmonization with ASHRAE,  
11 using the same mechanism and the same inverse lumen  
12 method to calculate the LPDs.

13           One area where we're not in harmonization and  
14 actually would provide some additional energy savings is  
15 that for the open office, open plan buildings, portable  
16 lighting is exempted in ASHRAE. We actually provide a  
17 credit, so that it's essentially fairly much the same  
18 thing. But ASHRAE, in exempting their portable lighting,  
19 they require that it be placed on either a time switch  
20 controller or an occupancy control. And this  
21 harmonization has added controls, I think makes sense,  
22 because those are one of those areas where lights get  
23 left on when people leave. Thank you.

24           MR. BENYA: All right, just Jim Benya, just to  
25 respond to John Martin. The process of the BUS and now

1 the VAN has involved IALD professionals who have  
2 significant design background and fairly seniority in the  
3 profession.

4           And nothing's going to be perfect. This is  
5 trying to turn lighting design into numbers and values in  
6 a spreadsheet is a dangerous leap at best. But we had at  
7 least two IALD professional members either involved in  
8 developing that or reviewing it. And I'm glad to hear  
9 that there's going to be a validation process, because  
10 the Big Ugly Spreadsheet, which was invented in the late  
11 1990s by yours truly and a number of other members of the  
12 Committee, probably has needed that for a long time.

13           So that's very, very good news and I will do my  
14 best in supporting the staff to embrace anything that  
15 comes out of it as quickly as possible. So thanks for  
16 bringing that up, John.

17           MR. WICHERT: We actually have a question  
18 online, Simon.

19           I'm going to go to you, Kelly. I'm going to  
20 unmute you now. Go ahead and state your name and  
21 affiliation.

22           MR. SEEGER: Hi. This is Kelly Seeger, from  
23 Philips Lighting. Can you hear me all right?

24           MR. WICHERT: Yeah, we can hear you.

25           MR. SEEGER: Okay. I just have a couple of

1 comments. First, I wanted to thank the Commission for  
2 the opportunity to have this workshop and to be able to  
3 comment. We really appreciate the engagement and the  
4 sharing of ideas and sort of the development of the  
5 standard.

6           Where I wanted to comment was on the  
7 classification, the luminaire classification and power  
8 language. And we've been going back and forth with --  
9 have been going back and forth with the CASE Team in the  
10 development of this. And I know Simon, you and I, we  
11 also had a meeting discussing multi-channel LED systems.  
12 And we actually still have a lot of work going on in this  
13 section, and of course taking into account the people in  
14 the space and health and well-being.

15           And I guess our concern is around the small  
16 aperture description of these types of luminaires. In  
17 the work that we're doing, it's much broader than that.  
18 And we're speaking about this in terms of the built  
19 environment, specifically in patient rooms and the  
20 patient experience environment. And so I would ask the  
21 Commission to further consider and discuss what types of  
22 luminaires might be on the market in 2020, when the  
23 standard is adopted?

24           We think that that tunable light systems and  
25 also systems for circadian support are going to be pretty

1 readily available. And they're going to be in all shapes  
2 and sizes and there's going to be a lot of changes going  
3 on and a lot of refinement. So we would hope that the  
4 Commission would look at that and perhaps think more  
5 about that term "small aperture" and how that is  
6 potentially limiting to innovation that comes out in many  
7 shapes and forms.

8           And as far as the patient room on limit, the  
9 lighting power density of 0.55 that's proposed, that is  
10 true that it is very close to ASHRAE 90.1 2016. I  
11 believe the number there is 0.62, for instance. And I  
12 agree with Jim Benya. The numbers are very close.

13           I can say now as the new Chair of the Lighting  
14 Subcommittee of 90.1, we are embarking as John Martin has  
15 said, on a very ambitious effort to really look closely  
16 at all those values. And it's a validation, but it's  
17 also an evolution of the Standards. You know, it's  
18 taking the standards from looking at these numbers and  
19 having a couple of people comment.

20           And as Jim said we do have a number of lighting  
21 designers who are very well known and very well versed in  
22 all things lighting, who've been working on this, but we  
23 realize that we need to evolve. We need to take  
24 advantage of AGI and other methodologies to really put  
25 numbers out there that are going to make sense, so all of

1 the LPDs are under consideration right now. So I just  
2 want to also bring that to the Commission's attention.

3 And since 90.1 is a continuous maintenance  
4 standard, kind of all the time we are looking at new  
5 ideas and evolving things, so just to keep that in mind  
6 as well.

7 So those are just the couple of comments that I  
8 had. Again, I thank you for the opportunity.

9 MR. LEE: Thank you, Kelly. Just a quick  
10 response on small aperture luminaires, the reason being  
11 we are focusing on just the small aperture is because on  
12 the other side, large aperture, the efficacy of large  
13 aperture is very close to the rest of the LED luminaire  
14 products. So that's why we decided that there is no need  
15 for additional lighting power for small aperture  
16 luminaires.

17 And then the other comments about a patient  
18 room, so we'll take it into your comments and we'll look  
19 at that internally in our office.

20 MS. SEEGER: Thank you.

21 MR. LEE: Thank you, Kelly.

22 MR. KNUFFKE: Charles Knuffke, Wattstopper-  
23 Legrand, just wondering is there a definition for what  
24 counts as a small aperture luminaire? I was checking in  
25 the definitions section and I don't believe I found one,

1 so I was just wondering what the qualification would be  
2 for a small aperture?

3 MR. LEE: Yes. There is a definition for small  
4 aperture luminaires, if their width is four inches or  
5 less. For all luminaires that is a requirement, but let  
6 me turn back to the actual language.

7 MR. KNUFFKE: Okay. Thank you very much.

8 MR. FLAMM: This is Gary Flamm. I want to talk  
9 about portable lighting, the allowance.

10 Back in 2008, I believe it was, the Energy  
11 Commission demonstrated that offices almost always had  
12 portable lighting, at least 0.2. So what the Energy  
13 Commission did was subtract 0.2 watts per square foot  
14 from the ceiling. And then give a quasi-credit for 0.2,  
15 as a way to encourage low general ambient task lighting  
16 systems.

17 And I believe that's been quite confusing,  
18 because the Commission has always all planned portable  
19 and all planned permanent lighting to be accounted for.  
20 But in open offices there was an assumption that at least  
21 0.2 was being used. And I found it curious that Jon  
22 McHugh brought up that 90.1 exempts portable lighting in  
23 offices. And if the Energy Commission is interested in  
24 simplifying the standards, that actually sounds like a  
25 more elegant way to deal with portable lighting than what

1 is currently there. Thank you.

2 MR. LEE: Thank you, Gary.

3 Charles, I found the section for your inquiry.  
4 It's in Section 140.6(a)4 under tunable white luminaires  
5 and dim-to-warm luminaires. So there is a definition  
6 requirement on what is considered to be a small aperture.

7 I hear there's no more comments, so we'll  
8 continue on Section 140.7. This is the section for  
9 prescriptive requirements for outdoor lighting. The  
10 updates in this section includes modify lighting power  
11 allowance for general hardscape lighting and specific  
12 application lighting.

13 The slides on the screen shows a portion of the  
14 update to Table 140.7-A with modified LPA values. And  
15 besides the updates to the LPA lighting power density  
16 values a lighting power allowance is added for narrow  
17 band spectrum lighting, where we cry by local or state  
18 laws. No band spectrum light sources are less  
19 efficacious than broad band spectrum light source and  
20 that's the reason we provide this lighting power  
21 allowance. And usually narrow band spectrum light  
22 sources are required for mentally sensitive areas such as  
23 astronomy observatories and natural habitats.

24 Table 140.7-B, this is for specific application  
25 lighting. And we have also updated the LPA values in

1 this table.

2 So those are my two slides for Section 140.7.

3 And I will pause here and open the floor again for inputs  
4 and comments.

5 MR. BOZORGCHAMI: If there's no comments  
6 we're going to move on to Mark Alatorre again on  
7 the mechanical systems.

8 MR. ALATORRE: Okay. For the changes to  
9 the 140.9 there was nothing -- well, I'll mention  
10 the changes to the computer room section. We  
11 added a trigger for computers rooms that are  
12 compliant using an air economizer, that they also  
13 incorporate the FDD on to that economizer. And  
14 we make a reference to the 120.2(i).

15 Other than that, there were no other  
16 changes to these two sections other than add  
17 exemptions for healthcare facilities. That was  
18 again working with OSHPD and getting their input  
19 on the applicability of these sections in  
20 healthcare design.

21 The significant changes to 140.9 happened  
22 and (c) is now titled "Laboratory and Process  
23 Exhaust Systems." We added a requirement,  
24 140.9(c)2 to align the exhaust system transfer  
25 air to what's written, the new proposal on

1 140.4(o). And that's to set limitations on the  
2 amount of conditions that are being supplied to  
3 the space at head height exhaust. That way they  
4 take advantage of available transfer.

5           The other requirement in this section is  
6 the 140.9(c)3 and that's for the system. It's  
7 titled "System Power Consumption," and this is  
8 only for labs spaces that have exhaust systems  
9 greater than 10,000 CFM. The requirement is for  
10 these systems to meet the discharge requirements  
11 of ANSI Z9.5-2012 version, and they will have to  
12 comply with one of the three following  
13 requirements.

14           One, being that the fan system power be  
15 less than or equal to 0.65 watts per CFM or that  
16 the exhaust system be variable air flow and the  
17 speed be based on wind speed and wind direction  
18 from a building mounted anemometer. Or that the  
19 exhaust rate be variable based on measured  
20 contaminate concentrations from contaminant  
21 sensors in the exhaust deck.

22           The fan system power consumption section  
23 comes also with a new acceptance test. The  
24 acceptance test is applicable only for the  
25 systems that choose to comply using the wind

1 speed and wind direction, or the contaminant  
2 sensor approaches.

3           Still in 140.9(c ) there's a new  
4 subsection, (4) and this would be for automatic  
5 closing fume hood sashes and the trigger would be  
6 on fume head intensive laboratories. There's a  
7 new Table 130.9-B, which characterizes the type  
8 of laboratories that would be considered fume  
9 hood intensive.

10           And the automatic feature of the closing  
11 sash must be capable of the following: They must  
12 be able to detect people with a dedicated zone  
13 presence sensor and the zone would be directly in  
14 front of that hood.

15           Also, the controls -- have controls that  
16 prevent closing against a force of 10 pounds, so  
17 in a case of an accident and it's starting to  
18 close and somebody puts their hand in or  
19 something like that, they can hold a resistance  
20 of 10 pounds and it would stop it from automatic  
21 closing.

22           Also, be able to detect transient  
23 materials or anything in the way or any  
24 obstruction in the way of the sash that would  
25 prevent it from closing.

1           Along with these requirements also comes  
2 an acceptance test to verify proper function of  
3 the sash control, the automatic sash control.

4           That concludes the 140 Section. I will  
5 now open it now for any questions or comments on  
6 these new proposals.

7           MR. WICHERT: I have one online.

8           Joe, I'm going to unmute you now. Go  
9 ahead and state your name and affiliation.

10          MR. CAIN: Thank you, Joe Cain with Solar  
11 Energy Industries Association. And I am  
12 backtracking a bit to Section 140.5 "Prescriptive  
13 Requirements for Service Water Heating Systems"  
14 and 140.5(b) "High-rise Residential Hotel/Motel."  
15 You are indicating that new Exception 2,  
16 buildings of four stories or greater are not  
17 required to comply with the solar fraction  
18 requirement of Section 150 dah-dah-dah.  
19 (phonetic)

20          So the question I have is we still have  
21 the goal of Zero Net Energy Commercial by 2030.  
22 Now, this is high-rise residential hotel/motel,  
23 but with the Zero Net Energy goals of course what  
24 catches my eye is providing an exception that  
25 would say you are not required to meet a solar

1 fraction requirement. And the first question of  
2 concern is, is that kind of going away from the  
3 goal?

4           And I think also specifically these  
5 buildings typically have a lower ratio of skin.  
6 You know, in the building envelope they typically  
7 have intensive hot water demand based on the  
8 higher density of occupancy. I also understand  
9 they in some cases, have a more congested roof  
10 space.

11           But I'm interested to hear a little bit  
12 more about why that new exception would be in  
13 there to just eliminate the requirement. And if  
14 there is some concern, or that the requirement is  
15 difficult to meet whether the Commission would go  
16 on the path of exploring some alternative rather  
17 than just an exception. Thank you.

18           MR. TAM: Hi, this is Danny Tam, Building  
19 Standards staff. So that was a requirement that  
20 went in to the 2013 Standards.

21           So over the years we received a few  
22 comments for really tall buildings, it's very  
23 difficult to next to impossible to meet that  
24 requirement. For example, like a 40-story  
25 building just doesn't have the roof space to meet

1 the solar fraction requirement.

2           So for that reason we looked back in the  
3 original CASE reports, so they did look at high-  
4 rise residential, but only at four stories. So  
5 that was the reason why we picked five stories as  
6 the exception. But we're open for additional  
7 comments.

8           MR. STRAIT: Yeah, this is Peter Strait,  
9 the Supervisor. I would reiterate that. The  
10 question isn't whether there's some ratio of roof  
11 space to building space where a percentile  
12 fraction of the heating load is not the right  
13 approach for solar requirements. The question is  
14 what is that dividing line, so we know we have to  
15 have some forward specification to say after this  
16 height or some other demarcation that a solar  
17 fraction is just not possible to be met.

18           If, again and we're going back to the  
19 CASE reports to say we have justification for  
20 here, but beyond this we actually don't have what  
21 we feel would be necessary to impose that  
22 requirement. So that's as Danny said, that's  
23 where that exception is coming from.

24           MR. CAIN: This is Joe Cain again. Is  
25 there other alternatives that can be explored

1 rather than just saying it's hard to meet, so  
2 we're going to eliminate it?

3 MR. STRAIT: In order for us to pursue an  
4 alternative we would need basically a code change  
5 proposal. So certainly probably not in this code  
6 cycle, but if there is something equivalent that  
7 might be proposed, again in service of the ZNE  
8 goal for 2030 for nonresidential or similar, we  
9 would encourage you to take a look at that  
10 template. It's available on our website. And  
11 look at possibly submitting a code change for  
12 2022.

13 MR. NESBITT: George Nesbitt, HERS Rater.  
14 In the San Francisco Bay Area there are a lot of  
15 multi-family projects with solar hot water, new  
16 as well as existing buildings that have been  
17 retrofit. And many of them in the five and six-  
18 story.

19 And if that's a prescriptive requirement  
20 -- well, most compliance is not prescriptive. So  
21 it really plays in, in the performance and the  
22 budget. So it doesn't seem like it really should  
23 or is a big barrier.

24 MR. ALATORRE: Thank you, George.

25 Mazi real quick, one thing I wanted to

1 point out is in the draft language that's posted  
2 I believe it says the exception is four stories  
3 and up. In reality, it should be five stories  
4 and up. That way we can include the four-story  
5 high-rise.

6 MR. STRAIT: Okay, if that sounds like a  
7 typographical error, it should be "greater than  
8 four" instead of "four or greater."

9 MR. ALATORRE: Okay.

10 MR. SHIRAKH: Yes, Mazi Shirakh. You are  
11 still online?

12 MR. CAIN: Yes, I'm still online.

13 MR. SHIRAKH: So if you have any  
14 suggestions for other alternatives let me know,  
15 we'll look at it.

16 MR. CAIN: Okay.

17 MR. SHIRAKH: Thank you.

18 MR. CAIN: Yeah, it's interesting. I  
19 mean hearing the comment that if I want to submit  
20 a code change proposal it would not be in this  
21 cycle, but would be in the next cycle. It seems  
22 that one possibility would just be simply to not  
23 add exception to the standard.

24 And I think there are various types of  
25 systems, and I think what the Zero Net Energy

1 goals are going to have to be getting creative  
2 about, how to apply renewables. So I'm sure that  
3 I will issue some public comment on this. I  
4 probably need to give it some more thought.

5 MR. STRAIT: Certainly, and actually I  
6 should clarify, if it's a proposal for a  
7 completely new requirement that hasn't been seen  
8 we might need a (indiscernible) who is available  
9 to absolutely please talk to staff. And get Mazi  
10 any suggestions you might have about reasonable  
11 alternatives.

12 MR. CAIN: Okay. I'll give it some  
13 thought. Thank you.

14 MR. ALATORRE: Okay. We're going to meet  
15 Laura online. Go ahead.

16 MS. PETRILLO-GROH: Hi, sorry. I was  
17 double muted. Can you all hear me?

18 MR. ALATORRE: Yes, we can.

19 MS. PETRILLO-GROH: Thank you.

20 So this is for Mark and backing up a bit  
21 to his first presentation --

22 MR. BOZORGCHAMI: Excuse me, Laura, can  
23 you announce yourself?

24 MS. PETRILLO-GROH: Oh, yes. I'm so  
25 sorry, Laura Petrillo-Groh for the Air-

1 Conditioning, Heating and Refrigeration

2 Institute.

3           So during the fan system power proposal  
4 or presentation of the draft language, you know I  
5 appreciate that the justification for the  
6 increased values for 90.1 is in the Draft CASE  
7 Report. But also within the Draft CASE Report  
8 for indoor air quality, it was noted that many of  
9 the analyses had been conducted with the MERV 9  
10 filter or maybe it was set at a previous rating.

11           However, I was wondering if CEC has gone  
12 back and looked at the impact of the fan system  
13 power with the proposed air filter level of MERV  
14 13?

15           MR. ALATORRE: Yes, I believe the Final  
16 CASE Report does have the MERV 13 assumption in  
17 it.

18           MS. PETRILLO-GROH: I look forward to  
19 seeing that. Thank you.

20           Also, the original proposal was for MERV  
21 13 filters to be installed in a location with an  
22 outdoor quality of, I guess of PM 2.5  
23 nonattainment areas was the language I believe  
24 that was referred to. That would require that  
25 enhanced filtration. It seems that the current

1 proposal exclusively -- well this is on MERV 13  
2 for all spaces -- is there any information in the  
3 Draft CASE Reports about how much of California  
4 experiences this air quality that is of concern  
5 and requires in CEC's opinion, the enhanced  
6 filtration?

7 MR. ALATORRE: Yes, if I'm remembering  
8 correctly the CASE Report, the Final CASE Report  
9 does give a discussion on that. And through our  
10 communication with the CASE Team we had a  
11 dialogue and we found that according to the Cal  
12 ARB attainment maps, that the majority of the  
13 state in the high-population areas is considered  
14 to be in nonattainment for PM 2.5.

15 And if you look at PM 10 the whole state  
16 is nonattainment for PM 10. And if you look at  
17 the performance of MERV 13, it effectively  
18 removes both PM 10 and PM 2.5 at a very efficient  
19 rate. If you go anywhere below, like if you went  
20 to the 11 or MERV 8 categories the PM 10  
21 efficiency drops. And so what we're really  
22 targeting is not just PM 2.5, but PM 10 as well.

23

24 MS. PETRILLO-GROH: All right. Thanks  
25 Mark, I appreciate that and I look forward to

1 looking at the CASE Report.

2 MR. ALATORRE: Thank you, Laura.

3 MR. MCHUGH: Yes, this is Jon McHugh.

4 Just following up on the question, there's a  
5 Table 140.4(b), which has a specific allowance or  
6 pressure drop adjustment for the MERV 13 filters.  
7 I'm not sure Laura was aware of that, but --

8 MR. ALATORRE: Yeah, I think her comment  
9 was more on the analysis for energy savings. It  
10 wasn't assuming the 13 power drop; I mean the  
11 adjustment factor for 13. It was using the  
12 adjustment factor for 9.

13 MR. MCHUGH: Okay. Thank you.

14 MR. ALATORRE: Thanks, Jon.

15 MR. BOZORGCHAMI: So, Kelly?

16 MS. CUNNINGHAM: Kelly Cunningham, PG&E  
17 and CASE Team, just a reminder to Laura and  
18 everyone that the Final CASE Reports as they  
19 stand now are available on  
20 title24stakeholders.com for download, and have  
21 been for a few weeks. So if you weren't able to  
22 find them there, there is a link from the  
23 Commission site. There is a link from the  
24 different energy, different utility sites, but  
25 they are on the site. So you can download them

1 and read them there in public. Thank you.

2 MR. ALATORRE: Thanks, Kelly.

3 MR. BOZORGCHAMI: So with that, we're  
4 going to take a ten-minute break real quick and  
5 get back to doing lighting alterations in Section  
6 141.

7 (Off the record at 2:07 p.m.)

8 (On the record at 2:18 p.m.)

9 MR. BOZORGCHAMI: We're going to start  
10 with Section 141, the Additions and Alterations  
11 Section for Nonresidential Buildings.

12 MR. CHAU: Welcome everybody back from  
13 break. Thank you.

14 So I'll be starting Session 141.0, which  
15 is the nonresidential high-rise residentials and  
16 hotel/motel occupancies. This is the additions,  
17 authorization and repair.

18 Throughout the two sections 141.0(a) and  
19 (b) we made some non-substantive additions to  
20 those two sections. I just want to point out a  
21 couple of the changes here as examples. We  
22 substituted the thermostatic controls for the  
23 thermostat currently in the 2016 and we also  
24 clarified exception to the Section 141.0(b)2Bi  
25 and ii is dependent on weight, not on thermal

1 mass.

2 MR. BOZORGCHAMI: Thao, can you go back  
3 to slide 1 for a second?

4 That Exception 2 is the discussion on  
5 thermal mass roofs, so since if you have a low-  
6 sloped roof and you have the roofing product more  
7 than 25 pounds per square foot or a thermal mass  
8 roof you're exempted from the cool roof  
9 requirement. A thermal mass roof doesn't exist;  
10 it's a mass roof, so it's based on the weight.  
11 And the weight is that 25 pounds per square foot.

12 MR. CHAU: Thank you.

13 So Section 141.0(b) continues, so here we  
14 did one major merge of the three current  
15 sections: 141.0(b)ii, (j) and (k), which are the  
16 entire luminaires alteration, luminaire component  
17 modification and the lighting wiring alteration  
18 into one single simple section with the name of  
19 the "Altered Indoor Lighting Systems." So just  
20 one section for all of the lighting alternation  
21 projects.

22 We updated Table 141.0-E, which is the  
23 control requirements table to be clearer and more  
24 readable. And we also made some small  
25 adjustments to Options 2 and 3 just to simplify

1 and streamline compliance options.

2           So then Option 2 is now in the new  
3 Section 141.0(b)2Iii, it's kind of weird but --  
4 So we reduced the lighting power, that's the  
5 limit for Option 2 from 85 to 80 percent for a  
6 full allowance. We're allowing the Option 2 to  
7 have the same requirement controls for option  
8 iii. And we also limit Exception 2 to apply to  
9 spaces with one luminaire instead of the two or  
10 fewer.

11           Lastly, we made some improvement as well  
12 to the Option 3. So there is a new requirement  
13 here, which limits Option 3 to lighting projects  
14 that are 5,000 square feet or less. Otherwise  
15 Option 3 cannot be applied and we also use 40  
16 percent uniform lighting power reductions to all  
17 occupancies instead of the 35-50 split currently  
18 in the 2016 code.

19           So here is the current sample language  
20 that we have for all of the lighting projects.  
21 We shrank it down to half a page. This is all of  
22 the lighting system for alterations: i is their  
23 Option 1, ii is Option 2, and iii is Option 3.  
24 So you can see that's extremely simplified and  
25 reduced in terms of our effort to continue to

1 streamline and make the language more easy to  
2 understand, easy to apply, that kind of thing.

3           This Table 141.0-E, we made improvements  
4 to this table. This is the control requirements  
5 for each of the indoor lighting systems, so every  
6 control is called out specifically pertaining to  
7 what section and under what option it is applied.

8           And what's most important here is that  
9 Option 2, which is the second to last column from  
10 the right, and the Option 3 which is the last  
11 column from the right -- they have identical  
12 requirements, so multi-level controls,  
13 daylighting controls and the demand response  
14 controls are not required under Option 3 and  
15 Option 3.

16           And last, modification to the Additions  
17 or Alterations Section is 141.1, which is the  
18 covered process for laboratory and process  
19 facility.

20           The main change to this section,  
21 similarly because of the new requirement in  
22 140.9(c)2, 3 and 4 as Mark had discussed right  
23 before the break: so 140.9(c)2 is the limitations  
24 on transfer air for exhaust air makeup.  
25 Labs/process facilities with an exhaust system

1 greater or equal to 10,000 CFM must meet the  
2 requirement in §140.9(c)3. And lastly, the fume  
3 hood automatic sash closure, for fume hood  
4 intensive labs, which is the Section §140.9(c)4.

5 And that's all I have. If anyone has any  
6 common questions please come up to the mic, state  
7 your name and your affiliation. Thank you.

8 MR. NOLAN: Hello, my name's Luke Nolan,  
9 Central Coating Company. I'm a commercial  
10 roofing contractor with offices in Madera and San  
11 Jose.

12 I wanted to talk about a section that was  
13 in the '13 and '16 codes that is not being  
14 proposed to be looked at for '19. And talk about  
15 kind of what the real-world implications or  
16 implementation of that, that we're seeing and  
17 propose that the exceptions be looked at for '19.

18 The code currently has a requirement that  
19 when the roof of an existing commercial building  
20 is replaced that insulation will be added to that  
21 building. Then that is modified by exceptions  
22 that are quite broad. And what we're seeing day  
23 to day is that those exceptions are broad enough  
24 that nearly -- almost no buildings are required  
25 to have insulation added to them. And that

1 includes the buildings that are very poorly  
2 insulated, in fact uninsulated.

3           And because of this we're also seeing  
4 that building departments are not aware of this  
5 section. It's not something that we're being  
6 asked as roofing contractors to document how we  
7 intend to add insulation or what exceptions might  
8 exist that would require us not to meet that  
9 requirement. So it's been there for two code  
10 cycles and we're still having some of  
11 California's worst buildings not added, not  
12 having insulation added to them. We make them  
13 white, we add cool roofs. I can tell an owner,  
14 "I've upgraded you to Title 24, but you still  
15 have an uninsulated building."

16           All I would propose is that we look at  
17 the exceptions for the '19 cycle and we're not  
18 trying to change every building out there, but  
19 just take California's worst commercial buildings  
20 and bring them up to some level of insulation.

21 Thank you.

22           MR. BOZORGCHAMI: So, Luke let me just  
23 bring the history on to this.

24           The code says if you're doing a roof  
25 replacement, a low-sloped roof, and you're going

1 to the building nonresidential versus residential  
2 you have to double check and see what the  
3 insulation level is. Is it either R8 if it's a  
4 nonresidential building or is it an R14 if it's a  
5 high-rise residential or a hotel/motel.

6           Back in 2008 when we were developing the  
7 2008 code cycle under Charles Eley being the  
8 proponent for this. We proposed this and what  
9 happened was we had the Roofing Contractors  
10 Association, the insulation industry, they came  
11 unglued on us. I think Jon, you were very active  
12 on this and I remember Mazi, we were dealing with  
13 this.

14           The issue was the curb height, not just  
15 for the mechanical system, but it was for the  
16 skylights and the penthouses where they store the  
17 mechanical systems up on the roof and so forth,  
18 not the living spaces per se.

19           We're having problems meeting the curb  
20 height issues (indiscernible) to the insurance  
21 companies that were participating at the time  
22 said, "If you go below an eight-inch curb height  
23 we will void the warranties. Okay, water comes  
24 through. One of the drainages is blocked. We're  
25 going to void that warranty if it's not eight

1 inches or greater."

2           So the Code said, "All right, fine. We  
3 get it."

4           If you already have an R7 insulation, I  
5 think Jon you did the cost analysis on that? I  
6 don't remember.

7           MR. MCHUGH: (Off mic - indiscernible)

8           MR. BOZORGCHAMI: Okay. So Jon McHugh  
9 did the cost analysis on it and Charles Eley, at  
10 the time did the analysis on it that says if you  
11 already have an R7 below the roof deck or an  
12 equivalent U factor, .089, it's not really cost  
13 (indiscernible) to go to an R8 or an R14.

14           Or if your curb height is eight inches or  
15 we don't want you to put more insulation, because  
16 now the building owner has to deal with the whole  
17 insurance and all the other fiascos that goes  
18 with it. So we said you try to maximize the  
19 amount of insulation that you could put up there,  
20 but also keep the eight-inch curb height.

21           So that's where the history of this came.  
22 For this code cycle if you have any studies or if  
23 you have any verifications or any type of CASE  
24 report is what we call it, I'm willing to look at  
25 it. If not, then most likely this is something

1 that we could revisit in 2022.

2 MR. NOLAN: Well, we'll certainly follow  
3 up.

4 MR. BOZORGCHAMI: Okay. Fair, enough.

5 MR. NOLAN: I understand what you're  
6 saying about the curb heights, but that is not  
7 something that we encounter.

8 MR. BOZORGCHAMI: Yeah, but I'm in a  
9 situation that the cost is an issue when the  
10 mechanical system -- what the Roofing Contractors  
11 Association and insulation guys came and told us  
12 is, "The cost for the homeowners have to take on  
13 to get the crane to come out here to lift the  
14 mechanical system, to add the curb height or to  
15 adjust the penthouse wall or the parapet wall and  
16 to be able to seal that proper is just not there.  
17 So we prefer not to go there."

18 And they brought the case to the  
19 Commission. It was a last-minute decision the  
20 Commission had to do at the time, because well  
21 that's what it was.

22 MR. NOLAN: Of course, we'll follow up in  
23 the interest --

24 MR. BOZORGCHAMI: Sure.

25 MR. NOLAN: -- of everyone's time, but

1 just in closing there's a disconnect between just  
2 looking at above-deck roof insulation, which is  
3 what those sections talk about. Many, many or  
4 probably most California buildings also rely on  
5 non-continuous below-deck roof insulation.

6           And if you have high-quality, very well  
7 installed fiberglass batt or whatever type of  
8 insulation below your deck, that should -- I can  
9 certainly say that's good enough. But what we  
10 see are buildings that are nearly uninsulated or  
11 very poorly insulated and I think those should be  
12 looked at.

13           MR. BOZORGCHAMI: I agree with you.

14           MR. NOLAN: Thank you.

15           MR. FISCHER: It's Mike Fischer with  
16 Kellen and I'm representing the Asphalt Roofing  
17 Manufacturers Association and the Polyiso  
18 Insulation Manufacturers Association as well as  
19 the Center for Polyurethanes Industry.

20           On this whole discussion of re-roofing  
21 and roof replacement, I think there is an  
22 opportunity to look at improving the language.  
23 And I would say those exceptions are something  
24 that we jokingly say you can drive a truck  
25 through.

1           And there are very creative yet simple  
2 ways to deal with those problems. And that's  
3 called tapered insulation. If you're using a  
4 spray foam like Luke's company you can add  
5 thickness in other areas and you end up with an  
6 average (indiscernible) --

7           MR. BOZORGCHAMI: Sure, and then you get  
8 water ponding.

9           MR. FISCHER: -- there are ways to  
10 accommodate that. Well, you can do crickets and  
11 saddles and direct water towards drains. So  
12 there are ways to resolve this, but what I'm here  
13 to say is there is a disconnect between the  
14 Building Standards Code and the Energy Code. And  
15 that's what I'm going to put in some public  
16 comments.

17           Under the Building Standards provisions  
18 there's only two types of re-roofing: either a  
19 roof recover where you don't remove anything and  
20 you put a new roof covering down, or you do a  
21 roof replacement in which case you have to go all  
22 the way down to the deck. And that's a  
23 requirement for insurance purposes, for fire  
24 performance, as well as for structural wind  
25 uplift.

1           That's in the Building Code and what is  
2 included in these exceptions in some cases is  
3 allowing what's called a partial tear-off. That  
4 the Energy Code is essentially saying you can do  
5 this. The Building Code prohibits that, so we've  
6 got to resolve that disconnect. And I think we  
7 want to come up with hopefully some suggestions  
8 in the public comment process that may give us a  
9 way out.

10           MR. BOZORGCHAMI: So Mike, you were here  
11 earlier this morning when I admitted I  
12 accidentally deleted that note under 100?

13           MR. FISCHER: Right.

14           MR. BOZORGCHAMI: Well, that note  
15 supersedes which is better, safety or whatever.  
16 And so in that situation it becomes a re-roof.  
17 It's not a tear-down or tear-out pretty much you  
18 could say, for repair purposes.

19           MR. FISCHER: Well, the definition of re-  
20 roof in the Building Standards says it's either  
21 roof recover or roof replacement.

22           MR. BOZORGCHAMI: Okay.

23           MR. FISCHER: And so there isn't such a  
24 thing as partial, it's either --

25           MR. BOZORGCHAMI: Yeah, but the Building

1 Code doesn't say you have to put insulation  
2 either. The Energy Code does.

3 MR. FISCHER: Right.

4 MR. BOZORGCHAMI: And so does the North  
5 American Roofing Contractors Association protocol  
6 and so does the single-play roofing industries.  
7 They want you put that insulation there, but do  
8 the building officials verify that? I don't  
9 know. I think some of this is going to be some  
10 education to the local jurisdictions.

11 MR. FISCHER: Yeah, there is a job.  
12 Yeah, the national model codes have a requirement  
13 that if you have insulation entirely above the  
14 deck and you do a roof replacement, you must  
15 bring that roof insulation up to current code  
16 standard. California is horrifically,  
17 horrifically unprogressive on this issue, way  
18 behind the rest of the country.

19 So I think we have an opportunity as to  
20 what Luke said, and I'll arm wrestle with you  
21 over the Code language later, Payam.

22 MR. BOZORGCHAMI: Fair enough.

23 MR. FISCHER: But the reality is that I  
24 think we've got it -- we do have an opportunity,  
25 I think to fix it. To resolve the conflict and

1 then approve the existing -- remember 75 percent  
2 of roofs produced in the United States don't go  
3 on new buildings. They go on existing buildings  
4 and that's low-hanging fruit that we should be  
5 jumping on, so thanks.

6 MR. BOZORGCHAMI: Okay. Thank you.

7 So any comments on any other parts of the  
8 alterations section: lighting, mechanical? Going  
9 once, twice?

10 UNIDENTIFIED SPEAKER: Here he comes.

11 MR. BOZORGCHAMI: I knew you had it in  
12 you.

13 MR. KNUFFKE: Yeah, absolutely. I've  
14 never missed a code section that I didn't want to  
15 comment on, I'm sorry.

16 Charles Knuffke with Wattstopper-Legrand.  
17 In regards to the altered indoor, altered  
18 lighting systems, thank you very much. Having  
19 presented on the Code at least 1,000 times in the  
20 last two years to different groups and people we  
21 go through the Code, the Code is very  
22 prescriptive, very understandable.

23 And then we hit the additions and  
24 alterations section and it just seems like we  
25 have to completely switch gears and try and get

1 people to understand things. So I think that the  
2 approach that's taken by CEC is very  
3 straightforward. We appreciate the simplicity of  
4 it and look forward to actually training people  
5 on it.

6           There is one item in that section that  
7 does still have an exception for any enclosed  
8 space with only one luminaire. In talking to the  
9 Commission before, I had gotten an impression  
10 that what that really meant was where the entire  
11 project was in an enclosed space with only one or  
12 two luminaires according to the old code.

13           I would just hate to see that somebody  
14 who had a building with a lot of individual  
15 spaces, little study areas or things like that,  
16 that you're seeing in some of the building  
17 designs, that that would have a complete  
18 exemption to all aspects of the alterations  
19 section. So I just would point that out.

20           The second item that I'd like to bring  
21 up, and this is my Don Quixote moment to tilt at  
22 a windmill, which is circuit controls for  
23 receptacles and controlled receptacles. The  
24 current language in 2016 and proposed still for  
25 2019 for entirely new or complete replacement of

1 electrical power distribution systems. That to  
2 everybody that I know says, you've got to  
3 basically remove load centers before you have an  
4 alteration where you have to put in plug load  
5 controls.

6           The manufacturers have certainly  
7 responded in different ways to offer plug load  
8 solutions that are relay panels, modules that  
9 connect to existing occupancy sensors, wireless  
10 controlled receptacles. There are more ways than  
11 you can shake a stick at to do plug load control  
12 and the fact that you don't have to do it on an  
13 alteration unless you completely replace the  
14 electrical power distribution system seems like  
15 it is a missed opportunity.

16           So I would offer up solely that a simple  
17 correction such as for entirely new or complete  
18 replacement of an electrical circuit, that  
19 circuit shall meet the applicable requirements of  
20 Section 130.5(d) would be a significant step  
21 forward. Especially as we're looking at plug  
22 loads being more and more of the energy usage of  
23 the building, so thank you very much.

24           MR. BOZORGCHAMI: Thank you.

25           MR. STRAIT: Oh, I can speak on the

1 single space, the one luminaire exception. There  
2 is a concern if we're requiring full suite  
3 (phonetic) controls, that is your entire  
4 compliance with 130.1 to control a single  
5 luminaire, whether that's cost effective. So  
6 we'll look at that.

7 MS. CUNNINGHAM: Kelly Cunningham, PG&E.  
8 One comment on simplification, thank you to the  
9 Commission for responding to all of the cries  
10 from the building community on simplifying the  
11 language of the standards.

12 So with that in mind, listening today,  
13 looking at how Option 2 and 3 for lighting  
14 alterations now is identical. And looking at the  
15 70 luminaires and less that's also a trigger.  
16 Looking at the 5,000 square foot proposed cutoff  
17 line. Then just suggesting that in the next few  
18 weeks the Commission take one more look at  
19 reducing complexity and is Option 3 still adding  
20 enough value in comparison to what it causes in  
21 terms of having three options to teach in terms  
22 of the compliance improvement side of this once  
23 the Code is in effect.

24 So it's a suggestion. The CASE Team  
25 would be happy to look at savings tradeoffs

1 further and so on to support this if you want to  
2 continue. If not, then I'll leave it at that.

3 MR. STRAIT: So one clarification I can  
4 offer about Option 3 is that when it was proposed  
5 in 2016 part of the purpose of it was to offer an  
6 alternate method of determining the lighting  
7 power allowance for space. People were concerned  
8 that for irregularly shaped spaces like the  
9 conference room or hearing room that we're in  
10 today, that it becomes difficult to calculate  
11 with any accuracy what your watts per square foot  
12 would be, because to calculate on a square foot  
13 value is difficult.

14 Plus that made that square foot value  
15 prone to fudging. If I wanted to install more  
16 lights in the space, and I had a circular room I  
17 could say, "Well, it's a little bit bigger than  
18 you think it is." Whether somebody's actually  
19 going to go down and do that calculation and a  
20 building inspector say, "Oh, wait. You've  
21 oversized this room by 15 square feet," is  
22 difficult to say.

23 So we have this alternate route, because  
24 it was requested. People are saying, "We want an  
25 alternate way to do this." And it hits the same

1 target with that percent reduction, so at some  
2 future point it may not be necessary. But right  
3 now so far as we've been told by what was  
4 essentially a small business community is they  
5 want a different way to do this. And we might  
6 split that out to where you can say you have  
7 these two methods of determining how much  
8 lighting you can put in the space. And it's  
9 separate from what the control requirements are.

10           So it's kind of step one of getting  
11 there, is if we can make the control requirements  
12 the same we can then separate out the idea of how  
13 you calculate how much lighting you can install.

14           MS. CUNNINGHAM: And maybe there's  
15 clarification that could be made that that's the  
16 only thing that's different that may not be clear  
17 by looking at the table and seeing Option 1, 2  
18 and 3. Somehow preserving that lighting power  
19 density calculation exception for that without  
20 adding the additional full option.

21           MR. STRAIT: Right, so the reason that we  
22 have it in that format currently is to facilitate  
23 this discussion. So if we made that wholesale of  
24 a change I don't think we'd get the same  
25 feedback. After this code cycle, we might look

1 at since we've had the discussion about whether  
2 these options should be different or not if  
3 people have agreed or are at least comfortable  
4 with them being identical then moving on to the  
5 next step in 2022.

6 MR. BOZORGCHAMI: Kelly, we'll take at  
7 though.

8 MR. STRAIT: Yeah.

9 MR. BOZORGCHAMI: For simplification.

10 MR. MCHUGH: This is Jon McHugh. I've  
11 just got a follow-up question related to this,  
12 just trying to understand the logic. Because my  
13 understanding is that nothing's required if  
14 you're altering less than 70 luminaires. And so  
15 multiple by around 100 square feet per luminaire,  
16 that's 7,000 square feet. And yet this option  
17 doesn't apply to anything over 5,000 square feet.

18 I mean, on paper saying well we're  
19 giving some additional choice, but the reality is  
20 it applies to something where you're already  
21 exempted. So what's the thought behind having  
22 something that only applies up to 5,000 feet, but  
23 really you're not required to do anything up to  
24 5,000 feet? Thanks.

25 MR. CHAU: Do you want to make a comment

1 on that, Peter?

2 MR. BOZORGCHAMI: Do we have any comments  
3 from online?

4 MR. CHAU: We don't have any comment  
5 online. No.

6 MR. BOZORGCHAMI: Okay. With that I'm  
7 going to our last discussion topic, the  
8 nonresidential ACM -- or excuse me, not  
9 nonresidential -- the nonresidential dependencies  
10 and Mark is going to --

11 MR. STRAIT: Yeah. And I think there's  
12 on slide in there about the nonresidential  
13 alternate compliance method approval manual?

14 MR. BOZORGCHAMI: Yeah, and there's one  
15 slide there too at the end.

16 MR. STRAIT: Yeah.

17 MR. ALATORRE: So I thought I was going  
18 to be the last presenter, but apparently there's  
19 one more slide after me.

20 I'm going to present the changes to the  
21 Nonres Appendices starting with the Third Party  
22 Quality Control Program. So this is here mainly  
23 because we do have HERS verifications in nonres  
24 buildings, so there's existing language for what  
25 we call TPQCP. And so there were changes to the

1 res side and we wanted to mirror the changes to  
2 the nonresidential side. And it was for  
3 clarification mainly on the responsibilities of  
4 the TPQCP.

5           Included in the language was an emphasis  
6 on what was the original intent, and that was for  
7 contractors to be able to identify faults in real  
8 time while on the job site. And also, correct  
9 the issues when they find the faults, so and  
10 bring them into compliance prior to leaving the  
11 jobsite. That's what gives them the allowance of  
12 having increased sample sizes for HERS  
13 verification. And so we just wanted to emphasize  
14 that in the new language.

15           And like I mentioned, given that this is  
16 in the Nonres Appendices, I just wanted to make  
17 everybody aware that it was only applicable where  
18 HERS verification is triggered. This isn't  
19 applicable to any of the acceptance testers.

20           And moving on to a new section, given  
21 that now the proposal is for high-rise  
22 residential to comply with 62.2. We carried over  
23 the verification procedures that were in the  
24 residential appendix into this new section of the  
25 nonresidential appendix. The procedure's

1 identical, because we're anticipating that the  
2 ventilation is very similar. It's intended to be  
3 performed by the HERS Rater. And they're going  
4 to be identifying the minimum airflow rate as  
5 well as the kitchen range hood.

6 I just wanted to mention that we got the  
7 comment in the morning, the kitchen range  
8 verification. That's to verify that the kitchen  
9 range hood is listed in the ADRI Directory.  
10 (phonetic) And that the airflow that it's rated  
11 to pushes in compliance with the requirements  
12 from 62.2 and that it exhausts to outdoors. But  
13 that's a visual verification, not a measurement  
14 of the airflow passing through the range hood.

15 Also, there's another new section NA2.3.  
16 This is to give procedures for dwelling unit  
17 envelope leakage. Again, this is applicable to  
18 high-rise residential for when they are choosing  
19 the option of using a continuously operating  
20 supply or a continuously operating exhaust  
21 ventilation system. They have to perform this  
22 air leakage test to verify that they're not  
23 leaking more than .03 CFM per square foot of  
24 envelope area.

25 This procedure again is identical to

1 what's found in the Res Appendices and it's  
2 intended to be conducted by a HERS Rater.

3           Earlier, as Simon mentioned, there's a  
4 new section, 140.6(a)2L that gives allowance for  
5 lighting power adjustment factors. Along with  
6 that allowance also a new acceptance test gets  
7 triggered and it's intended for it to be here in  
8 7.4.4. This particular procedure is applicable  
9 to Clerestories. The procedure involves  
10 verifying the height of the clerestory, the head  
11 height and the glazing height match the plans.  
12 And also to verify that the shading control is  
13 separate from the fenestration shading control.

14           What's published in the draft language in  
15 Section 130.4 does not yet have a reference to  
16 this section. And we intend to update that for  
17 anybody who is looking through the Standards.

18           Similarly, in that same section an  
19 allowance for power adjustment factors, there is  
20 a separate qualifying device for this measure,  
21 interior and exterior horizontal slats. And this  
22 is intended to be in 7.4.5 with a very similar  
23 procedure to verify slats are installed and the  
24 height is in accordance with what's on the plan,  
25 verify visible reflectance and visible

1 transmittance value match the plans and then to  
2 fill out the proper forms.

3           On the same topic of power adjustment  
4 factors in 140.4(a)2L, the third option there is  
5 for interior or exterior light shelves. They  
6 qualify for power adjustment factors and this is  
7 another procedure that's going to be added to the  
8 appendices. I believe it's going to be 7.4.6,  
9 not 7.4.5 and the verification is going to be to  
10 verify the light shelves are installed at the  
11 height according to the plans. And then again,  
12 verify the visible reflectance match the plan.

13           So here's a new procedure. This one is  
14 for the new FDD requirement for using DDC-based  
15 systems. Part of the proposal in 120.2(I) --  
16 well, let me back up a little bit. Currently,  
17 FDD devices have to be certified to the Energy  
18 Commission. The new proposal identified that  
19 algorithms using DDC technology that's using a  
20 central management system the algorithms  
21 themselves are -- there's several people who  
22 could be responsible for them.

23           And it was unreasonable to assume that  
24 they would have the ability to have them  
25 certified prior to them being programmed in the

1 field. So there was an exception for those type  
2 of FDD technologies in the ones that are DDC  
3 based and not have to comply with the  
4 certification requirement. But that turned into  
5 a new acceptance test and this acceptance test is  
6 intended to go step by step through, and  
7 intentionally trigger false and verify that the  
8 algorithms that are programmed are able to detect  
9 the proper fault as they're outlined in 120.1(i).

10           There was some changes to the existing  
11 outdoor lighting controls acceptance test. The  
12 automatic scheduling control acceptance test was  
13 deleted as well as there as clarification to the  
14 procedures for the astronomical time switch  
15 control and part-night outdoor lighting control.

16           And these changes were to the  
17 construction inspection and that was just to  
18 verify that the controls programmed with and on  
19 schedule and an off schedule. And that it  
20 matches the construction documentation. If the  
21 schedule's unknown to verify that it is -- the  
22 controller's program schedule matches a default  
23 schedule, off from midnight to 6:00 a.m.

24           Additionally, the part-night control  
25 functional test was altered and it was

1 redeveloped to include the following: the  
2 functional test for part-night control used along  
3 with motion sensor control. And they had to  
4 verify that all controlled lighting is off during  
5 daytime to simulate motion in the area under the  
6 luminaire control to see if it would trigger the  
7 lighting. And during the simulation of normally  
8 occupied schedule, simulate no occupancy to  
9 verify that the light is controlled by the  
10 sensor.

11           This section, NA7.10.3.3 is new for  
12 adiabatic condensers along with the new  
13 requirements that we have in 120.6(a). This  
14 procedure only gets triggered for -- under that  
15 section -- only for refrigerator warehouses.  
16 There's no acceptance test for the supermarket  
17 systems. And the procedure along with the  
18 requirements of 120.6 is very similar to the air-  
19 cooled procedure.

20           And we got comments earlier from industry  
21 that probably isn't the best way to characterize  
22 the performance using the dry-only mode or the  
23 dry mode. So I anticipate we're going to get  
24 similar comments on this procedure, which may --  
25 so what's being proposed may need to be changed.

1 So what's current most likely will get amended.

2           Lastly, there's new procedures for the  
3 laboratory ventilation systems. There's a new  
4 acceptance test for whether you're using the wind  
5 speed control or the contaminant sensor control  
6 and depending on which one you use, there's a  
7 different test. But each one, each test includes  
8 a simulation. For the wind speed control you  
9 simulate no wind to see if the control drives the  
10 exhaust fan to change. And also for the  
11 contaminant sensor control you simulate a source  
12 of contaminant in the hood to see if it would  
13 drive the exhaust to kick on. And anybody that  
14 wants to see these procedures, these have been  
15 included in the draft language.

16           And that concludes my presentation for  
17 the changes to the Nonres Appendices and I'm  
18 opening it up now for questions.

19           MR. NESBITT: George Nesbitt, HERS Rater.

20           So there's one chapter that's actually  
21 joint appendices, which is the acceptance testing  
22 end of things. Although I think there's a couple  
23 of those tests that are actually have to be done  
24 the same as a HERS Rater. I guess now there is  
25 some possibility in some cases for some of the

1 duct tests and I think airflow and maybe  
2 refrigerant charge in some cases to be done by  
3 either/or.

4           So on the HERS side we have Title 20  
5 section whatever the heck it is, which puts out  
6 all the rules. And there's a technical manual,  
7 all the rules for the HERS providers, the raters,  
8 the registries and all of that.

9           So then we have what we call a  
10 residential appendices, which is all of the HERS  
11 measures. And then you have what you're calling  
12 the Nonres Appendices, which includes HERS now  
13 adding the 62.2 as well as the blower door test  
14 for the apartment unit and the leakage out of  
15 each unit.

16           And so you're duplicating language that's  
17 in the Residential Appendices in the Nonres  
18 Appendices. And a lot of the language that's in  
19 the Nonres Appendices is talking about HERS  
20 providers and raters and registries. That's all  
21 either part of the Residential Appendices or it  
22 really is all really part of Title 20.

23           So why we duplicate efforts in multiple  
24 places, I don't know. Because every time you  
25 duplicate you run the risk of having conflicting

1 information. It just seems that all the HERS  
2 measures and related information should be in one  
3 appendices. It's not a Residential Appendices,  
4 it should be an HA, a HERS Appendices.

5 And even within that it's one thing to  
6 give a summary of the HERS system and providers  
7 and raters and what they do. But not duplicate  
8 what's really a part of Title 20.

9 MR. ALATORRE: Thank you, George.

10 MR. BOZORGCHAMI: So, if there's any more  
11 comments on the -- so if there's no more comments  
12 I thank you all for participating today.

13 The formal comments for this workshop is  
14 due by October 20th and if you folks could get to  
15 it sooner, the better it is. We have -- oh,  
16 sorry, hold on one second. I forgot there's one  
17 slide on the Nonresidential ACM and I forgot it.

18 UNIDENTIFIED SPEAKER: It looks like it  
19 didn't get shuffled into the back slide deck, so  
20 I can --

21 MR. BOZORGCHAMI: Okay. We'll print it  
22 off tomorrow.

23 UNIDENTIFIED SPEAKER: Okay.

24 MR. BOZORGCHAMI: So we'll do it all  
25 tomorrow.




**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 16th day of October, 2017.

---

PETER PETTY  
CER\*\*D-493  
Notary Public


**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

1  
2  
3  
4  
5  
6  
7  
8  
9

IN WITNESS WHEREOF, I have hereunto set my hand this 16th day of October, 2017.

A handwritten signature in cursive script, appearing to read "Barbara Little", is written over a horizontal line.

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520