

## DOCKETED

<b>Docket Number:</b>	18-BUSMTG-01
<b>Project Title:</b>	2018 Business Meeting Transcripts
<b>TN #:</b>	222802
<b>Document Title:</b>	Transcript of 02212018 Business Meeting
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	3/1/2018 12:01:29 PM
<b>Docketed Date:</b>	3/1/2018



APPEARANCES

Commissioners

Robert Weisenmiller, Chair  
Karen Douglas  
Janea Scott  
David Hochschild  
Andrew McAllister

Staff Present: (\* Via WebEx)

Drew Bohan, Executive Director  
Kourtney Vaccaro, Chief Counsel  
Alana Mathews, Public Adviser  
Eunice Murimi, Public Adviser's Office  
Cody Goldthrite, Secretariat

Agenda Item

Chris Kavalec	3
Caryn Holmes	3
Heather Raitt	4
Malachi Weng-Gutierrez	6
Rachel Grant Kiley	7
David Michel	8
Barry McLeod	9
Christopher Jenks	10
Pilar Magana	11 - 13
Michael Sokol	14
Terra Weeks	16

Others Present (\* Via WebEx)

Interested Parties

Angela Islas, Disadvantaged Communities Advisory Group, DACAG	5
Dwight Zuck, Air Liquide Advanced Technologies US, LLC	10
*Atabak Youssefzadeh, Ontario CNG Station, Inc.	10
*Stephen Ellis, American Honda Motor Company	10
*Shane Stephens, FirstElement Fuel	10
*Joe Gagliano, California Fuel Cell Partnership	10
Brian Gannon, Biogas Energy	11

Public Comment(\* Via WebEx)

Catherine Hackney, Southern California Edison	3
Grant Mack, CPUC	3, 4, 5, 6,
Valerie Winn, PG&E	3, 6
Delphine Hou, CAISO	3, 6
Erica Jue, Silicon Valley Power, City of Santa Clara	3
Wm. Spencer Olinek, PG&E	4

I N D E X

	Page
Proceedings	9
Items	
1. CONSENT CALENDAR	9
a. INTERNATIONAL CODE COUNCIL	
b. THE GOVERNMENT OF DENMARK	
c. UNIVERSITY OF CALIFORNIA, LOS ANGELES	
d. UNIVERSITY OF CALIFORNIA, IRVINE	
e. GLINT PHOTONICS, INC.	
f. ALLIANCE TO SAVE ENERGY	
2. ENERGY COMMISSION COMMITTEE APPOINTMENTS	10
a. COMPLAINT AGAINST THE STOCKTON PORT DISTRICT FOR NONCOMPLIANCE WITH THE RENEWABLES PORTFOLIO STANDARD (18-RPS-01).	
3. CALIFORNIA ENERGY DEMAND 2018-2030, REVISED ELECTRICITY FORECAST	13
4. 2017 INTEGRATED ENERGY POLICY REPORT	45
5. APPROVAL OF DISADVANTAGED COMMUNITY ADVISORY GROUP (DACAG) MEMBERSHIP	62
6. PROPOSED ADOPTION OF ADDITIONS TO AND MODIFICATIONS OF TITLE 20 DATA COLLECTION REGULATIONS.	67

I N D E X (Cont.)

7.	EXECUTIVE DIRECTOR AUTHORITY TO APPROVE BUDGET REALLOCATIONS	81
8.	CITY OF BAKERSFIELD	84
9.	MERCED COMMUNITY COLLEGE DISTRICT	86
10.	LIGHT DUTY VEHICLE HYDROGEN REFUELING INFRASTRUCTURE OPERATIONS AND MAINTENANCE SUPPORT, GFO-17-601	89
	a. ONTARIO CNG STATION, INC.	
	b. AIR LIQUIDE ADVANCED TECHNOLOGIES U.S. LLC	
	c. FIRSTELEMENT FUEL, INC. Agreement ARV17-022	
	d. FIRSTELEMENT FUEL, INC. Agreement ARV17-023	
	e. FIRSTELEMENT FUEL, INC. Agreement ARV17-024	
	f. FIRSTELEMENT FUEL, INC. Agreement ARV17-025	
	g. FIRSTELEMENT FUEL, INC. Agreement ARV17-026	
	h. FIRSTELEMENT FUEL, INC. Agreement ARV17-027	
	i. FIRSTELEMENT FUEL, INC. Agreement ARV17-028	
	j. FIRSTELEMENT FUEL, INC. Agreement ARV17-029	
	k. FIRSTELEMENT FUEL, INC. Agreement ARV17-030	
	l. FIRSTELEMENT FUEL, INC. Agreement ARV17-031	
	m. FIRSTELEMENT FUEL, INC. Agreement ARV17-032	
	n. FIRSTELEMENT FUEL, INC. Agreement ARV17-033	
	o. FIRSTELEMENT FUEL, INC. Agreement ARV17-034	
	p. FIRSTELEMENT FUEL, INC. Agreement ARV17-035	

I N D E X (Cont.)

11.	BIOGAS ENERGY INC	96
12.	DOE-LAWRENCE BERKELEY NATIONAL LABORATORY	100
13.	WEST BIOFUELS, LLC	102
14.	DISCUSSION OF ENERGY COMMISSION PROGRESS RE: IMPLEMENTATION OF THE CLEAN ENERGY AND POLLUTION REDUCTION ACT OF 2015 (SB 350)	104
15.	Minutes	107
16.	Lead Commissioner or Presiding Member Reports	107
17.	Chief Counsel's Report	118
	a. <i>In the Matter of U.S. Department of Energy (High Level Waste Repository) (Atomic Safety Licensing Board, CAB-04, 63-001-HLW); State of California v. United States Department of Energy (9th Cir. Docket No. 09-71014)</i>	
	b. <i>Communities for a Better Environment and Center for Biological Diversity v. Energy Commission (Court of Appeal, First Appellate District, #A141299)</i>	
	c. <i>Energy Commission v. Electricore, Inc. and ZeroTruck (Sacramento County Superior Court #34-2016-00204586)</i>	
	d. <i>Helping Hand Tools and Robert Simpson v. Energy Commission (San Francisco Superior Court Case #CPF-17-515576)</i>	
	e. <i>National Electrical Manufacturers v. Energy Commission (Federal District Court, Eastern District of California, #2:17-cv-01625)</i>	

17. Chief Counsel's Report (Cont.) 118

- f. *Energy Commission v. United States Department of Energy* (Federal District Court, Northern District of California, #17-cv-03406)
- g. *City of Los Angeles, acting by and through, its Department of Water and Power v. Energy Commission* (Los Angeles Superior Court, Case No. BS171477)

Pursuant to Government Code section 11126(e), the Energy Commission may also discuss any judicial or administrative proceeding that was formally initiated after this agenda was published; or determine whether facts and circumstances exist that warrant the initiation of litigation, or that constitute a significant exposure to litigation against the Commission, which might include:

- a. Claims filed at, and rejected by, the Victim Compensation and Government Claims Board against a number of defendants including the Energy Commission relating to the gas leak at Aliso Canyon
- b. The U.S. Department of Energy's actions to delay effective dates and failures to complete certain energy conservation standards and test procedures for appliances.
- c. The licensing process for a nuclear waste storage repository at Yucca Mountain, Nevada.
- d. Alternative and Renewable Fuel and Vehicle Technology Program grant ARV-10-016 with the City of San Jose, including its subcontractor JUM Global, and the lawsuit between the two (5:16-cv-01462-HRL, United States District Court, Northern District of California [San Jose]).

I N D E X (Cont.)

18. Executive Director's Report	118
19. Public Adviser's Report	119
20. Public Comment	22, 55
Closed Session	120
Adjournment	120
Reporter's Certificate	121
Transcriber's Certificate	122

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

FEBRUARY 21, 2018 9:05 a.m.

CHAIRMAN WEISENMILLER: Good morning. Let's start the Business Meeting with the Pledge of Allegiance.

(Whereupon, the Pledge of Allegiance was recited in unison.)

CHAIRMAN WEISENMILLER: Let's start out with a minute of silence for the poor kids in Florida.

(Whereupon, a moment of silence was observed.)

CHAIRMAN WEISENMILLER: Okay. So we've got a busy schedule today. And I think most of -- at this stage we're going to walk through the items on the agenda. Let's start with that Consent.

COMMISSIONER DOUGLAS: I move consent.

COMMISSIONER MCALLISTER: I'll second.

CHAIRMAN WEISENMILLER: Andrew, (indiscernible)

COMMISSIONER MCALLISTER: Oh, yes.

MS. VACCARO: Actually, also --

COMMISSIONER MCALLISTER: Yeah, so I have to -- I've got it. I'm going to recuse myself from item 1f, the Alliance to Save Energy. I'm actually on the Board of that entity and this is the annual membership, but I'm going to recuse from that.

CHAIRMAN WEISENMILLER: And so we're going to

1 split the Consent into --

2 COMMISSIONER MCALLISTER: So I'll move --

3 CHAIRMAN WEISENMILLER: -- first everything but f  
4 and then we'll do f.

5 COMMISSIONER MCALLISTER: Yes, so I'll move 1a  
6 through e.

7 COMMISSIONER DOUGLAS: Second.

8 CHAIRMAN WEISENMILLER: All those in favor?

9 (Ayes.)

10 CHAIRMAN WEISENMILLER: Excuse me, any comment on  
11 that item?

12 (No audible response.)

13 Any comment on 1f?

14 (No audible response.)

15 CHAIRMAN WEISENMILLER: Okay, so let's wait for  
16 Commissioner McAllister.

17 COMMISSIONER DOUGLAS: All right. I move Item  
18 1f.

19 COMMISSIONER SCOTT: Second.

20 CHAIRMAN WEISENMILLER: All those in favor?

21 (Ayes.)

22 CHAIRMAN WEISENMILLER: So 1f also is approved 4-  
23 0. The rest of it is 5-0.

24 So let's go to Item 2, Energy Commission  
25 Committee appointees.

1 MS. VACCARO: Good morning Chair Weisenmiller,  
2 Commissioners. I'm Kourtney Vaccaro, with the Chief  
3 Counsel's Office. And Agenda Item 2 presents for your  
4 consideration the possible appointment of a two  
5 Commissioner committee to preside over a proceeding  
6 involving California's Renewables Portfolio Standard, also  
7 known as the RPS.

8 So more specifically, on or about January 9th,  
9 2018, the Energy Commission's Executive Director served on  
10 the Stockton Port District, a complaint alleging non-  
11 compliance with the RPS for what's deemed Compliance Period  
12 1 January 1st, 2011 through December 31st, 2013.

13 So just in very broad brush strokes the complaint  
14 alleges that the Port District was required to, but did not  
15 procure electricity products from eligible renewable energy  
16 resources sufficient to meet or exceed an average of 20  
17 percent of its retail sales. The complaint further alleges  
18 that the Port District did not meet mandated portfolio  
19 balance requirements. And finally, the complaint alleges  
20 that the Port District did not adopt and apply optional  
21 compliance measures that would excuse its procurement  
22 deficits.

23 So because of all of this the Port District is  
24 entitled to a hearing either before the full Commission,  
25 before a designated committee or before a hearing officer.

1 I believe in my role as Chief Counsel that this matter is  
2 definitely one of first impression and it is an important  
3 matter that warrants the attention of a designated  
4 committee presiding together with a hearing officer.

5 The only matter before you to consider and act on  
6 though, would be the designation of a committee. And  
7 pursuant to our regulations and our custom and practice,  
8 the Chair would subsequently, outside of the Business  
9 Meeting, make the appointment of the hearing officer.

10 With that, I'm happy to answer any questions you  
11 might have.

12 And I'm not sure, I think possibly someone from  
13 the Port District might be here, but I don't know that for  
14 sure. So you might want inquire.

15 CHAIRMAN WEISENMILLER: Okay.

16 Is anyone from the Port District here or on the  
17 line who wants to make a comment?

18 (No audible response.)

19 CHAIRMAN WEISENMILLER: Apparently not, so let's  
20 move forward for a committee. I will select Commissioner  
21 Douglas to be the Lead and Commissioner Hochschild to be  
22 the second member on that committee.

23 COMMISSIONER HOCHSCHILD: So moved

24 COMMISSIONER SCOTT: Second.

25 CHAIRMAN WEISENMILLER: All those in favor?

1 (Ayes.)

2 CHAIRMAN WEISENMILLER: This item passes 5-0.

3 Let's go on to Item 3, which is the California  
4 Energy Demand 2018 to 2030 Revised Electricity Forecast,  
5 Chris?

6 MR. KAVALEC: Good morning. I am Chris Kavalec,  
7 from the Energy Assessments Division. And I'm here to  
8 propose adoption of the California Energy Demand 2018 to  
9 2030 Revised Electricity and Natural Gas Demand Forecast,  
10 or CED 2107 for short. I want to give a brief slide  
11 presentation and talk about how the forecast is used, the  
12 process we went through, changes we've made since the last  
13 forecast, a summary of the forecast and the next steps.

14 Uses of the forecast listed here, what we used to  
15 call the long-term procurement process is sort of enveloped  
16 by, and expanded upon, by integrated resource planning and  
17 distributed resource planning.

18 We started this process way back in October of  
19 2016 with our Forms and Instructions Workshop where we  
20 request certain data and other information from the  
21 utilities. And since then we've had six IEPR workshops,  
22 including those dedicated to transportation.

23 Our Demand Analysis Working Group meetings,  
24 meeting on technical issues, guidance from the Joint Agency  
25 Steering Committee, our process alignments for all these

1 important processes, integrated resource planning and  
2 distributed resource planning, transmission planning.  
3 We're continuing to work to try and get all these process  
4 aligned, so we don't have any holdups and products are  
5 ready to be transferred from one process to another in a  
6 timely fashion and other more informal stakeholder  
7 discussions.

8           As always, we try to incorporate all the  
9 important policy initiatives within our forecast, including  
10 the building codes and appliance standards from the Energy  
11 Commission, efficiency programs, other initiatives. And I  
12 should add to that SB 350, which was a big topic this year.  
13 Incentive programs for distributed generation, demand  
14 response incentives for zero emission vehicles. And also  
15 electrification that we're seeing in the ports, in the  
16 airports and high speed rail and so on, are integrated into  
17 our forecast.

18           Probably the biggest change or improvement we've  
19 made since the 2016 forecast, our forecast update of 2016  
20 or CEDU 2016, is a model to forecast hourly loads for the  
21 three IOU transmission access charge areas. So with this  
22 model, we're not only producing projections of hourly  
23 consumption load, but we're adjusting those by various  
24 demand modifiers including PV, electric vehicle  
25 consumption, residential time of use pricing and additional

1 achievable energy efficiency at the hourly level.

2           With this model we can look at things like the  
3 peak shift, in other words the utility peak demand shifting  
4 to a later hour, because of photovoltaics and other demand  
5 modifiers. As well as the ramp-up period, since we have a  
6 -- we're projecting not just annual totals but actual  
7 daily, hourly loads.

8           In the past, we have put together AAEE estimates  
9 for the IOUs and maybe a couple of the POUs. This time we  
10 added to that another 36 POUs for a total of 38 POUs to go  
11 along with the investor owned utilities.

12           We did an analysis of efficiency initiatives  
13 beyond our traditional AAEE in support of SB 350 targets.  
14 And that was brought to us by our Efficiency Division. And  
15 this included programs such as PACE, Proposition 39, local  
16 government challenge, the greenhouse gas reduction fund and  
17 so on.

18           An analysis was done for all of these  
19 initiatives. And we, in the Energy Assessments Division,  
20 sat down and decided how many of these savings would be  
21 reasonable to include in the forecast. We were pretty  
22 conservative in terms of how much of these savings are  
23 included, because of the uncertainties involved and the  
24 conditionality of a lot of these programs.

25           We also have another new element, additional

1 achievable PV, brought to us through the 2019 Title 24  
2 Building Standards, which are going to require a certain  
3 percentage of new homes to be equipped with PV. That part  
4 does not fit in our baseline or committed forecast,  
5 therefore we're calling it additional achievable PV.

6 We spent a lot of time on the electric vehicle  
7 forecast. And we had a DOG subgroup dedicated to that  
8 purpose. And there's a lot of action in the community  
9 choice aggregator world, that is incorporated into our  
10 forecast.

11 I'm sorry, I skipped ahead. Next please.

12 UNIDENTIFIED SPEAKER: This one?

13 MR. KAVALEC: A quick summary of our forecast.

14 First, I'm showing baseline electricity consumption. And  
15 by baseline that means a forecast that includes only  
16 committed efficiency. Additional, achievable efficiency is  
17 a separate piece. When you put the baseline together with  
18 the additional achievable, you get a managed forecast.

19 What I'm showing here are the baseline forecasts,  
20 first for electricity consumption. We do three scenarios:  
21 a high, mid and a low, shown in green, dark blue and purple  
22 there.

23 And also shown is the mid case from CEDU 2016.  
24 And you will notice I'm comparing the two mid cases in dark  
25 blue and in red. We have faster growth in our mid case.

16

1 And that comes about because of a higher EV forecast,  
2 versus the last time. A more bullish industrial forecast  
3 from our econ demo experts, which means a higher industrial  
4 forecast.

5 And we made an accounting change for efficiency,  
6 so that some of the efficiency savings were moved from the  
7 baseline to the AAEE portion, meaning faster consumption  
8 growth in the baseline case. Next.

9 Looking at electricity peak demand, non-  
10 coincident meaning it's the simple sum of all the  
11 individual planning areas, which may peak at different  
12 times. Again, the three baseline cases and in red, the  
13 2016 forecast. And because of higher consumption and  
14 because we accounted for the peak shift, we have faster  
15 growth in peak demand in the mid case versus the 2016  
16 forecast.

17 And this slide shows you the impact of the peak  
18 shift in the mid demand case. So in other words, had we  
19 not accounted for the peak shift with our hourly load  
20 forecasting model, our peak forecast would be the light  
21 blue. Incorporating in the peak shift pushes us up to the  
22 dark blue, so that means an increase by the end of the  
23 forecast period by 2030 of around 3,000 megawatts, because  
24 of the peak shift. Next.

25 Electricity sales, we start out lower comparing

1 again the dark blue and the red versus 2016, because of a  
2 higher forecast for PV mainly. But because of a higher  
3 consumption growth brought to us by electric vehicles and  
4 the other factors I mentioned, growth in the new mid case  
5 catches up to the old mid case by around 2024 and goes  
6 above it after that. Okay, so those were the baseline  
7 forecasts.

8           Now to move to what we call a managed forecast we  
9 have to incorporate additional achievable energy efficiency  
10 and additional achievable PV. These are defined, as I  
11 mentioned before, incremental to committed savings that are  
12 already in the baseline forecast as well as PV. AAEE was  
13 developed using -- through the 2017 potential study from  
14 the CPUC, POU efficiency goal, and as I mentioned earlier  
15 SB 350 analysis. We developed a total of six scenarios for  
16 AAEE. And four for additional achievable PV. And the  
17 result of all this are what we call managed or adjusted  
18 forecasts for planning purposes.

19           Here is a list of the scenarios, six, for AAEE.  
20 In addition to the five that we typically have done in the  
21 past, we also developed a more optimistic what we call mid  
22 high plus scenario. So if everything goes well and you  
23 make optimistic assumptions about efficiency impacts and  
24 what programs will be funded and so on, you get our  
25 Scenario 6. And we have AAPV, the four scenarios matching

1 with AAEE Scenarios 1, 2, 3 and 5.

2 Now, this graph shows the result in terms of  
3 gigawatt hours of savings of all these different AAEE  
4 scenarios. The low high and the mid high case here are  
5 almost identical. Therefore, it looks like you can see  
6 what looks like only five lines, but there are six. So our  
7 most optimistic case, the mid high plus, gets us about  
8 50,000 gigawatt hours by the end of the forecast period.  
9 And in our mid-mid case, we're reaching almost 40,000  
10 gigawatt hours. Next.

11 Additional capacity brought to us through 2019  
12 Title 24, or AAPV, around 2,200 megawatts of additional  
13 capacity by the end of the forecast period in the mid case.

14 Now, here what I'm comparing is our most  
15 optimistic scenario for AAEE, to the doubling goals for  
16 electricity that we developed around last year. So in the  
17 dark blue what that shows is committed savings starting in  
18 2015, since that's the benchmark year for SB 350. And  
19 added to those are our most optimistic mid high plus case.  
20 And you see we still have a gap by the end of -- by 2029  
21 between the doubling goal and our optimistic efficiency  
22 case. So we still have a little ways to go, but  
23 this is the first round. And we will be continuing to look  
24 at and analyze and measure additional efficiency incentives  
25 or initiatives that will get us closer to that doubling

1 goal.

2           So our last step, next, is to develop a single  
3 forecast set to be used by CAISO and the IOUs for resource  
4 planning. And the leadership of the three agencies got  
5 together and agreed on this single forecast set. And it  
6 consists, number one, of the baseline mid case, combined  
7 with mid AAEE and AAPV. And this is for system and  
8 flexibility planning. And then a more conservative  
9 forecast, consisting of the mid baseline case and low AAEE  
10 and AAPV for more localized planning. So that is the  
11 recommendation for the planning forecast for resource  
12 purposes.

13           Here you see the single forecast set for sales.  
14 This is for the CAISO service territory. Going from an  
15 upward sloping forecast to declining forecasts for both the  
16 mid low and the mid-mid. And this shows peak going from an  
17 upward sloping forecast to basically flat forecasts. Not  
18 declining as in the case of sales, because it's pushed up a  
19 little bit by the peak shift impact.

20           Moving forward, next steps, the actual next step  
21 will be a little vacation for me, but after that we will  
22 develop forecast update later this year. And I wanted to  
23 mention one issue while I'm on this topic, that came up  
24 recently and has come up in the past. In our forecast we  
25 developed disaggregated forecasts for the individual load

1 serving entities that we post in our 1.1c and 1.5 forms.  
2 So this is a disaggregation of our planning area forecasts.

3           And we had a utility, Silicon Valley, request  
4 that we revisit their forecast, because they are expecting  
5 some large customers moving in, in the form of data  
6 centers. And this happened pretty late in the process, so  
7 we were unable to address this and we will look at it for  
8 our forecast update later in the year. But I wanted to  
9 make a more general point about this. And that is that I  
10 want to urge on the record, because issues like this will  
11 continue to pop up. I want to urge the smaller utilities  
12 to join us in the IEPR process as early as possible, so  
13 that we can address these issues.

14           And I've also suggested to our management that we  
15 develop a sort of informal outreach. The smaller  
16 utilities, maybe through our data collection process, so  
17 that we can keep on top of these issues.

18           Okay, forecast update. Traditionally, what we're  
19 doing is updating our econ-demo and historical data. This  
20 year, we're adding to that a new PV and electric vehicle  
21 forecast, as well as another look at the dynamic world of  
22 CCAs.

23           Moving to the 2019 IEPR, we're continuing to work  
24 on our hourly load models covering more geographies as well  
25 as more disaggregated geographies assuming the data comes

1 in to support that effort. As I mentioned earlier,  
2 refining and updating our SB 350 and AB 802 analyses going  
3 on in our division. We have commercial and residential  
4 surveys going out in the field. And I should also mention  
5 our load shape contract that we'll be finishing up this  
6 year, providing us a lot of valuable information.

7           Models updates, revisions and improvements  
8 starting this time our residential model, which is badly in  
9 need of revamping and we're working on that now. We're  
10 always pushing for further geographic disaggregation in our  
11 forecast, assuming we have again the data to support that.  
12 Other miscellaneous issues that arise.

13           And with that, I will ask the Commissioners for  
14 comments or questions.

15           CHAIRMAN WEISENMILLER: Thanks, Chris.

16           Let's first take public comment. And we may have  
17 more questions for you as we go along, but let's at least  
18 get a complete record here. So let's start with Catherine  
19 Hackney.

20           MS. HACKNEY: Good morning, Chair Weisenmiller,  
21 Commissioners. Catherine Hackney, Southern California  
22 Edison. Thank you very much for the opportunity to provide  
23 comments today.

24           Three brief areas to comment on. The first is  
25 thank you, the second an observation and the third, a

1 memory.

2           But first and foremost a thank you to the  
3 Commission, to Chris and his team. As Chris noted just a  
4 moment ago the forecast provides the foundation for all  
5 planning, procurement and infrastructure investment in the  
6 state. It really helps shape and inform our energy future  
7 and does so in a way that it is current and agile and  
8 robust. And certainly what you have before you today  
9 represents all of those things and then some.

10           We've described the demand forecast process in  
11 the past as an art and a science. And it is becoming more  
12 so of both of those things as we go by. And as you note  
13 today in looking at the EV forecast, it is far more robust  
14 than it would have been a year or two ago. It will become  
15 even more robust with the Governor's new directive to raise  
16 the target to five million; inching closer to 7.

17 (Laughter.)

18           The CCA forecast again is far more robust than in  
19 the past. And I appreciate that Chris notes that we'll be  
20 taking a fresh look again later this year to see how it  
21 continues to change, so thank you so much for those really  
22 significant improvements. Clearly the hourly forecast has  
23 made a huge difference and will continue to do so.

24           The one observation we have with a little bit of  
25 a disconnect, would be the apparent anomaly in the peak

1 shift forecast. PG&E's is about 2,000 megawatts and  
2 Edison's is just 600. Our own analysis suggests that it's  
3 closer to PG&E's. We've had an early discussion with Chris  
4 and the team and look forward to ongoing conversations on  
5 that.

6           The memory I'd like to share with you dates back  
7 to 1987, when the newly elected Vice President of Strategic  
8 Planning, Jackie Pfannenstiel, former Energy Commissioner,  
9 led a discussion on the future of the utility industry.  
10 And believe it or not at that time folks were getting  
11 really nervous at how quickly things were changing. Jackie  
12 was asked, "If you were to paint a portrait of the future  
13 of the utility industry, what might it look like?" Her  
14 response was as follows, "If I were to paint a portrait it  
15 would capture but a moment in time. I would instead impose  
16 a musical score." Can you feel the drums, the roar?

17           What's so beautiful about that is her insight and  
18 inspiration is as relevant today as it was 30 years ago.  
19 And in the spirit of collaboration, what we've done is  
20 taken a portrait of what the future might be, which is  
21 taken from the Edison recent Clean Energy and  
22 Electrification pathways. And we put that on top of a  
23 blank -- sort of core music. And this for Chris and his  
24 team to continue to provide insight and inspiration as we  
25 move forward. So thank you very much.

1 CHAIRMAN WEISENMILLER: Okay, thank you. Thank  
2 you, again.

3 Yeah, please. Grant Mack, please come on up.

4 MR. MACK: Good morning Chairman and  
5 Commissioners, Grant Mack with the California Public  
6 Utilities Commission. I, like Southern California Edison,  
7 would like to commend the Energy Commission on the revised  
8 electricity demand forecast, which undertook several areas  
9 of new and exciting additional analysis. The Public  
10 Utilities Commission, as you know, appreciates a  
11 collaboration with the Energy Commission. And we stand  
12 ready to help ensure that the timing of future electricity  
13 demand forecasts aligns with our new and recently adopted  
14 integrated resource planning process. Great job and thank  
15 you again.

16 CHAIRMAN WEISENMILLER: Okay. Thank you.

17 Let's go to Valerie Winn.

18 MS. WINN: Good morning, Chair Weisenmiller and  
19 Commissioners. Valerie Winn, with Pacific Gas and Electric  
20 Company. And like my colleagues, Catherine and Grant, I  
21 wanted to also add my thanks to the Energy Commission staff  
22 and to really congratulate them on getting this forecast  
23 done.

24 I would note that as has been noted, that we're  
25 in a very dynamic industry today and some of the challenges

25

1 that we've had over the last month in looking at the  
2 forecast and working on collaboratively with the Commission  
3 staff is in the area of community choice aggregation. And  
4 I think what we're finding is that that's such a dynamic  
5 business model shift in the California energy market that  
6 continuing to partner with the CEC staff on how to forecast  
7 that in a manner that captures that dynamic model, will be  
8 very important for us going forward.

9 Over the course of the last month, we've had  
10 numerous conversations with Chris and his team. And we do  
11 really want to thank them for their attention to some  
12 concerns we had on the CCA modeling and their ability to  
13 incorporate some updates there that led us to a position of  
14 being able to support adoption of the forecast today.

15 So we look forward to continuing to work with the  
16 team in 2018 to refine the methodologies. And I'm sure  
17 there will be something else that comes along that is  
18 equally dynamic. EV is certainly one important area.  
19 Energy efficiency, well that could be another one. So  
20 we'll keep working together and thank you. And we support  
21 adoption of this forecast.

22 CHAIRMAN WEISENMILLER: Thank you.

23 Delphine?

24 MS. HOU: Good morning Chair and Commissioners,  
25 this is Delphine from the California ISO. We also want to

26

1 express our gratitude and thanks to not only the Commission  
2 but also CEC staff. Chris, you've earned this vacation.  
3 (Laughter.) But certainly also it's been a great  
4 collaborative effort from there's so much in this forecast.  
5 And the bottom line for California ISO is that having the  
6 8760 granularity really allows us to see important changes  
7 on a system such as the peak shift, so that we're able to  
8 see where the system needs ramping capability, where we  
9 need flexibility. And also the impact of state policy,  
10 such as time of use rates and how that impacts not only  
11 residential, but also EV adoption. This is very clear and  
12 explicit in the forecast.

13 CAISO is thrilled with the improvements. And we  
14 understand it's been a huge lift, so we really want to  
15 thank staff. Chris, Siva also working through all the  
16 electric vehicle changes, Sylvia's leadership on this, and  
17 also definitely our coordination with the PUC. So overall  
18 this is a huge improvement for CAISO to be able to have our  
19 reliability analysis for the local areas and really see  
20 that reliability flow all the way through from forecasting  
21 through operational space.

22 So we appreciate and thank you very much.

23 CHAIRMAN WEISENMILLER: Okay. Thank you.

24 Any other comments? Anyone on the phone?

25 (No audible response.)

1           Okay. So let's transition to the Commissioners,  
2 so in context after our vote I'll talk more about the sort  
3 of thank you part of this.

4           But I think you've heard that we've just done an  
5 awful lot on upgrading the forecast this year. And it  
6 really shows in an enhanced geographical desegregation and  
7 enhanced time of use, going to hourly. We've really,  
8 really upgraded what we're doing on the transportation  
9 sector. We've upgraded what we're doing on the  
10 photovoltaics and certainly have undertaken the doubling of  
11 energy efficiency work. And on all those, we've taken  
12 significant steps. Whereas as Chris indicated, we're not  
13 totally there-there on all these pieces, but again it's  
14 been a really massive effort.

15           We did have one glitch. The PUC, unfortunately  
16 decided to try to move the schedule up without talking to  
17 us. And one could have easily forecast that was not going  
18 to work. Now, which resulted in Chris and crew working  
19 throughout the holidays to get this thing done. So again,  
20 a lot hats off to them. I think the basic message to the  
21 PUC is we do need to enhance better our coordination, but  
22 part of it is the expectations part or communications part  
23 on their side, as we go forward. But again, I think we're  
24 going to get there.

25           But again I think we're going to get there. But

1 again, it's just remarkable that we've seen this really  
2 explosive growth in photovoltaics and energy efficiency,  
3 which are decreasing load at the same time we're really  
4 trying to grow the electric vehicle market, which is at the  
5 same time increasing load. And you're all the combinations  
6 thereof and the questions of the timing. So it requires a  
7 lot of analysis.

8           As I've have indicated I think roof-top  
9 photovoltaic, transportation part, electrification and CCAs  
10 are so dynamic, we at some point just decided we were not  
11 going to try to really forecast over the longer term. But  
12 just simply update it annually for the next few years until  
13 things get better baked out than they are now. And so I  
14 think that was a key part of also moving forward, but again  
15 it indicates to a dynamism. And obviously the forecast is  
16 important. You've read how it really drives a lot of our  
17 infrastructure and a lot of the resource adequacy planning.

18           So we do a lot of things in the IEPR, but this is  
19 one which really is a bedrock for the state.

20           COMMISSIONER MCALLISTER: I want to commend Chris  
21 and your team as well for taking on this massive lift. And  
22 actually from my perspective, so it's hard sometimes to  
23 take the appropriately long view of where the forecast is  
24 going to go, because we tend to sort of go two-year cycles  
25 and even year-to-year often. And sort of focus on the

1 incremental improvements. But the sort of ebb and flow or  
2 the big cycles of the forecast are really longer than any  
3 one Commissioner term, I would say. And so you really have  
4 to take sort of a decadal view of this. And I see us as  
5 being in the middle of a tectonic shift in the forecast.

6           And the need for that is certainly many of the  
7 things that you've described in your intro, Chris, which is  
8 getting more local, getting temporal. You know, really  
9 being able to dig into these various elements of the  
10 forecast. And in my own case, energy efficiency demand  
11 side stuff is arguably maybe the most challenging to get a  
12 handle on. And certainly, we have two divisions with  
13 different roles and so we have to sort of have that powwow  
14 periodically, to figure out okay well what do we think we  
15 can aim for? And then what do we think will really turn up  
16 in the forecast, in terms of energy and capacity impacts of  
17 efficiency savings?

18           So going into -- so I certainly do not want to  
19 take away from the massive effort this year. And certainly  
20 I think it's equal, in 2019 we'll have an equal or even  
21 greater sort of incremental lift. And it sort of  
22 underscores the need for this year, 2018, an update to kind  
23 of take advantage of the lull in the fact we're not doing a  
24 full on forecast, to work on the methodology for 2019 and  
25 really define that. And so I know we've got some contracts

1 going on and staff is working on that, so that work is  
2 really, really critical in my view.

3           Also, electrification is not just coming in the  
4 transportation sector. It's actually coming in the  
5 buildings as well. And I think there's a pretty broad band  
6 of uncertainty there. And so we need to get a handle on  
7 that as well. What are the electrification, the electric  
8 technologies that are going to take over from natural gas  
9 at the end use? Where and on what timeline? I think we  
10 really have to dig into that.

11           And then I also wanted to point out -- I've got a  
12 little bit of grab bag of comments I think that are  
13 important to kind of get on the record at this juncture.

14           The AAEE, you all will have noticed the gap  
15 between what essentially the Assessments Division, the  
16 forecasting team thinks is likely to turn up and what the  
17 doubling actually means. And so I'd encourage everyone to  
18 look at the doubling white paper that the Commission has  
19 developed for SB 350 doubling goal.

20           But I think it's important to point out that the  
21 horizon for the forecast, for the programs that are  
22 captured by the forecast, is shorter than the 2030 goal.  
23 And there are programs beyond that horizon that I think  
24 can't yet be considered. And so as we move forward, it's  
25 very likely that new opportunities, a new harvesting of

1 savings will appear, so that that gap on the natural will  
2 be closed.

3 Now, that's not a foregone conclusion. We have  
4 to absolutely do programs and those programs have to be  
5 effective. We have to work with the PUC and all of our  
6 counterparts to make sure that those programs are well  
7 conceived and impactful. And the utilities as well,  
8 whoever's implementing those whether it's third parties or  
9 utilities.

10 So from my perspective, there's a programmatic  
11 effort that is where the rubber hits the road. And it's a  
12 diverse set of stakeholders working towards the doubling  
13 goal. That really isn't captured in its entirety by any  
14 one year's forecast and so I think it's important to point  
15 that out. You know, we haven't accepted that we're not  
16 going to get there. In fact, I think it's likely that we  
17 will, but it's going to take a concerted effort and even  
18 some resources from the Legislature probably, or from the  
19 budgeting process.

20 Let's see, I guess I also wanted to comment on  
21 the Building Code role in this. Our role in the Building  
22 Code is to -- it's essentially sort of conceived as a  
23 conservation effort. So we're really focusing on not just  
24 reducing the net consumption over the course of a year, but  
25 this temporal aspect is really important. And so if you

1 think of PV requirements on the code, which are coming up  
2 in the cycle in 2019, we're trying to create pathways to  
3 emphasize self-consumption. To mitigate some of the  
4 impacts on the distribution grid.

5           And so between that and between efficiency and  
6 demand response -- and I want to improve and enhance even  
7 our relationship with the ISO on this. Where we meet so  
8 that the goal of the demand response and efficiency  
9 efforts, which increasingly are similar, they're sort of  
10 overlapping, is really to provide the ISO and the PUC but  
11 at a system level the confidence that demand side resources  
12 can be quantified. And can be made to be equivalent to  
13 traditional resources, to all the different versions of  
14 supply.

15           So I think that's something that's going to  
16 impact the forecast. It's going to impact what appears on  
17 the grid, in front of the meter. And so I think this  
18 declining load is what we're seeing in a system, but it's  
19 really critical to make that operational at the building  
20 level. And so, I wanted to just sort of link this to the  
21 Building Code, because that's definitely a topic. As we  
22 decarbonize, as we electrify and decarbonize the overall  
23 energy system, the buildings are really a key part of that.  
24 So and it's all intimately linked with the forecast.

25           I guess I'll leave it there. I mean, I think

1 this is an opportunity for us to kind of talk long term,  
2 because we often don't get a chance to do that. And so  
3 there is a vision here that is more than ten years out that  
4 we have levers here at the Commission. We have  
5 stakeholders that we work with on the forecast, on the  
6 programs, on codes and standards. All of those efforts.  
7 And they really have to be coordinated in a way that maybe  
8 isn't obvious to anybody, but really seasoned observers of  
9 this, like maybe some of you in the room.

10 But there is a plan. And I think we have a lot  
11 of excitement about the evolution that we're seeing. I  
12 think the move towards granularity of analysis is really  
13 positive and could -- I think it underscores the importance  
14 of updating and continuing to update our data regs. Not  
15 this item obviously, but we're going to talk about that  
16 soon in this meeting. Getting better data to the  
17 forecasting team, to the Efficiency Division. Baking that  
18 data such that we can help markets function. All of those  
19 things are intimately related to where we go, where the  
20 forecast ends up in each cycle.

21 So anyway, we're in -- Catherine's long-term view  
22 from 1987, you know, we were still back in the analog world  
23 back then, right? And now we're in the digital world. And  
24 that really changes a lot. And I won't say it changes  
25 everything, but it's hard not to say that, because it

1 changes a lot. So it gives us tools. It increases  
2 complexity, but it gives us some really powerful tools.

3 So anyway, I want to just congratulate the team  
4 for where we are. And this portrait that we've got I think  
5 is a really compelling one. But also, I'm thinking about  
6 where things are moving to the future and keeping the  
7 context as we do what are going to be multiple heavy lifts,  
8 moving forward in 2019 and beyond to get to the goals of SB  
9 350.

10 So thanks, anyway. Sorry for the long monologue  
11 here, but I think this is among the most important things  
12 that the Commission does. And it's not as accessible as  
13 many of the other things we do, right? It's not giving  
14 away money. It's not running a program. But it is  
15 fundamental. It's our life blood. And it's the state's  
16 fundamental bedrock information. And so I think it's  
17 really important that we get it right. I know the Chair  
18 and all my colleagues here know that. But I'm sort of  
19 really excited to keep working with staff, with all of our  
20 sleeves rolled up, to keep it moving forward in the  
21 direction that it needs to.

22 So thanks to the Chair for your leadership on  
23 this. And I'm very excited to support the adoption.

24 COMMISSIONER SCOTT: I wanted to add as well just  
25 my thanks to the team for a really robust and thoughtful

1 forecast. It's not easy to put something like this  
2 together when you have so many complex and moving pieces,  
3 all going at the same time. So I appreciate the addition  
4 of the additional achievable PV and the work that we've  
5 done on the electric vehicles as well. And so Chris, thank  
6 you so much to your team.

7 I also just wanted to do a quick special shout  
8 out to Siva and his team for the excellent work that they  
9 did in pulling together the electric vehicle forecast. We  
10 worked with the Demand Analysis Working Group and pulled in  
11 our colleagues from the investor owned utilities, I think  
12 the publicly owned utilities, our colleagues at the PUC and  
13 the ISO and others to really put together a robust forecast  
14 for electric vehicles.

15 And I think that's something new. I think the  
16 electric vehicle teams that many of the utilities and  
17 others are not used to engaging in the IEPR in the same way  
18 that sort of the rest of the demand side teams are. So I  
19 really appreciate folks taking the time to be part of that.  
20 We look forward to updating that again next year and then  
21 continuing that good and robust work into the future.

22 But I just wanted to do a special shout out to  
23 that, because I know our utilities and Siva and team put  
24 special effort into making sure we have a nice robust  
25 electric vehicle forecast. So that you for that. And

1 thank you Chris and your team for your great forecast.

2 So I will move approval of Item 3.

3 COMMISSIONER HOCHSCHILD: Our hopes are --

4 COMMISSIONER SCOTT: Oh, sorry.

5 COMMISSIONER HOCHSCHILD: Yeah, yeah.

6 First of all, I just want to say I've been  
7 inspired by my friend and colleague, Commissioner  
8 McAllister, who's redoing his house now and making it  
9 super-efficient and kind of laying down the challenge. So  
10 I have a big electric heat pump hot water heater sitting in  
11 my garage I just ordered and going to be installing. And  
12 have been inspired by my colleague, Commissioner Scott as  
13 well, because I've been driving this electric car because  
14 of her. So I'm doing my part to raise our collective seat  
15 demand.

16 I did have a question, Chris. And by the way, I  
17 really want to thank you for your diligence over the years.  
18 I really appreciated your hard work and always adding more  
19 light than heat to these complex discussions. And Mr.  
20 Chairman, as well, for overseeing this and the  
21 collaborative nature in which it's happened I've really  
22 appreciate it.

23 I did have a question just on the EV portion of  
24 this, because with the new 5 million ZEV goal that the  
25 Governor set for the state, if we keep the current ratio --

1 so we're at about 370,000 EVs today in California and about  
2 2,000 fuel cells. If you project that ratio forward when  
3 you get to 5 million it's an 8 percent increase in load  
4 growth, right? However, the only two auto manufacturers  
5 that have a vehicle on the market today that's under  
6 \$40,000 and gets over 200 miles in range are Tesla and GM.  
7 And both of those hit their \$7,500 tax credit cap this  
8 year.

9           So those federal tax credits expire, right? And  
10 I'm just curious when you're looking at the EV market  
11 projections and taking that into effect, how do you account  
12 for that, and what do you see? Can you say a little bit  
13 more on your thinking about the EV portions, because it  
14 does seem to be a pretty significant factor.

15           MR. KAVALEC: Well I want to say first that I  
16 bought an electric lawn mower. (Laughter.)

17           COMMISSIONER HOCHSCHILD: Damn, that's my next  
18 purchase.

19           MR. KAVALEC: Well, thinking back to how the  
20 forecast is done, Siva may have more details he can add,  
21 but the way the forecast was put together the assumptions  
22 that went in were that battery costs were going to fall  
23 pretty sharply, over the forecast period. I don't know the  
24 percentage.

25           And there's also a parameter in there that

1 measures tastes. And so the idea, the assumption behind  
2 that was that in the next few years gasoline vehicles,  
3 aside from the obvious vehicle characteristics that differ,  
4 are going to be considered the same as a gasoline vehicle.  
5 There won't be any caution, because it's a new technology,  
6 so it'll fit in with the --

7           But as you mentioned, how do we get there from  
8 here where electric vehicles really go mainstream? And I  
9 guess that's a long discussion we could have for another  
10 time.

11           CHAIRMAN WEISENMILLER: Yeah. And the way I  
12 would summarize it is the Governor's Executive Order came  
13 after the work on this was really done. So I mean no one  
14 should have any delusions that somehow, after midnight  
15 Chris then flipped gears to try to build in the new  
16 Executive Order. And at some point, you do one of these  
17 forecasts you have to move forward. I'm going to let the  
18 Silicon Valley people talk in a second. But again, the  
19 basic message is this stuff as you can tell goes on for a  
20 year. You can't show up at the last minute and say, "Build  
21 this in."

22           But having said that, I think the thing that  
23 really comes out from the ZEV forecast and the doubling  
24 energy efficiency forecast, is we need additional policies  
25 if we're going to achieve our goals. And that's really an

1 important message back from the forecast. And certainly  
2 encourage more creativity on the policy side to really help  
3 us on the analytics.

4 But let me let the Silicon Valley person -- he is  
5 stuck in not surprisingly traffic coming up from Silicon  
6 Valley, say a few words. Please come on up. We're about  
7 ready to vote on this, so it's a little unusual. But I  
8 understand you came a long way, at least a long time to get  
9 here, so I wanted to at least let you get your words in.

10 MS. JUE: So, thank you, Chairman. Hi. Yes, so  
11 first I just want to apologize for my tardiness and thank  
12 you for allowing me some time to speak.

13 So I just want to thank you Chairman Weisenmiller  
14 and the Commissioners, and working with Chris and Rick  
15 Powel, who have been very responsive to us at our utility.  
16 My name's Erica Jue. I'm with the Silicon Valley Power, a  
17 publicly owned utility for the City of Santa Clara. We  
18 just wanted to commend the CEC for your hard work on these  
19 demand forecasts and provide some input based on our  
20 experience from our utility.

21 We feel that as a small utility we're kind of in  
22 the epicenter of the technology industry. And the  
23 forecasts did not necessarily estimate the projected  
24 growth, because we feel that we are an outlier. And some  
25 of the supporting data that we have is that our load

1 forecasts that we have projected as a utility, is expected  
2 to grow 10 percent in 2019 and 2020. And then in the next  
3 10 years, we anticipate an almost 4 percent average annual  
4 growth rate.

5           The reason to our growth rate is because of our  
6 consumer base, which consists of 90 percent industrial, 50  
7 percent of our retail load is served by data centers. And  
8 because of their performance, often times the data centers  
9 operate in 85 percent load factor or greater. And because  
10 of a lot of the changes, technological and energy  
11 efficiency changes within that sector alone, the energy  
12 density is increasing at the same time, which increases  
13 load factor. And ensures that data centers can actually  
14 increase their energy potential per square footage.

15           So some feedback that we had were that some of  
16 the macro-economic indicators that were used to extrapolate  
17 our forecasts were underestimated, because traditionally  
18 the industrial sector has been defined as a more  
19 traditional sector such as manufacturing and refining.  
20 However, data centers fall into our industrial category.  
21 And because of that growth within our area, we have found  
22 that our load growth has been a lot higher than what had  
23 been forecasted by the CEC, just because of our unique  
24 circumstance.

25           Our primary concern with that is just that SVP

1 connects to the bulk electric system on the 230 and the 110  
2 kV lines. And since the ISO is (indiscernible) to use the  
3 CEC forecasts we have some concerns that due to the  
4 transmission planning process, from planning to  
5 construction about three to five years, this could  
6 potentially impact the reliability of our energy within our  
7 service area.

8           So we'd be happy to work with Chris and his team  
9 in providing kind of performance data that we would have  
10 experience with in our service area. And work with the  
11 Commission and the CEC to collaboratively come up with new  
12 economic indicators that could be applied to our service  
13 area and other load-serving entities that have a similar  
14 circumstance.

15           CHAIRMAN WEISENMILLER: Thank you for coming up  
16 and certainly we would like to work with you going forward  
17 to better incorporate. And I think one of the realities is  
18 we generally -- sort of talking about all of the  
19 enhancements -- one of the things we're trying to do is  
20 enhance more on the POU side. And so I think that's going  
21 to -- we're not going to be able to just do it alone, so  
22 it's going to require a lot more interaction. And  
23 certainly you've got a very vibrant service territory and  
24 so it's very important to deal with the reliability issues  
25 there.

1           So again, we're looking for your participation in  
2 the upcoming IEPR, at least on the forecast part.

3           COMMISSIONER MCALLISTER: Also, on the IRP front  
4 you know as the POU's establish their IRP, as we go through  
5 and implement the process that we worked out, then that's a  
6 context where a lot of this conversation can happen as  
7 well. And so I think the forecasting team can be involved  
8 in that and that'll elucidate a lot of the issues that  
9 you're concerned with. I also want to --

10          MS. JUE: Thank you.

11          COMMISSIONER MCALLISTER: No, go ahead.

12          MS. JUE: I just wanted to say thank you for --  
13 we're happy and open to meet with you and work  
14 collaboratively.

15          CHAIRMAN WEISENMILLER: Great. Thank you.

16          COMMISSIONER MCALLISTER: I also just wanted to  
17 encourage people to have a look at induction cook tops as  
18 long as we're talking about electric, electric loads.  
19 Yeah, they're pretty fantastic.

20          CHAIRMAN WEISENMILLER: Okay. Let's get a --  
21 someone want to move the forecast? This has been a good  
22 discussion.

23          COMMISSIONER MCALLISTER: Yeah, this has been a  
24 good discussion, but anyway we want to get out of here at  
25 some point. I'll move Item 3.

1 MS. HOLMES: Excuse me, Commissioners. I have  
2 the very uninteresting, but important task of identifying  
3 what it is you're specifically voting on.

4 COMMISSIONER MCALLISTER: Oh good, okay. Good,  
5 so I'll adopt what Karen reads into the record.

6 MS. HOLMES: It's the California Energy Demand  
7 2018 to 2030 Revised Forecast, which was posted and  
8 docketed in January. The supporting forms and spreadsheets  
9 that contain the calculations that underlie the numbers  
10 that are in the forecast. And the errata that were posted  
11 and docketed yesterday and are available at the back of the  
12 room.

13 CHAIRMAN WEISENMILLER: Thank you.

14 COMMISSIONER MCALLISTER: Okay. I will adopt, or  
15 I will propose adoption of Karen's description of the  
16 forecast, essentially.

17 COMMISSIONER DOUGLAS: Second.

18 CHAIRMAN WEISENMILLER: All those in favor?

19 (Ayes.)

20 CHAIRMAN WEISENMILLER: This forecast has been  
21 adopted 5-0. I'm just going to say a few thank yous and  
22 then we'll move on to the next item. So, you know, I'd  
23 like to really thank Chris for his hard work this year.  
24 Well, every year but certainly take a long vacation and get  
25 ready for next year.

1           Also, I want to thank the work that's been done  
2 on the hourly forecast in the energy efficiency. And again  
3 obviously Jaske (phonetic) also played a heavy role in  
4 those enhancements too. And as everyone has mentioned, I  
5 think on the transportation forecast it's just so much  
6 better than before. So I certainly want to thank Siva and  
7 Matt Coldwell for really pushing that along.

8           And again, it's going to require a lot of work to  
9 just deal with the dynamic changing nature of the industry.  
10 But we're going to stay on top of that. And again we'll  
11 work out with our sister agencies how we can pull things  
12 together and keep the process stuff going well. But part  
13 of the reality is that our peak forecast is based upon the  
14 peak month, which could be September-ish. And there's not  
15 a hell of a lot of time between September and this January  
16 1st, when you look at what has to happen on the forecast  
17 and then the procedural side. So unless you want a really  
18 crappy forecast, you've got to be prepared to wait some.

19           Okay. Let's move on to the next item, the IEPR,  
20 the 2017 Integrated Energy Policy Report. Heather?

21           MS. RAITT: All right, good morning. Staff is  
22 requesting that you adopt the 2017 Integrated Energy Policy  
23 Report or the 2017 IEPR. I'm Heather Raitt, the Program  
24 Manager.

25           The Energy Commission is required to prepare an

1 IEPR every two years that assesses energy supply and  
2 demand, production, delivery and distribution, market  
3 trends and major challenges. Through the IEPR, the Energy  
4 Commission develops energy policies that conserve  
5 resources, protect the environment, ensure energy  
6 reliability, enhance the state's economy, and protect  
7 public health and safety. Next slide, thanks.

8 Chair Weisenmiller is the Lead of this year's  
9 IEPR. The IEPR issue -- the Chair issued a Scoping Order  
10 on March 6, 2017, identifying the topics to cover in the  
11 report. The Energy Commission held 35 public workshops and  
12 webinars, many jointly with other agencies. Through the  
13 workshops the Energy Commission gathered public input that  
14 was integral in developing the IEPR. The initial draft was  
15 posted on October 16, 2017 with comments due on November  
16 13. The final version was posted on January 26 with  
17 comments due February 7. An errata reflecting updates and  
18 edits in response to comments was posted yesterday,  
19 February 20th.

20 I will provide a very high level summary of the  
21 key issues presented in this year's IEPR. Next slide.

22 The report is focused on the need to drastically  
23 reduce greenhouse gas emissions from California's energy  
24 system. California is feeling the effects of climate  
25 change such as large wildfires, reduced snowpack and more

1 frequent heat waves, major storms and drought. Six of the  
2 state's largest, deadliest and most destructive wildfires  
3 occurred in 2017. A letter by prominent scientists and  
4 cosigned by Governor Brown argues that a rapid downward  
5 trend in greenhouse gas emissions must be initiated in the  
6 next three years to avoid the most extreme impacts.

7           Recognizing that California's actions alone are  
8 not enough, Governor Brown continues to lead international  
9 action. He championed sub-nationals to reduce greenhouse  
10 gas emissions through the "Under2 MOU," was a leader in  
11 achieving the 2015 Paris Agreement among nations worldwide,  
12 and was appointed Special Advisor for States and Regions  
13 ahead of the 2017 Conference. California's leadership is  
14 especially critical as a counterpoint to the Federal  
15 Administration, which has stated its intent to pull the  
16 United States out of the Paris Agreement. Next slide.

17           As referenced in prior IEPRs, the Governor put  
18 forward the following goals in his 2015 Inaugural Address  
19 to help reduce greenhouse gas emissions. Increase from  
20 one-third to 50 percent the state's electricity derived  
21 from renewable sources; reduce today's petroleum use in  
22 cars and trucks by up to 50 percent; double the efficiency  
23 of existing buildings and make heating fuels cleaner;  
24 reduce the release of methane, black carbon, and other  
25 potent pollutants across industries; and manage farm and

1 rangelands, forests, and wetlands, so they can store  
2 carbon.

3           Senate Bill 350, by Senator de León, subsequently  
4 codified doubling energy efficiency savings and increasing  
5 renewable electricity procurement to 50 percent by 2030.  
6 It also emphasizes electrifying the transportation sector  
7 and increasing access to clean technologies for low-income  
8 and disadvantaged communities. This report focuses on the  
9 implementation of SB 350 as a critical part of achieving  
10 the statewide goal to reduce greenhouse gas emissions 40  
11 percent below 1990 levels by 2030. Next slide.

12           California has demonstrated that it can reduce  
13 emissions while growing its economy. Since the peak in  
14 2001, greenhouse gas emissions per gross state product have  
15 declined by 33 percent, while the economy grew 37 percent.  
16 In 2015, the most recent data available, the electricity  
17 sector accounted for about 19 percent of the state's  
18 greenhouse gas emissions, and emissions were about 24  
19 percent below 1990 levels.

20           Transportation accounts for about 50 percent of  
21 statewide greenhouse gas emissions and is the largest  
22 contributor to the formation of ozone emissions and small  
23 particulate matter that harm human health. Next slide.

24           SB 350 requires a comprehensive approach to  
25 energy planning targeted at meeting the 2030 greenhouse gas

1 reduction goal. Through their integrated resource plans,  
2 load-serving entities will identify the most cost-effective  
3 way to meet SB 350 goals given their unique set of  
4 resources and customer base. In August 2017, the Energy  
5 Commission adopted guidelines for the publicly owned  
6 utilities' integrated resource plans.

7 SB 350 also directs the Energy Commission to  
8 establish annual targets to achieve a statewide cumulative  
9 doubling of energy efficiency savings in electricity and  
10 natural gas end uses by January 1, 2030. The Energy  
11 Commission adopted a framework for achieving the goal in  
12 November 2017.

13 The Energy Commission and CPUC have also  
14 established rules for the 50 percent Renewables Portfolio  
15 Standard.

16 In building on the RETI 2.0 process, and  
17 supporting the utilities' integrated resource plans, the  
18 Energy Commission continues to develop landscape-scale  
19 planning tools for state and local planners to use as they  
20 consider renewable generation and infrastructure  
21 development.

22 SB 350 also emphasizes transportation  
23 electrification as a key part of California's low-carbon  
24 energy future. The state is working to both advance the  
25 infrastructure needed to support growth in transportation

1 electrification and ensure smooth integration of the grid.

2           In light of SB 350, the Energy Commission is also  
3 improving its analytical capabilities, as we just heard  
4 about, for the electricity and natural gas forecast to  
5 track and account for increases in energy efficiency  
6 savings, electric vehicles, rooftop solar, and other  
7 factors. Next slide.

8           SB 350 also emphasizes addressing barriers to  
9 clean energy for low-income and disadvantaged communities.  
10 In 2016, the Energy Commission worked in coordination with  
11 other state agencies to develop the Low-Income Barriers  
12 Study Part A, focusing on energy efficiency, renewables,  
13 and small business contracting opportunities for low-income  
14 customers and disadvantaged communities.

15           In April 2017, the California Air Resources Board  
16 released Part B focusing on the transportation sector. The  
17 recommendations for the Energy Commission's Barriers Study  
18 broadly address expanding access, increasing investment and  
19 improving resilience. The Energy Commission is working  
20 closely with the Governor's Office and other agencies to  
21 implement the highest priority recommendations. Next  
22 slide, please.

23           California's electricity sector is evolving as  
24 consumer choice is proliferating, spurred by market  
25 changes, technological innovations and policy actions.

1 Californians are installing their own rooftop solar and  
2 local government agencies are forming community choice  
3 aggregators that can buy electricity on behalf of their  
4 customers with relatively limited oversight from the PUC.

5           Investor owned utility retail electric load could  
6 drop by 85 percent in the next decade. As a result, the  
7 investor owned utilities are not entering into long-term  
8 contracts for renewable generation or other energy  
9 products. And there is considerable uncertainty about the  
10 ability of CCAs to secure the financing needed for long-  
11 term investments. This raises questions about how the  
12 roles traditionally filled by the investor owned utilities  
13 will be met, including who will make the investments needed  
14 in energy infrastructure, energy efficiency, research and  
15 development and energy services for low-income consumers.  
16 Next slide.

17           Amid this changing market structure, California's  
18 electricity grid must quickly evolve to support a low-  
19 carbon future. Integrating increasing amounts of solar and  
20 wind energy that vary depending on if the sun is shining or  
21 the wind is blowing requires a greater emphasis on  
22 flexibility and resiliency.

23           The California ISO's "duck curve" shows the net  
24 load which is load minus solar and wind generation. When  
25 solar electricity generation peaks at midday, the net load

1 drops. This puts downward pressure on wholesale prices,  
2 increasingly resulting in negative prices or curtailment of  
3 renewables. As solar generation trails off at the end of  
4 the day and demand remains high, the steep ramp up in net  
5 load is another operational challenge that has become more  
6 pronounced and steeper than anticipated, largely due to  
7 growth in rooftop solar. Next slide.

8 Various solutions are available to help meet  
9 these operational challenges. The Western Energy Imbalance  
10 Market has been very successful in helping to manage supply  
11 and demand fluctuations and is expanding rapidly. However,  
12 the benefits only come from the real-time market. Much  
13 greater resiliency and greenhouse gas reductions could  
14 result in a day-ahead market over a large geographic area.

15 Currently, fast ramping natural gas-fired power  
16 plants provide much of the flexibility needed to meet  
17 operational challenges. With the increase in renewables,  
18 natural gas power plants are operating less and less and  
19 many have ceased operation or gone bankrupt. While this  
20 helps reduce greenhouse gases, some natural gas-fired power  
21 plants are important for the reliable operation of the  
22 grid, either by virtue of their location or ability to  
23 rapidly ramp up and down.

24 While low-carbon flexibility is preferred, the  
25 options are constrained in the near-term. Electricity

1 time-of-use rate design needs to be revised to encourage  
2 shifts in energy use away from the evening period to when  
3 solar peaks mid-day. And despite impressive potential,  
4 demand response is underperforming as a grid resource in  
5 California. Electricity storage has been promising but  
6 faces cost barriers to large-scale deployment.

7           On the generation side, ongoing work to modify  
8 inverters at existing power plants and develop  
9 transmission-specific inverter standards is critical for  
10 improving the reliability of solar power plants. More work  
11 is needed on to ensure that California has the resources  
12 necessary to increase the resiliency of its grid as it  
13 further decarbonizes its energy system. Next slide.

14           As part of the 2017 IEPR, SB 1383 by Senator Lara  
15 requires the Energy Commission, in consultation with the  
16 Air Resources Board and the CPUC to, "Develop  
17 recommendations for the development and use of renewable  
18 gas, including biomethane and biogas." It further requires  
19 the Energy Commission to, "...identify cost-effective  
20 strategies that are consistent with existing state policies  
21 and climate change goals by considering priority end uses  
22 of renewable gas." The 2017 IEPR includes this analysis.

23           Two independent studies carried out by UC Davis  
24 and ICF International concluded that renewable gas  
25 production can generate up to four times the revenue for

1 transportation fuel use, as compared to electricity,  
2 because of the monetary value of credits generated from the  
3 federal Renewable Fuels Standard and the California Low  
4 Carbon Fuel Standard. Additional policies may be needed,  
5 and agencies may need to modify and enhance existing  
6 regulations, policies, and programs to fully enable  
7 commercialization of renewable gas and maximize methane  
8 emission reductions.

9 In planning for the future, utility executives  
10 are considering the use of renewable gas in the existing  
11 infrastructure, but concerns including pipeline safety  
12 would need to be further explored. Next slide.

13 Another issue addressed in the IEPR is  
14 maintaining energy reliability in the Greater Los Angeles  
15 Area. Vigilance is still needed to maintain reliability  
16 following the unexpected closure of the San Onofre Nuclear  
17 Generation Station in 2013, compounded by plans for the  
18 phased retirement of natural gas facilities that use in  
19 once-through cooling systems.

20 The State Water Resources Control Board approved  
21 a request initiated by Energy Commission, CPUC, and the  
22 California ISO to temporarily defer retirement of the  
23 Encina power plant to allow more time for the completion of  
24 a replacement facility.

25 The agencies also continue to evaluate risks and

1 implement mitigation measures in the wake of the massive  
2 leak at the Aliso Canyon natural gas storage facility in  
3 2015. In the longer term California needs to begin to plan  
4 for the closure of the Aliso Canyon natural gas storage  
5 facility over the next ten years. Next slide.

6           While California works to transform its energy  
7 system, it must also prepare for the worsening effects of  
8 climate change. Climate impact risks can be lowered if  
9 greenhouse gas emissions are reduced to the levels in the  
10 Paris Agreement. However, climate change has already begun  
11 and more is set in motion by previous decades of greenhouse  
12 gas emissions.

13           The California Natural Resources Agency,  
14 Governor's Office of Planning and Research, the Energy  
15 Commission, CPUC, utilities, local governments and others  
16 are taking action to help the state prepare for further  
17 climate change. Next slide.

18           So that concludes my presentation. Again, staff  
19 requests that you adopt the 2017 IEPR incorporating the  
20 changes detailed in the errata. Thank you.

21           CHAIRMAN WEISENMILLER: Thank you. Let's take  
22 comments first and then we'll have questions for you later.

23           Grant Mack, please?

24           MR. MACK: Grant Mack again, with the California  
25 Public Utilities Commission. I want to thank you, Chair

1 Weisenmiller, for your leadership and the whole Energy  
2 Commission team for your thoughtful, brilliant and  
3 important analysis and time that went into the development  
4 of this year's Integrated Energy Policy Report.

5           Developing and updating this report is a  
6 monumental task and this year's report is no exception.  
7 Public Utilities Commission continues to value the  
8 expertise of the Energy Commission and it's unwavering  
9 collaboration and foresight toward achieving California's  
10 leading energy and environmental goals.

11           On a more personal note, as a former staffer of  
12 the Energy Commission, I'm always amazed and proud of the  
13 Energy Commission team for expanding the boundaries of  
14 energy policy and truly charting a path towards a safe,  
15 reliable, affordable and environmentally sustainable energy  
16 future. Thank you again for everything you do to keep  
17 California golden.

18           CHAIRMAN WEISENMILLER: Thanks.

19           Let's go on to Spencer.

20           MR. OLINEK: Good morning Chair and  
21 Commissioners, Spencer Olinek from Pacific Gas and  
22 Electric. As you know, we're in an important time for our  
23 industry and for global energy policy. And against that  
24 backdrop we always appreciate the CEC's hard work and  
25 leadership to continue to push the envelope on energy

1 policy. We support adoption of this year's IEPR and look  
2 forward to continue to explore a number of these topics in  
3 the 2018 IEPR Update. Thank you.

4 CHAIRMAN WEISENMILLER: Thank you.

5 Anyone else in the room or on the phone?

6 (No audible response.)

7 CHAIRMAN WEISENMILLER: Then let's transition  
8 over to the Commissioners. Again, I will make comments  
9 after adoption in terms of thanking people. But this has  
10 been a pretty broad-scoped IEPR. Part of it is being  
11 nominated by the Legislature to take on renewable gas, but  
12 certainly it's been a pretty wide scope dealing with the  
13 350 issues. And I think the 350 issues sort of touch  
14 almost all of our programs, and this IEPR certainly does  
15 too.

16 So one of the things that really identified for  
17 future action is that we looked at the finished road maps  
18 that we have. Vehicle to grid, storage, demand response,  
19 all of which are pretty dated. I mean the good news is  
20 we've achieved many of the actions we planned on doing, but  
21 it's really time to go back and refresh those.

22 And again, whether it's a more coordinated single  
23 document, or subsets we need to figure that part out, but -  
24 - and I think certainly again, we're pushing forward on the  
25 disadvantaged community. We're going to talk about that a

57

1 little bit next, but there's still a lot to do there. So  
2 the bottom line is we did a lot. As anything we didn't  
3 really -- we still have some continuing activities to wrap  
4 up. But and some of this is like on the forecast is  
5 actually going to continue for years if not decades, but  
6 having said that I think it's a document we can be proud  
7 of. I certainly want to thank the staff that worked on it.

8 Any others?

9 COMMISSIONER MCALLISTER: I just want to thank,  
10 so I agree with all that and I'm not going to do another  
11 monologue. But again this is foundational stuff and I  
12 think it was very appropriate that the Chair preside this  
13 year, because of all the just cross-cutting issues that had  
14 to be in this IEPR. And you're stepping up and leading  
15 that process is something I think we all benefitted from.

16 And I'm not sure if you sat through all 35  
17 workshops, but I know I sat through my share and there, I  
18 say sat through, but certainly don't mean that in any  
19 denigrating way. They're fascinating and that's what we're  
20 here to do and so I think they're really the bedrock of  
21 what we do here.

22 So thanks for taking that on and leading it. And  
23 I think it's a fantastic document.

24 COMMISSIONER SCOTT: I will echo that. Thank you  
25 so much Chair Weisenmiller for your leadership on this

1 year's Integrated Energy Policy Report. As always, it's a  
2 fantastic opportunity to convene experts from all around  
3 the world to really look at sort of cutting edge policies  
4 and how to keep California at the forefront. And similar  
5 to Commissioner McAllister, as always I learned a ton  
6 during this IEPR proceeding. And I thank you very much for  
7 your leadership on that.

8 COMMISSIONER DOUGLAS: I'll just add to that and  
9 join in those comments and those thanks. I also found the  
10 IEPR process this year really interesting. It was a really  
11 great opportunity to dial into the cross-cutting policy  
12 issues that we deal with here at the Commission and really  
13 see how the different worlds that all of us participate in,  
14 interrelate and come together in these cross-cutting  
15 policies. And so having you lead the IEPR and having this  
16 opportunity to also participate in a number of workshops  
17 and read through a couple different times and iterations,  
18 drafts of the write-ups that came out of that work, has  
19 been really helpful. And I have also learned a lot from  
20 going through the process this year.

21 COMMISSIONER HOCHSCHILD: You know the Boy Scouts  
22 give little merit badges and stuff, we get an IEPR badge if  
23 you can make it through. (Laughter.) No, my thanks and  
24 congratulations as well to Chair Weisenmiller and staff.  
25 And with that I'd move the item.

1 COMMISSIONER SCOTT: Second.

2 CHAIRMAN WEISENMILLER: All those in favor?

3 (Ayes.)

4 CHAIRMAN WEISENMILLER: This IEPR's adopted 5-0.

5 I just wanted to thank folks. I mean, obviously  
6 we'll start with Heather and her team. Again, it's been 35  
7 workshops. It is just a lot of work to organize the  
8 workshops, make sure they're really meaningful and  
9 basically translate those into action. So again, certainly  
10 Heather and her stellar team, Stephanie Bailey, Raquel  
11 Kravitz and Denise Costa. Certainly thanks again. It's  
12 been a heavy lift.

13 Obviously Kevin has been really important to me  
14 to get this done. I certainly want to thank Kevin for his  
15 work throughout this, getting it pulled together and done.

16 Aliso Canyon, we focused on this year, I would  
17 just point out at this stage that we were really lucky and  
18 had a very warm December and January. And now we have a  
19 very cold spell in Southern California. Aliso's sort of  
20 running full blast at this stage. And power plants are --  
21 gas use two cap power plants are being curtailed, but the  
22 ISO is maintaining the system by shifting load out of the  
23 Basin. So at this point we seem to be doing well, but  
24 certainly Aliso has been a key part.

25 I'd like to thank Lana Wong and Katie Elder and

1 the whole gas team for staying on top of the gas issues as  
2 we go forward.

3           One of our real themes has been climate and the  
4 impacts, the climate impacts we're having on California.  
5 And certainly Guido Franco, Susan Wilhelm, my adviser Pam  
6 Doughman really have made that a very strong chapter. I  
7 would also point out that Pam also worked on what are  
8 called the barrier side with particularly Mike Sokol on  
9 coming up with the indices, which again I would note that  
10 that's being posted. Our equity indicators on the draft  
11 form and looking for comments on that.

12           So on the Strategic Investment Plan, certainly Al  
13 Alvarado, Judy Grau, Jim Bartridge and Chris McLean and did  
14 a lot there. We've already talked about how important it  
15 was that the transportation sector session for the forecast  
16 to be really first rate. And also the section. I think  
17 Charles Smith did a really great job on the transportation  
18 chapter.

19           Renewable gas issues, they're not easy. But  
20 certainly Elizabeth John and Matt Ong did a great job on  
21 that part.

22           And again I certainly want to thank all the  
23 stakeholders. As I said, we focus a lot on the staff side  
24 of the equation, but certainly the participation of all the  
25 experts in these processes really give us the basis to pull

1 together a strong report. So again thanks all. And yeah,  
2 hopefully Heather and Chris will both be having some --  
3 Heather's team will be having some time off before they  
4 start the 2018, which is looming somewhere on the horizon.  
5 So thanks.

6 So let's go on to approval of Disadvantaged  
7 Community Advisory Group. The DACAG membership.

8 MS. MATHEWS: Good Morning, Commissioners. As  
9 you are aware Senate Bill 350 as codified in Public  
10 Utilities Code section 400(g), requires the California  
11 Public Utilities Commission and the California Energy  
12 Commission to establish an advisory group consisting of  
13 representatives from disadvantaged communities. The  
14 advisory group is to review and provide advice on proposed  
15 clean energy and pollution reduction programs and determine  
16 whether those proposed programs will be effective and  
17 useful in disadvantaged communities.

18 The Energy Commission and the California Public  
19 Utilities Commission adopted the charter for the advisory  
20 group on December 13, 2017 in Energy Commission Resolution  
21 17-13-2, and on December 14th of last year in California  
22 Public Utilities Commission Resolution E-4893,  
23 respectively.

24 On November 1st, 2017, both Commissions issued a  
25 solicitation for application to membership in the advisory

1 group, with an application deadline of December 22nd, 2017.  
2 Thereafter, Commissioners Rechtschaffen and Guzman-Aceves  
3 of the CPUC, and Chair Weisenmiller and Commissioner Scott  
4 of the Energy Commission, reviewed the applications and  
5 conditionally selected the following applicants pending  
6 review for conflicts of interest and other eligibility  
7 screening.

8           This joint selection committee recommends  
9 approving the appointment of the following persons to the  
10 Disadvantaged Communities Advisory Group: Stephanie Chen,  
11 Stan Greschner, Angela Islas, Roger Lin, Adriano Martinez,  
12 Jodi Pincus, Andres Ramirez, Woodie Rucker-Hayes, Phoebe  
13 Seaton and Tyrone Williams. Along with Chairman Kevin Day,  
14 who will be the 11th member who was chosen to be the  
15 advisory group's tribal representative by the Governor's  
16 Tribal Liaison.

17           Additionally, you have before you the  
18 accompanying Disadvantaged Communities Advisory Group  
19 Membership Resolution, which has been previously provided  
20 and included in today's back-up materials.

21           And with that, I will propose to turn it over to  
22 the Chairman.

23           CHAIRMAN WEISENMILLER: Okay, thank you.

24           So first any public comment? Please, Grant.

25           MR. MACK: Third time's a charm. Grant Mack with

1 the California Public Utilities Commission. I just want to  
2 say a few words. We're looking really forward to working  
3 with this very diverse advisory committee on how do we  
4 better design our policies and programs to ensure access to  
5 clean energy resources to disadvantaged communities.

6 Thank you to the Energy Commission, working  
7 collaboratively with our team, and we look forward to what  
8 this produces. Thank you.

9 CHAIRMAN WEISENMILLER: Anyone on the phone?  
10 Anyone who wants to -- please, come on up.

11 MS. MATHEWS: We actually have a member of the  
12 proposed members.

13 CHAIRMAN WEISENMILLER: Please.

14 MS. ISLAS: Good morning, this is Angela Islas  
15 from the Central California Asthma Collaborative. I'm the  
16 community health worker representing the Fresno County and  
17 Madera County areas. I perform a environmental home  
18 assessment where I just review on certain homes in  
19 disadvantaged communities in southeast-southwest Fresno,  
20 but I don't just do that area. I do, do all rural areas in  
21 Fresno County and Madera County. And the home  
22 environmental inspections just kind of do a little bit of  
23 an evaluation to see if there is any asthma triggers in the  
24 home for particularly asthmatic families.

25 And then I offer recommendations as well as

1 different types of strategies to maintain relationships  
2 with their physician, as well as being able to have access  
3 to their medications at home and in school and at work as  
4 well. Because I don't just do children, but I do allow  
5 adults to take advantage of these free services that we  
6 offer in these two different counties. So we have also  
7 expanded the program out to Kern County as well as in Kings  
8 County. So we are looking to just see if we can expand  
9 this free service out to North, Central and all of South  
10 Valley and the San Joaquin Valley.

11 So I'm actually really excited to be a part of  
12 this group and very excited to be able to give the best  
13 advice as possible with these programs. So really looking  
14 forward to meeting everyone here as well as everyone in CEC  
15 and CPUC. Thank you.

16 CHAIRMAN WEISENMILLER: Yeah, thank you for being  
17 here. We're looking forward to your assistance.

18 Okay. Anyone else in the room or on the phone?

19 (No audible response.)

20 Then let's transition to the Commissioners.

21 Commissioner Scott.

22 COMMISSIONER SCOTT: Sure. So I would like to  
23 start just by thanking our partners at the Public Utilities  
24 Commission. Commissioners Rechtschaffen and Guzman-  
25 Aceves have been terrific to work with as well as Alice and

1 Mel and their whole staff who helped us put this together  
2 and also Alana Mathews and Mike Sokol and Galen Lemei on  
3 our team, for their hard work in this effort. As Alana  
4 mentioned, they have developed the charter. They issued  
5 the solicitation. They prepared the applications for our  
6 review. And they've just done a terrific job in putting  
7 this together for us.

8           As Alana also mentioned we received nearly 50  
9 applications, which was really exciting and had a great  
10 number of strong candidates to choose from. And it was  
11 challenging to narrow them down to just ten. But I think  
12 the candidates we are recommending today each bring a  
13 unique background and a knowledge that will collectively  
14 result in robust representation of California's diverse  
15 communities.

16           As we all know, Governor Brown has identified an  
17 ambitious suite of climate and clean energy goals for  
18 California. And a critical component to us being  
19 successful in achieving these is assuring that all  
20 Californians have access to clean energy technologies and  
21 programs. And that our low-income communities are playing  
22 a meaningful role in helping us lead the way as we make  
23 this transition.

24           So I really look forward to working with our  
25 advisory group as they develop recommendations for

1 improving our SB 350 clean energy and pollution reduction  
2 programs, helping to ensure that they are effective and are  
3 useful to the diverse communities throughout the state.  
4 And thank you, Ms. Islas for coming today. I look forward  
5 to getting to know you better and to continuing to work  
6 with you and the other members on the committee.

7 So I don't know, Chair Weisenmiller, if you have  
8 any comments you'd like to make?

9 CHAIRMAN WEISENMILLER: Yeah, it's been a great  
10 process to work with Cliff and Martha. I understand the  
11 PUC will be adopting hopefully the identical resolution at  
12 its next business meeting. And we're all looking forward  
13 to really kicking off this group of meetings.

14 COMMISSIONER SCOTT: So with that, I will move  
15 approval of Item 5.

16 COMMISSIONER HOCHSCHILD: I'll second.

17 CHAIRMAN WEISENMILLER: All those in favor?

18 (Ayes.)

19 CHAIRMAN WEISENMILLER: So this passes 5-0. And  
20 again, thank you. Thanks for being here.

21 Let's go on to Item 6.

22 MS. WENG-GUTIERREZ: Good Morning Chair and  
23 Commissioners, my name is Malachi Weng-Gutierrez and I work  
24 in the Renewable Energy Division. I'm here today to  
25 request adoption of regulations implementing updated data

67

1 collection language addressing a broad range of fundamental  
2 data used at the Energy Commission. The proposed  
3 regulations govern data submittal requirements regarding  
4 combined heat and power facilities, interconnected  
5 resources, natural gas hydraulic modeling and electricity  
6 and natural gas consumption data. The regulations also add  
7 automatic confidentiality designations for natural gas  
8 hydraulic modeling data and customer level consumption  
9 data. I will quickly walk through a few of the major  
10 proposed additions and modifications.

11           As California's lead energy agency, the Energy  
12 Commission is responsible for developing the state energy  
13 demand forecast and a variety of related analyses, which  
14 depend on collection of accurate and up-to-date information  
15 from utilities and other entities. These analyses are then  
16 used by many other agencies for their energy related  
17 activities. And in this role, the Commission collaborates  
18 with those agencies to ensure their analytical needs are  
19 met. Through the Integrated Energy Policy Report process,  
20 the Commission conducts a public proceeding to develop  
21 effective and equitable energy and environmental policies  
22 and legislation based on this data and subsequent analyses.

23           In order for the Energy Commission to meet its  
24 statutory obligations of identifying emerging trends in  
25 energy demand and generation, energy efficiency potential,

1 renewable energy development, and GHG emissions reduction  
2 efforts, and to assess the effects of energy efficiency  
3 savings on electricity demand on an hourly and seasonal  
4 basis, more disaggregated data is now needed.  
5 Additionally, planning for electricity system  
6 infrastructure is increasingly performed at a localized  
7 level requiring more detailed data. Staff has spent a  
8 great deal of time evaluating the minimum amount of data  
9 necessary to perform our mandated functions and considered  
10 feedback from stakeholders and academics in developing the  
11 proposed language in the current regulations.

12           To support the continued disaggregation of the  
13 demand forecast, improve data quality, track emerging  
14 trends, and assist with the GHG reduction work, Section  
15 1353 will allow us to obtain customer level electricity and  
16 natural gas consumption data for the state's largest  
17 utilities.

18           To ensure the Energy Commission has the necessary  
19 information to address problems stemming from natural gas  
20 delivery and storage issues, Section 1314 will require the  
21 state's three largest gas utilities to submit data needed  
22 to better monitor, model, and analyze the interaction of  
23 California's electricity and natural gas systems for grid  
24 reliability.

25           In order to better characterize, assess, and

1 forecast load impacts from photovoltaic generation, plug-in  
2 electric vehicles and the operation of energy storage  
3 systems, subdivision 1344(f) requires utilities to report  
4 current research on these topics to the Energy Commission.

5 In order to understand and quantify the  
6 efficiency of co-generation facilities, the power plant  
7 reporting requirements in subdivision 1304 were updated to  
8 include more detailed thermal energy and waste heat  
9 information.

10 To ensure the Energy Commission continues to  
11 receive fundamental interconnection data for one the  
12 fastest growing generation resources, photovoltaic systems,  
13 the subdivision 1304(b) reporting threshold for  
14 interconnected resources was eliminated. Because we expect  
15 other load modifiers, including energy storage systems to  
16 become more common, we have included them as well in the  
17 reporting requirements. These new requirements apply only  
18 to information the utilities regularly collect.

19 With the implementation of new Section 1353 where  
20 we ask for the customer level information, some of the  
21 aggregated data currently collected may no longer be  
22 required. The modifications to the language within  
23 Sections 1306 and 1308(c) recognize this and relieve  
24 obligated parties from reporting the potentially  
25 duplicative data.

1           And lastly, in recognition of the sensitive  
2 nature of data collected in Sections 1314 and 1353, Section  
3 2505 was modified to automatically designate submitted  
4 customer-level information and gas modeling files as  
5 automatically confidential.

6           As the Energy Commission acquires and uses  
7 customer-level data, maintaining security and privacy of  
8 customer information is paramount. Each data set collected  
9 by the Energy Commission containing confidential  
10 information carries an associated risk, and improper use or  
11 disclosure can lead to negative impacts to customers and to  
12 the Energy Commission.

13           To minimize this risk the Energy Commission  
14 collects only the data it needs to perform its mandated  
15 functions, automatically treats customer information as  
16 confidential, restricts access to such data and includes a  
17 broad range of technical and process controls in its data  
18 management practices.

19           The State of California requires the Energy  
20 Commission to meet information security policies and  
21 standards that are regularly updated to align with evolving  
22 cyber security risks and industry best practices. The  
23 Energy Commission regularly reviews its information  
24 security controls to ensure they meet state security  
25 policies and standards. Furthermore, all staff receives

1 regular training to ensure they understand their  
2 information security responsibilities and Commission  
3 expectations regarding handling and protection of  
4 confidential information.

5 Over the past year and a half, staff has worked  
6 with stakeholders to refine the language and clarify the  
7 objectives of this data collection rulemaking. The  
8 proposed language also benefited from stakeholders' inputs  
9 in a number of pre-rulemaking workshops and meetings.

10 The formal rulemaking began last August with the  
11 posting of the proposed regulatory language for a 45-day  
12 comment period. We received significant comments and staff  
13 worked to ensure that we addressed the comments  
14 appropriately with the revised regulatory language posted  
15 in January of 2018. The 15-day comment period ended on  
16 February 13 and we do not feel that any of the comments  
17 received require further revisions to the regulatory  
18 language.

19 If the regulations are adopted today, they will  
20 go into effect the third quarter of 2018. And with that, I  
21 would like to request adoption of these regulations and I  
22 would be happy answer any questions.

23 CHAIRMAN WEISENMILLER: Thank you.

24 Yeah, let's start with public comment. Grant  
25 Mack?

1           MR. MACK: Grant Mack again with the California  
2 Public Utilities Commission. We support the adoption of  
3 today's proposed regulations. As you all know, we live in  
4 the era of big data. And it is very encouraging this  
5 agency understands the opportunities and value that data  
6 can provide in developing, implementing and evaluating  
7 effective energy policies.

8           I also know how important this initiative is to  
9 Commissioner McAllister as you continue to be a thought  
10 leader in the demand-side management and energy efficiency  
11 space. The Public Utilities Commission looks forward to  
12 continuing our work with the Energy Commission to enhance  
13 the state's energy demand forecast and utility data sharing  
14 protocols as these new regulations go into effect.

15           Again, congratulations. And I look forward to  
16 watching how the Energy Commission will maximize the  
17 opportunities with this data. Thank you.

18           CHAIRMAN WEISENMILLER: Thank you. Thanks for  
19 being here.

20           Valerie?

21           MS. WINN: Good morning again, Valerie Winn, with  
22 PG&E. I too would like to offer our support for adoption  
23 of this regulation. I know that that's a bit of a shock.  
24 We've gone through many iterations over the last few years,  
25 but I do really though, as part of the process of getting

1 to the point where we are today.

2 I do really want to thank Malachi and his team.  
3 Where'd he go? Oh, there he is. Because this has been a  
4 very collaborative process where we have sat in numerous  
5 meeting rooms and talked about what we have, what are you  
6 trying to accomplish with the data. And building an  
7 understanding on both sides that I'm happy to be able to  
8 support this today.

9 And we've also already been working with other  
10 teams within the Energy Commission. Jason Orta and his  
11 team on the natural gas hydraulic modeling. And that also  
12 has been a very collaborative process where we've been  
13 building understanding about what the Commission is working  
14 to accomplish there and what data really helps to support  
15 achieving those goals. And a lot of sharing of knowledge  
16 and experience along the way.

17 So one thing as I look forward, as we start to  
18 provide customer data, which we have not provided  
19 previously, I'm very happy about the automatic  
20 confidentiality designations. But this is going to be a  
21 lot of data. I mean we have 15 million customers, interval  
22 meter data. And I think as we look to start providing that  
23 next year, we need to start now to think about how are we  
24 going to implement that? Because that is terabytes of data  
25 and it's going to take, I think, a lot of systems work on

1 both the CEC side and for PG&E's data professionals as  
2 well. I mean it's simply not something we provide  
3 routinely and there will need to be some infrastructure  
4 developed around supporting that routine provision of data.

5 So I look forward working with Malachi and his  
6 team on that. And again thank and we are happy to support  
7 adoption.

8 CHAIRMAN WEISENMILLER: Thank you. No, we've  
9 appreciated the opportunity to work with you and bring both  
10 agencies together on this, for the Commission and PG&E.

11 MS. WINN: Thank you.

12 CHAIRMAN WEISENMILLER: Thank you again.

13 Any other comments in the room or on the line?

14 (indiscernible)

15 Then we'll move to the Commissioners. I'll kick  
16 it off.

17 Obviously, you've heard how -- oh, please come on  
18 up. Yeah.

19 MS. HOU: Delphine again with the California ISO.  
20 I'm sorry. I submitted a card, but I think I combined both  
21 of my comments together, so apologies.

22 We definitely support this effort. And I wanted  
23 to take some time to respond to Commissioner McAllister's  
24 comment. And we think really having something like this is  
25 the cornerstone of not only having the data, the proper

75

1 data, to do our analysis and modeling, but really having  
2 that data so that we can further state policy and state  
3 goals.

4           So we find that this is an excellent start for  
5 the Energy Commission. The breadth of what's being asked  
6 here is fantastic. And from the CAISO perspective there's  
7 also data struggles. And we appreciate that having this  
8 for the CEC is going to improve the demand forecast.

9           But just to highlight a few things that we deal  
10 with on the CAISO side, is at a very granular level we even  
11 have a difficulty understanding sort of behind-the-meter  
12 generation profiles. And that impacts our short-term  
13 forecasting in the operational sphere. But moving that  
14 timeline out into something as long term as our  
15 transmission planning process, or even looking at  
16 supporting analysis on Aliso Canyon, all of this data is  
17 going to be very useful. But also that time scale is very  
18 different, so we really appreciate the effort here.

19           We fully support this and hope the information --  
20 we understand it is a heavy lift. But anything that CAISO  
21 can do to help, we'd be happy to and appreciate it. Thank  
22 you.

23           CHAIRMAN WEISENMILLER: Thank you.

24           Transitioning now -- is anyone on the phone? So  
25 I think we've got all the comments.

1           Again, this is -- you've heard the forecast. You  
2 know, that we're continuing to work on enhancing it. To  
3 enhance it, we're going to need more data to really deal  
4 with the granularity and the changes in the industry. And  
5 this is a big step.

6           It's not -- we have sort of a second phase coming  
7 up that's going to deal with broad characterized non-  
8 traditional entities. All these entities that have not  
9 really part of our data collection process in the past. So  
10 this is just the first step. But again, it is really a  
11 critical one to really pull the agency forward more and  
12 more to deal with the dynamic nature of the industry at  
13 this stage.           So again, this is huge. And as Valerie  
14 said, I mean we're really going to have to work together  
15 closely on the IT infrastructure side. And we certainly  
16 have also been working very strong on confidentiality,  
17 protecting the data once it comes in. And we intend to  
18 stay on top of that.

19           Yeah, Andrew?

20           COMMISSIONER MCALLISTER: Yes, so I just want to  
21 thank Malachi. The whole team behind this, but Malachi and  
22 his team have really been -- what's that? And Caryn Holmes  
23 as well. You guys have really tag teamed that. And just  
24 your persistence is recommendable. And I want to also  
25 thank PG&E and all the other stakeholders, because these

1 are important issues. We have to have it all right. I  
2 think we're at that point with this update.

3 I mean we have not updated our data regs for 14  
4 years, something like that, longer than a decade. And so  
5 time is due. We need to sort of bring the agency into the  
6 21st century analytical world that we live in. And so the  
7 technology exists to do this. Automation is going to be  
8 our friend, I think, as we develop the IT infrastructure.

9 And it's really important to our -- certainly for  
10 the doubling, but for any number of other activities that  
11 we do, for advising the Legislature on policy, for doing  
12 more targeted policy, so that we can better use our program  
13 resources. As Delphine said, I really appreciate your  
14 comments, to help understand really the baseline and the  
15 trending at an increasingly local level what demand looks  
16 like. What policy impacts are happening out there, so we  
17 can really elucidate that.

18 And really, the Legislature through SB 350 kind  
19 required us to go down this road implicitly, because we  
20 need to develop that narrative for them that they've asked  
21 for in the statute, to tell them how we're on the doubling  
22 and where the savings are coming from.

23 So this is really critical infrastructure for that. And  
24 I'm really happy that we're at this point.

25 I'm certainly looking forward to Phase 2 as well

1 and I'll add Malachi and Caryn to the group of people who  
2 deserve a vacation. And really actually I think we're  
3 going to learn a lot. And the I value your comments,  
4 Valerie, on I think this is a collective effort. I think  
5 we're all going to learn a lot about a valuable -- we're  
6 going to develop a lot of valuable knowledge about the  
7 energy sector.

8           And certainly, as AB 802 benchmarking goes into  
9 effect, as we dig into the Prop 39 data, I think all of  
10 these things are going to leverage the same infrastructure.  
11 And we're going to be able to target the sectors that  
12 really need attention, policy attention the most. You  
13 know, low income is -- you have multifamily -- there are  
14 any number of areas where those markets are not just going  
15 to take care of themselves. We need to sort of help push  
16 them along and develop policy to support that and advise  
17 the Legislature and the Governor's Office about that.

18           So anyway, this is again a foundational resource  
19 that is a long-term development. This is not going to  
20 happen overnight. The fruits of this, I think, are going  
21 to emerge gradually. And it's going to take some  
22 resources.

23           But I want to also just thank Grant for your  
24 comments from the PUC. I think the ISO, the PUC and the  
25 Energy Commission are going to, I think be able to take

1 part of those fruits to have this effort really, really pay  
2 off. And it's going to enhance our coordination frankly  
3 around the forecast and otherwise. So anyway, I'm  
4 obviously in strong support.

5 COMMISSIONER DOUGLAS: And so I'll just jump in  
6 and say that while I didn't really do any lifting  
7 whatsoever on this process, I certainly paid enough  
8 attention to it, especially in the early stages to know  
9 that it was a) not going be easy and b) absolutely  
10 essential to do. And I am really pleased to see this come  
11 to fruition. I'm really pleased to see that we have a  
12 package that has support and to hear that.

13 And so I think, as you have said Commissioner  
14 McAllister and the Chair as well this is going to move us  
15 forward in really important ways. This was essential to  
16 get done, so I'll be very pleased to support it as well.

17 COMMISSIONER MCALLISTER: Great. I neglected to  
18 thank Drew, the Executive Director, on this. A lot of the  
19 implementation of this is falling in the Executive Office  
20 and so I thank Drew's commitment to this. And Mike Sokol  
21 as well, who's been driving the discussion and making sure  
22 it keeps coordinated across divisions. You guys have been  
23 and will be critical to keeping the ball moving forward, so  
24 thanks for your commitment.

25 So I will move Item 6.

1 COMMISSIONER DOUGLAS: Second.

2 CHAIRMAN WEISENMILLER: All those in favor?

3 (Ayes.)

4 CHAIRMAN WEISENMILLER: This passes 5-0. Thanks.

5 Thanks again.

6 Let's go on to 7

7 MS. GRANT KILEY: Good morning Chair and  
8 Commissioners. My name is Rachel Grant Kiley. I'm the  
9 Manager of the Energy Commission's Contracts, Grants and  
10 Loans Office. And today I am requesting your approval of a  
11 resolution to supersede the December 2013 resolution  
12 regarding the Executive Director's Authority to Approve  
13 Certain Commission Transactions. The change between the  
14 superseded resolution and this new resolution before you is  
15 to provide authority for the Executive Director or his or  
16 her designee to approve all applicable budget reallocations  
17 by specifically removing the \$150,000 cap.

18 In December of 2013, the Energy Commission  
19 approved a resolution that directed the Executive Director  
20 or his designee to approve certain transactions. The  
21 internal policy that followed is what we call the Changes  
22 Chart. This chart spells out every type of change that can  
23 be made to an agreement and what levels of approvals each  
24 requires.

25 With recent changes in the Executive Office,

1 program staff from the Fuels and Transportation and  
2 Research and Development Divisions, along with Legal and  
3 myself met with the Executive Office to propose  
4 modifications to this Changes Chart to save time and effort  
5 on the part of staff as well as the Executive Office.

6           Importantly, these changes also benefit  
7 Commission contractors and grant recipients by reducing the  
8 time it takes to process amendments.

9           Of the changes proposed to the internal Changes  
10 Chart, only the change to the level of approval for budget  
11 reallocations requires a change to the December 2013  
12 resolution. The 2013 resolution requires business meeting  
13 approval for cumulative budget reallocations in excess of  
14 \$150,000. Because many of our agreements are for millions  
15 of dollars, many of these agreements also reach this cap.  
16 This means that currently many routine budget reallocations  
17 are brought before the Commission while other routine  
18 amendments are already approved by the Executive Director  
19 or their designee.

20           The proposed change would remove the current  
21 \$150,000 cap and allow the Executive Director or designee  
22 to approve all budget reallocations of any amount as long  
23 as the other criteria for changes are met.

24           The purpose of this change is to make budget  
25 reallocations in a more timely manner, which benefits the

1 Commission by streamlining its work and benefits  
2 contractors and grant recipients by reducing the time they  
3 have to wait for approval. This change also allows for  
4 consistency between the Commission's approval process of  
5 budget reallocations and other routine amendments, such as  
6 no-cost time extensions, which are already approved by the  
7 Executive Director or their designee.

8 I respectfully request your approval and am happy  
9 to answer any questions or concerns that you may have.

10 CHAIRMAN WEISENMILLER: Thank you.

11 Are there any public comments or comments on the  
12 phone, here in the room or on the phone?

13 (No audible response.)

14 CHAIRMAN WEISENMILLER: No, okay. So let's  
15 transition to the Commissioners.

16 I think I had started this process a while back.  
17 And part of it was just looking at the authorities of the  
18 Executive Director, say at the ARB and here and there were  
19 are a lot less delegated authority to the Executive  
20 Director. And again, trying to really simplify the  
21 process, so we can get more done.

22 And I think we've had a phase with prior  
23 resolution, and I think everyone's getting more comfortable  
24 with it. It's time to take a bigger step.

25 COMMISSIONER MCALLISTER: I move this item.

1 COMMISSIONER SCOTT: Second.

2 CHAIRMAN WEISENMILLER: All those in favor?

3 (Ayes.)

4 CHAIRMAN WEISENMILLER: So this passes 5-0.

5 Thank you. Let's go on to 8.

6 MR. MICHEL: Good morning Chair and  
7 Commissioners. My name is David Michel of the Local  
8 Assistance and Financing Office within the Efficiency  
9 Division. We are requesting approval of an Energy  
10 Conservation Assistance Act, also known as ECAA, a loan to  
11 the City of Bakersfield.

12 The application is for a \$3 million loan to  
13 upgrade nearly 16,000 street lights of high pressure sodium  
14 to LED street lights throughout the city. The street  
15 lighting retrofit will save approximately 4.6 million  
16 kilowatt-hours of electricity, and over \$665,000 annually.

17 Energy Commission staff has determined that this  
18 loan is technically justified. And based on the loan  
19 amount the simple payback is approximately 4.5 years, well  
20 within the 17-year simple payback period requirement of the  
21 loan program and within the ten-year effective useful life  
22 of the LED upgrade.

23 We respectfully request approval of this item for  
24 the City of Bakersfield. I'm prepared to answer any of  
25 your questions. Thank you.

1 CHAIRMAN WEISENMILLER: Thank you.

2 Any comments from anyone in the room or on the  
3 line?

4 (No audible response.)

5 CHAIRMAN WEISENMILLER: Okay. Then let's  
6 transition to the Commissioners.

7 COMMISSIONER MCALLISTER: Yeah, it's a great  
8 project. You know, moving into the LED world and with a  
9 short payback and kind of a no-brainer for the city. So  
10 I'll move this item.

11 COMMISSIONER HOCHSCHILD: Just one comment, I'm  
12 in support of this project. But I was at UC Santa Barbara  
13 some months ago and the next innovation that's coming is an  
14 LED lens that increases the throw of the light, so you can  
15 basically have 20 percent of the light pulls that you would  
16 otherwise need, because the throw is extended better. And  
17 I think that's a great opportunity for those savings down  
18 the line. I don't know how close it is, but all the  
19 experts there were absolutely convinced that's where things  
20 are headed.

21 So did you move the item?

22 COMMISSIONER MCALLISTER: I moved it.

23 COMMISSIONER HOCHSCHILD: I second the item.

24 Thanks.

25 CHAIRMAN WEISENMILLER: All those in favor?

1 (Ayes.)

2 CHAIRMAN WEISENMILLER: This passes 5-0. Thank  
3 you.

4 MR. MICHEL: Yeah.

5 CHAIRMAN WEISENMILLER: Let's go on to Item 9,  
6 Merced Community College District.

7 MR. MCLEOD: Good morning. I'm Barry McLeod with  
8 the Energy Efficiency Division's Local Assistance and  
9 Financing Office. We are seeking approval for Agreement  
10 004-17-ECG, an Energy Conservation Assistance Act loan --  
11 Education Subaccount loan, 0 percent loan for Merced  
12 Community College District for \$1,627,600.

13 The Madera Community College District has  
14 requested this loan to fund a photovoltaic combination  
15 ground and parking canopy mounting system at its Los Banos  
16 campus. The project cost is the full \$1,627,600. The  
17 District will be financing the entire project with these  
18 funds.

19 The 525.1 DC kW system is expected to reduce the  
20 annual purchased electricity by about 680,000 kWhs, thus  
21 saving the District approximately \$88,000 in the first  
22 year.

23 Energy Commission staff has determined that this  
24 loan is technically justified, and based on the loan amount  
25 and calculated simple payback is approximately 18.5 years

1 for this loan.

2 We are here seeking your approval and to answer  
3 any questions you may have.

4 CHAIRMAN WEISENMILLER: Thank you.

5 Are there any comments from anyone in the room or  
6 on the line?

7 (No audible response.)

8 CHAIRMAN WEISENMILLER: Okay, then we'll  
9 transition to the Commissioners. Commissioner McAllister?

10 COMMISSIONER MCALLISTER: Yeah, great. Thanks  
11 for the presentation and I'm fully in support of the  
12 project, certainly.

13 I did have a question and maybe we can follow up  
14 on this after the meeting. But the PV projects, energy  
15 efficiency is a wide diversity of projects and obviously PV  
16 can be different project configurations. If it has a  
17 canopy, it's a parking structure. So that increases costs.  
18 But I guess I'm wanting to ask sort of for some analysis  
19 about the variation in costs per kW, you know cost per  
20 capacity payback time of the various PV systems that we're  
21 financing through the ECAA and ECAA-ED programs. This  
22 one's relatively long. And there are others that are quite  
23 a bit shorter, so I'm kind of -- maybe we can unpack the  
24 drivers of those costs?

25 This was obviously within the terms of the ECAA

1 program, so there's no problem. I just want to ask you if  
2 you could maybe elucidate that or we can follow up later.

3 MR. MCLEOD: The difference in the cost of the  
4 canopy structure versus ground mounted?

5 COMMISSIONER MCALLISTER: Well, just the  
6 different factors that are driving costs. I mean I think  
7 we can imagine that's one of them, but there may be others  
8 that the various projects bring to the table. So it would  
9 be nice to sort of understand that.

10 MR. MCLEOD: All right. The canopy-mounted ones  
11 are not that much more expensive than the ground-mounted  
12 ones. It's just a matter of putting the system a little  
13 bit higher. And the canopy ones are going on top of the  
14 parking lot, so there's no ground distribution or  
15 disturbance. So the costs are fairly similar, from what I  
16 understand.

17 COMMISSIONER MCALLISTER: Okay, maybe we can  
18 follow up on that. I've noticed there have been some PV  
19 systems that we find that have had some ten-year paybacks,  
20 so that's a pretty big variation. So I do want to unpack  
21 that a little bit.

22 MR. MCLEOD: Okay.

23 COMMISSIONER MCALLISTER: But I'm fully  
24 supportive of the project, so I'll move this item.

25 COMMISSIONER HOCHSCHILD: Second.

1 CHAIRMAN WEISENMILLER: All those in favor?

2 (Ayes.)

3 CHAIRMAN WEISENMILLER: This passes 5-0. Thank  
4 you.

5 MR. MCLEOD: Okay. Thank you.

6 CHAIRMAN WEISENMILLER: Let's go on to Light-Duty  
7 Vehicle Hydrogen Refueling Infrastructure Operation and  
8 Maintenance Support.

9 MR. JENKS: Good morning, Chair and  
10 Commissioners. My name is Chris Jenks and I am with the  
11 Advanced Vehicle Technologies Office.

12 I am presenting 16 grant agreements for possible  
13 approval that would provide Operation and Maintenance  
14 funding under Grant Funding Opportunity GFO-17-601 for  
15 hydrogen refueling stations.

16 On August 25, 2017, the Alternative and Renewable  
17 Fuel and Vehicle Technology Program released the first-  
18 come, first-served GFO-17-601, Light-Duty Vehicle Hydrogen  
19 Refueling Infrastructure Operation and Maintenance Support  
20 Grants.

21 The purpose of this solicitation is to provide  
22 Operation and Maintenance support funding for publicly  
23 accessible hydrogen refueling stations that did not receive  
24 Operation and Maintenance support funding under Program  
25 Opportunity Notice PON-13-607, Hydrogen Refueling

1 Infrastructure, or which received only a portion of the  
2 potential \$300,000 in Operation and Maintenance support  
3 funding, on a station-by-station basis.

4 The purpose of offering Operation and Maintenance  
5 support is to ensure that hydrogen refueling stations  
6 remain operational during the rollout of fuel cell electric  
7 vehicles.

8 The 16 grant agreements being presented today are  
9 for stations that were delayed in becoming operational due  
10 to unforeseen circumstances, but are now operational and  
11 qualify for Operation and Maintenance funding under GFO-17-  
12 601. These agreements will require the stations to report  
13 details of their operation and maintenance to the Energy  
14 Commission for three years after the effective date of each  
15 agreement.

16 Staff is asking for approval of these 16  
17 agreements listed as a through p in Item 10. I'm happy to  
18 answer any questions you may have. Thank you.

19 COMMISSIONER DOUGLAS: All right, thank you.

20 Is there any --

21 COMMISSIONER MCALLISTER: Do we have any cards  
22 left?

23 COMMISSIONER DOUGLAS: Yeah, let's see here.  
24 We're on Number 10, so I've got a card for 10b, so that's  
25 Dwight Zuck. Are you here? It looks like it, come on

1 forward. I've got another one too.

2 MR. ZUCK: Thank you panel of distinguished  
3 Commissioners. And my name is Dwight Zuck with Air  
4 Liquide. We are one of those 17 stations on the list in  
5 Anaheim, California. We have several other projects behind  
6 it. So we're very -- like Commissioner Scott said earlier,  
7 there are a lot of moving parts in this and it did take --  
8 we knew we were putting something together that hadn't  
9 existed before and it took a few more challenges. So we do  
10 appreciate the extension of the good will and assistance as  
11 we ramp up the station and the supply chain. Thank you  
12 very much.

13 COMMISSIONER DOUGLAS: All right. Thank you very  
14 much. We've got it -- is there anyone else in the room  
15 who'd like to comment on Item 10? I've got a stack of four  
16 notes for folks on the phone who'd like to comment, so I'm  
17 going to start with Atabak Youssefzadeh, Ontario CNG  
18 Station. Are you on the line?

19 MR. YOUSSEFZADEH: Yeah, I'm on it. Can you hear  
20 me?

21 COMMISSIONER MCALLISTER: Yeah, we can hear you.  
22 Go ahead.

23 MR. YOUSSEFZADEH: Okay. Hi. My name is Atabak  
24 Youssefzadeh. I'm the Architect and a partner in the  
25 Ontario Hydrogen Project and I want to thank the

1 Commissioners for this time, as well as the California  
2 Energy Commission for this project.

3 Without their help, this project would not have  
4 been possible. This system is an electrolysis system,  
5 which is somewhat a complex project. And we had some  
6 unforeseen construction due to the City of Ontario. But  
7 now we are past that and we are ready for the operation.  
8 And I just want to thank you for your help and I hope that  
9 we get this renewed.

10 CHAIRMAN WEISENMILLER: Thank you.

11 MR. YOUSSEFZADEH: And I'm here to answer any  
12 questions.

13 CHAIRMAN WEISENMILLER: Thank you, very much.

14 Let's go to on to American Honda.

15 MR. ELLIS: Hello, can you hear me?

16 CHAIRMAN WEISENMILLER: Yes. Please go ahead.

17 (Audio cuts in and out during phone call.)

18 MR. ELLIS: Okay, great. My name is Steve Ellis.

19 I'm the Manager of Fuel Cell Marketing for the American  
20 Honda Motor Company. And I just wanted to thank  
21 Commissioner Scott, all Commission members and to  
22 (indiscernible) on behalf of American Honda Motor Company  
23 (indiscernible) with California. We thank the Energy  
24 Commissioner for its continued efforts and leadership to  
25 develop this (indiscernible) network.

1           Certainly we encourage (indecipherable) customers  
2 in the State of California (indiscernible) and today they  
3 are really showing the normal operation of (indiscernible)  
4 over 300-mile range driving (indiscernible) fueling.

5           We appreciate the Governor's basically doubling  
6 down vote to increase and accelerate (indiscernible) from  
7 the previous 100. To develop the confidence of our  
8 customers to (indiscernible) and provide normal operations  
9 just like (indiscernible).

10           We ask the State of California to do more and to  
11 help us more to move the northeast and upstate  
12 (indiscernible). I know that has nothing to do with this  
13 agenda item, but it's really critical that we really look  
14 at this as a national approach recognizing the fact that  
15 this is really the (indiscernible) in the State of  
16 California. (Indiscernible)

17           CHAIRMAN WEISENMILLER: Thank you.

18           Let's go on to FirstElement.

19           MR. STEPHENS: Hi. Can folks hear me okay?

20           CHAIRMAN WEISENMILLER: Yes.

21           (Audio cuts in and out during phone call.)

22           MR. STEPHENS: Great, well thank you. I'm Shane  
23 Stephens, the founder of FirstElement Fuel. We're a  
24 company (indiscernible) by California. My plan was to be  
25 there for you in person, but (indiscernible)

1           And I cannot state how helpful this operation  
2 (indiscernible) helping us achieve that part of  
3 (indiscernible). We have 11 fully dedicated individuals  
4 for services and 8 of those individuals are actually former  
5 Marines, so California veterans (indiscernible) As a  
6 result our True Zero hydrogen stations average  
7 (indiscernible) percent, 106,000 and (indiscernible).

8           So thank you again, for the element of support.  
9 (indiscernible) Thank you very much.

10           CHAIRMAN WEISENMILLER: Thank you.

11           Last is the California Fuel Cell Partnership.

12           (Audio cuts in and out during phone call.)

13           MR. GAGLIANO: Hi. Joe Gagliano with the Fuel  
14 Cell Partnership. I just wanted to reiterate our  
15 enthusiastic support for the O & M funding that is  
16 supporting the early market development and support of  
17 hydrogen fuel cell vehicles. (Indiscernible) We look  
18 forward to continue working with them in developing and  
19 reaching the goals in the Governor's ZEV Executive Order  
20 (indiscernible). Thank you very much.

21           CHAIRMAN WEISENMILLER: Thank you.

22           Any other comments from anyone on the line?

23           (No audible response.)

24           CHAIRMAN WEISENMILLER: Then let's transition to  
25 the full Commission. Commissioner Scott?

1                   COMMISSIONER SCOTT: Great, I want to say thank  
2 you for the enthusiastic support from our station  
3 developers and the O&Ms and the Fuel Cell Partnership as  
4 well as our sister state agencies.

5                   As you all know, we've got about 31, not about,  
6 we do have 31 hydrogen refueling open retail stations and  
7 there's another 29 under development. So we're making  
8 significant progress in standing up the hydrogen network,  
9 here in California. But we also recognize that we're still  
10 in the early market phase and that there's a lot of work to  
11 do. So the operations and maintenance support that's being  
12 provided here today through these grants is critical to  
13 ensuring that the stations remain operational, while the  
14 fuel cell electric vehicles are being deployed in  
15 California. And you heard that through some of the  
16 comments we just heard.

17                   These O & M grants help reduce the out-of-pocket  
18 costs for the station developers, as they work to build  
19 efficiencies in station development and the supply chains.  
20 And it helps us to ensure that we continue to build a  
21 robust hydrogen transportation market here in the state.

22                   So if you don't have questions, I will move  
23 approval of Item 10.

24                   COMMISSIONER MCALLISTER: I'll second.

25                   CHAIRMAN WEISENMILLER: All those in favor?

1 (Ayes.)

2 CHAIRMAN WEISENMILLER: This item passes 5-0.

3 Thank you.

4 Let's go on to Item 11, Biogas Energy.

5 MS. MAGANA: Okay. Good morning Chair and  
6 Commissioners. I'm Pilar Magaña with the Research and  
7 Development Division and I am presenting the following  
8 three items for consideration. These three items are  
9 proposed under General Funding, Climate Change,  
10 Transportation Research Development and Demonstration.

11 The following projects were selected under a one-  
12 time funding directive and are neither EPIC nor Natural Gas  
13 funds. The one-time expenditure authority for \$18 million  
14 is to support research to reduce petroleum use, drive  
15 greenhouse gas reductions and improve air quality from  
16 California's transportation sector.

17 The proposed projects are designed to inform  
18 near-term adoptions and implementation of low carbon fuels  
19 and to address critical research needs not addressed in  
20 current CEC research programs. While the ARFVT Program has  
21 focused on upgrading of biofuels, there is a need to focus  
22 on the conversions of waste feedstocks to an intermediate  
23 fuel that can be upgraded using existing infrastructures  
24 including refineries.

25 So this first item was selected under a

1 solicitation with the purpose of supporting the pilot-scale  
2 demonstration of thermochemical conversion systems that  
3 produce an intermediate fuel product, using California-  
4 based feedstocks with the goal of upgrading to low-carbon  
5 drop-in renewable diesel.

6           The project will fund installation and  
7 demonstration of an ablative fast-pyrolysis technology that  
8 takes a different approach from conventional reactors and  
9 is designed as a containerized system, enabling small,  
10 medium or large-scale deployment to be flexible with  
11 investment limitations and project-specific criteria such  
12 as feedstock availability and project location. The  
13 project aims to produce up to 1850 gallons of bio-oil per  
14 day from 20 tons per day of woodchips.

15           Currently, Western Placer Waste Management  
16 Authority is running the biomass through legacy combustion  
17 systems, which have inefficiencies and are also unable to  
18 handle the excess amounts of biomass being received. So by  
19 using an advanced thermochemical system being proposed, the  
20 Western Placer Waste Management Authority can operate a  
21 more efficient system and also create a useful product  
22 through the bio-oil production.

23           Project partners include California State  
24 University, Chico and the Joint BioEnergy Institute, who  
25 will perform measurement and verification work, while also

1 processing the bio-oil into swap-in vehicle fuel. Match  
2 funding is approximately \$1.7 million for this project.

3 And I'd be happy to answer any questions. And  
4 Brian Gannon from BioGas Energy is also here to answer  
5 questions.

6 CHAIRMAN WEISENMILLER: Oh, good.

7 So I was going to ask first if anyone in the room  
8 or on the phone wanted to speak on this item? Yeah. Come  
9 on up. Please.

10 MR. GANNON: Hello, my name is Brian Gannon. I'm  
11 the President of BioGas Energy. And I wanted to thank the  
12 Commission for this opportunity to demonstrate the  
13 technology. And especially thank the staff, who have been  
14 so helpful in helping us prepare for this grant  
15 application.

16 The dual problems we are addressing here are the  
17 mass tree mortalities in the forests that are going to  
18 cause huge problems if left unattended. So by harvesting  
19 that wood waste, we still need something to do with it. So  
20 our technology intends to take that wood waste and make a  
21 bio-oil from that, using the ablative fast-pyrolysis  
22 technology. That bio-oil then can be refined in  
23 conventional refineries like the Chevrons or the BPs, into  
24 a low-carbon diesel replacement.

25 So we think that this is going to apply to the

1 low carbon fuel standard, make renewable fuel while  
2 addressing that massive problem of the tree mortalities in  
3 the forests. Thank you. If you have any questions, please  
4 let me know.

5 CHAIRMAN WEISENMILLER: Well, thank you. Anyone  
6 else on the phone?

7 (No audible response.)

8 CHAIRMAN WEISENMILLER: Then transition to the  
9 Commissioners.

10 I was going to say the next three are fairly  
11 interesting projects for us. As you know, we have EPIC and  
12 we have PIER Natural Gas, but we have done little research  
13 in the transportation area. And so this was sort of a one-  
14 time allocation of funding we got to do transportation  
15 research. I think the notion was to try to step up that  
16 area.

17 We're concerned obviously that the oil industry  
18 is not doing as much research on alternative fuels, low  
19 carbon alternative fuels, as necessary. So anyway, this is  
20 a great opportunity for us.

21 So can we move?

22 COMMISSIONER SCOTT: I'll move approval of Item  
23 11.

24 COMMISSIONER HOCHSCHILD: Second.

25 CHAIRMAN WEISENMILLER: All those in favor?

1 (Ayes.)

2 CHAIRMAN WEISENMILLER: This passes 5-0. Thank  
3 you.

4 The next one?

5 MS. MAGANA: Okay. The next project is with  
6 Lawrence Berkeley National Lab's Joint Bioenergy Institute  
7 through a Federal Cost Share Solicitation. The purpose of  
8 this solicitation was to provide funding to applicants that  
9 were successful in receiving federal funding. This project  
10 was successful in securing approximately \$120 million for  
11 the development of a bioenergy research center.

12 The Joint Bioenergy Research Center will support  
13 the production expansion of viable and sustainable domestic  
14 nonfood plant biofuels that are economically viable, ensure  
15 future energy security, reduce greenhouse gases to mitigate  
16 climate impacts and have the potential to create jobs in  
17 rural areas.

18 The CEC-funded portion of this project will focus  
19 on research and optimization of the deconstruction and  
20 conversion of sugars using California-based feedstocks for  
21 advanced biofuel production that can be used in internal  
22 combustion systems or used as a gasoline replacement.

23 LBNL will focus on the microbial production  
24 potential of advanced biofuels with an ultimate goal of  
25 achieving a cost for the advanced biofuel of \$2.50 per

1 gallon within the next 7-to-9 years and will include scale-  
2 up up work that will be carried out at California-based  
3 biofuel production facility. Life-cycle assessment and  
4 techno-economic analysis of the technical results and  
5 performance will be carried out to ensure the conversion  
6 pathway meets all California low carbon fuel standard  
7 requirements.

8           The Joint Bioenergy Institute will be partnering  
9 with Sandia National Labs for strain optimization and  
10 Aemetis for the scale-up activities. We'd be happy to  
11 answer any questions.

12           CHAIRMAN WEISENMILLER: Thank you.

13           So is there any more comments from anyone in the  
14 room or on the line?

15           (No audible response.)

16           CHAIRMAN WEISENMILLER: We'll go ahead and  
17 transition to Commissioners. Again, this same thing, but  
18 this is I think the project any of us know at LBL, which is  
19 certainly interesting. It was good to be able to do some  
20 funding to get down to the second round. So anyways, do we  
21 have a motion?

22           COMMISSIONER DOUGLAS: I move approval of this  
23 item.

24           COMMISSIONER MCALLISTER: I'll second.

25           CHAIRMAN WEISENMILLER: All those in favor?

1 (Ayes.)

2 CHAIRMAN WEISENMILLER: This passes 5-0. Great.  
3 Let's go on to 13.

4 MS. MAGANA: Okay. This agreement is with West  
5 Biofuels and was selected under a solicitation that focused  
6 on the pilot-scale production of a drop-in intermediate  
7 that can be used for upgrading to renewable jet fuel.

8 Renewable jet fuel is a promising near-term  
9 option for emission reductions in the aviation and military  
10 sectors. In order to reduce emissions for jet fuel  
11 applications in a short period of time, the industry needs  
12 an option that can be integrated into existing fueling  
13 infrastructure. Because the development and implementation  
14 process for aviation technologies is far more extensive.  
15 This solicitation and project will focus on finding an  
16 alternative low-carbon solution for a sector that currently  
17 has limited options.

18 So for this project, West Biofuels will partner  
19 with the National Renewable Energy Laboratory and UC San  
20 Diego to conduct research and pre-commercial demonstration  
21 of an innovative thermochemical conversion process called  
22 catalytic fast-pyrolysis, which is a fast, efficient and  
23 feasible method for converting lignocellulosic biomass to  
24 bio-oil by upgrading a dual bed gasification system.

25 While West Biofuels has demonstrated successful

1 performance of this system with California biomass at the  
2 lab scale, they will look now to demonstrate the technology  
3 at the pre-commercial level, and will be the first  
4 California bio-oil intermediate production facility using  
5 this process. By successfully demonstrating the  
6 modifications of a commercial gasification system, the  
7 project establishes the pathway to upgrading existing  
8 gasification facilities to advanced thermochemical systems  
9 to produce bio-oil. West Biofuels will be providing  
10 approximately 1.3 million in match funding.

11           And I'd be happy to answer any questions and Matt  
12 Hart, I believe, is also here from West Biofuels to answer  
13 any.

14           CHAIRMAN WEISENMILLER: Great, thank you.

15           So anyone in the room want to make any comments  
16 or anyone on the phone?

17           (No audible response.)

18           CHAIRMAN WEISENMILLER: Okay, we will transition  
19 to the Commissioners.

20           Again, this is a unique project in the sense that  
21 we're actually doing R&D on it in the local refuels area.  
22 And certainly it's good to see the strength of the  
23 applications we've gotten out of that.

24           COMMISSIONER HOCHSCHILD: Great.

25           COMMISSIONER SCOTT: This one's particularly

1 exciting. They're all great projects, but I like the jet  
2 fuel component as well to this one. So I'll move approval  
3 of Item 13.

4 COMMISSIONER MCALLISTER: I'll second.

5 CHAIRMAN WEISENMILLER: All those in favor?

6 (Ayes.)

7 CHAIRMAN WEISENMILLER: This passes 5-0. Thank  
8 you.

9 MS. MAGANA: Thank you.

10 CHAIRMAN WEISENMILLER: So let's go on to 14, yes  
11 Michael?

12 MR. SOKOL: All right, good morning Chair and  
13 Commissioners. I'm Michael Sokol and I'm here to provide a  
14 brief update on SB 350 implementation. So just to recap,  
15 there were some key milestones for SB 350 implementation on  
16 today's Business Meeting agenda that you voted to adopt  
17 earlier. And I just wanted to quickly run through those  
18 starting with the Disadvantaged Community Advisory Group,  
19 which adoption today represents a key milestone. And then  
20 subsequently consideration by the CPUC will mark the  
21 formation of this group, which will start convening later  
22 this year to provide recommendations back to us on proposed  
23 clean energy and pollution reduction programs and their  
24 impacts on disadvantaged communities.

25 Secondly, I wanted to mark the Title 20 data

1 collection regulations, which as noted by the Commissioners  
2 have significant impacts and are a key element of the  
3 Energy Commission's data strategy in supporting potential  
4 policy improvements in the future. Supporting 350 energy  
5 efficiency doubling. And really supporting a broad range  
6 of the 2030 energy and greenhouse gas emission reduction  
7 goals for the State of California. Also, supporting future  
8 improvements to the statewide demand forecast, which was  
9 another item voted to adopt today.

10           Lastly, but certainly not least, I wanted note  
11 the 2017 Integrated Energy Policy Report, which was adopted  
12 today. And as you all know and as you heard there was a  
13 key focus on SB 350 implementation in this year's IEPR and  
14 so I just wanted to acknowledge all the great work from  
15 Heather and the team as the Commissioners already noted.  
16 But that was also a key element for tracking progress on SB  
17 350 implementation and highlighting additional next steps  
18 that are going to be needed to really make sure that vision  
19 laid out by SB 350 becomes a reality over the next 12 years  
20 here.

21           So in addition to those deliverables, I wanted to  
22 highlight a couple of key upcoming activities for the  
23 Commissioners. Starting with on next Friday, March 2nd, a  
24 workshop hosted by the California Air Resources Board in  
25 coordination with the Energy Commission and the Public

1 Utilities Commission that's focused on kicking off a formal  
2 process to establish greenhouse gas emission reduction  
3 targets for the state's utilities and load-serving entities  
4 for use in our integrated resourcing planning efforts. And  
5 so we've been working closely with the Air Board and the  
6 Public Utilities Commission on this effort. Including a  
7 couple of workshops we held early last year with some of  
8 our stakeholders to kind of inform the background and lay  
9 out some of the context leading up to this formal process.

10           The second item I wanted to note was, as the  
11 Chair mentioned earlier, the draft Energy Equity Indicators  
12 Tracking Progress Report. It is currently in the final  
13 stages of internal review and we intend to post that along  
14 with a request for comments within the next week here. So  
15 we really encourage stakeholders to keep an eye out for  
16 that and provide feedback to us as we look to refine those  
17 indicators and those tracking progress in subsequent  
18 cycles.

19           So without going into any great detail, I do just  
20 want to acknowledge all the great staff work and countless  
21 hours that have gone into getting these deliverables to  
22 adoption today. And then with that I'm going to go ahead  
23 and pause and would be happy to answer any questions or  
24 else turn it over to the Commissioners for conversation.

25           CHAIRMAN WEISENMILLER: Okay. Yeah. Okay,

1 thanks, Michael.

2 Let's go on to the minutes.

3 COMMISSIONER DOUGLAS: Move approval of the  
4 minutes.

5 COMMISSIONER MCALLISTER: Second.

6 CHAIRMAN WEISENMILLER: All those in favor?

7 (Ayes.)

8 CHAIRMAN WEISENMILLER: Minutes passed 5-0.

9 Lead Commissioner and Presiding Member Reports;  
10 Commissioner Scott?

11 COMMISSIONER SCOTT: Great. Just one report for  
12 you all. I was fortunate enough to have the opportunity to  
13 go over to Berlin, Germany for the -- imagine Deutsch  
14 right, so D-E and then C-A for California, so DECA,  
15 Decarbonize Transport Conference. It was put on by our  
16 friends at ITS UC Davis and their compatriot think tank  
17 organization Agora in Germany. And it was a great  
18 opportunity to hear what the folks in Berlin are thinking  
19 about transportation, to talk about what California is  
20 doing, especially what the Energy Commission is doing in  
21 terms of transforming our transportation system in getting  
22 electric vehicles out there and working in hydrogen fuel  
23 cells and hydrogen fueling.

24 It was an interesting time in Germany, because  
25 there's a new government there. And they had not yet put

1 together their platform, so they couldn't really talk to us  
2 in specifics about what the plans were going forward except  
3 that, of course, they are working very hard to meet our  
4 global climate change goals. And they also have clean air  
5 issues that they are working on and so are very interested  
6 in decarbonizing transportation.

7           There were quite a few folks who had been part of  
8 our California-Germany Summit right after the CAISO  
9 Symposium last year. They're really excited to partner  
10 with us, looking forward to working with us again on  
11 putting together a second summit for next year or for later  
12 this year.

13           And there's a lot of excitement and interest for  
14 Governor Brown's Climate Energy Summit. People are  
15 thinking about what types of delegations, what types of  
16 groups to put together to bring to that summit. I mean,  
17 we're super excited about that. Many were working with  
18 Chair Weisenmiller, with your Advisor, Kevin, and so I  
19 encouraged them to continue to do that.

20           And then I had the opportunity to represent the  
21 Governor's Office in Oslo at the Nordic EV Summit. This  
22 was really exciting. There were more than 300 people there  
23 from over, I believe 70 countries. And in Oslo what's  
24 really exciting about Norway is in December they had 50  
25 percent of sales were plug-in electric vehicles, 40 percent

1 of that are battery electrics, and then another 10 percent  
2 was plug-in hybrid electric vehicles. So to just see, and  
3 that's a huge jump over the last two to three years where  
4 they were probably more around 5 percent of sales. So it's  
5 been a huge jump in a very short amount of time.

6 To look at some of the awareness numbers, more  
7 than 80 percent of people in Norway are aware of electric  
8 vehicles, have been in one, have seen the charging for  
9 them, know about them, have considered buying them. And  
10 that is what we are looking to do in California, so it was  
11 great to have an opportunity to hear what they have done,  
12 how they have done it, trade some notes on what we're  
13 doing. They still have challenges, as you can imagine,  
14 with multifamily buildings and dense city centers making  
15 sure that you get enough charging infrastructure the same  
16 way that we do. But then to hear what some of the other  
17 Nordic countries were doing, hear about what India's doing,  
18 what China's doing on electric vehicles, kind of all around  
19 the world was a very exciting opportunity.

20 And I was delighted to have the opportunity to  
21 represent what California is doing there. So start, you  
22 know, my presentations with a photo of Governor Brown,  
23 talking about climate change just in case anyone wonders  
24 where California is on this. And then talk about the  
25 importance of decarbonizing our transportation sector to

1 meet those goals, and some specifics about what California  
2 is doing.

3           As you all know, a few Fridays ago, gosh almost a  
4 month now, Governor Brown issued a new Executive Order, so  
5 we will go from 1.5 million zero emission vehicles in 2025  
6 to 5 million zero emission vehicles in 2030. One of the  
7 most exciting parts to my mind is that he also put in place  
8 an infrastructure goal, so for 250,000 chargers by 2025  
9 including 10,000 fast chargers. And also to have 200  
10 hydrogen refueling stations by 2025. So the Energy  
11 Commission will have our sleeves rolled up. We're going to  
12 get going on that, but it was exciting to have some news  
13 hot off the presses to announce while I was doing those  
14 travels.

15           So that's just a quick summary of what I've been  
16 up to.

17           COMMISSIONER MCALLISTER: Okay, that's exciting.

18           Yeah, just quickly I guess, the highlight of my  
19 last month or so. I did spend a week in Washington at a  
20 couple of Board meetings for NASEO, the National  
21 Association of State Energy Officials, and Alliance to Save  
22 Energy that happened to have their board meetings the same  
23 week. And took advantage to do some meetings with Leg  
24 staff and obviously many of our counterparts in other  
25 states. Kind of socializing a lot of what Commissioner

1 Scott just talked about, you know, and the big goals that  
2 we have on the transportation front, electrification front,  
3 and just all the big policy movement that's happening here.

4 I always get a lot of jaw dropping from the other  
5 states when I talk about the numbers, you know, 900  
6 million, 500 million. Those are numbers that other states  
7 just don't have, so they're looking to us. And even purple  
8 states, red states, blue states, all are really interested  
9 in what we're doing, so I just wanted to convey that back  
10 here.

11 At the federal level it's largely defensive  
12 plays, trying to keep bad things from happening. And the  
13 Democratic staff understand that and are interested in our  
14 views and I think are strategizing about how to sort of  
15 keep backsliding from happening, so that's an ongoing  
16 conversation.

17 And then a lot of positive movement and  
18 coordination across other states to sort of take up the  
19 slack in terms of appliance efficiency standards and state  
20 level building codes and just aspirational goals that the  
21 various states have and are interested in collaborating  
22 much more proactively.

23 On appliance efficiency standards actually,  
24 there's kind of a wave of local, state level legislation to  
25 codify existing federal efficiency standards, so that if

1 those weaken then they don't weaken at the state level.  
2 There are probably ten or twelve states that are in a space  
3 where we're all kind of working together to figure out how  
4 to make a block that's bigger than just the West Coast,  
5 sort of more than just California. And that way go ahead  
6 and keep moving markets, because that'll do it. If a bunch  
7 of states get together that'll be a very clear signal to  
8 the market that they need to move forward.

9           So there's some model laws passing. New York is  
10 considering one that essentially would put in place at  
11 NYSERDA an activity like our appliance standards and give  
12 them more legal authority. So that's an effort at the  
13 state level of Vermont and other states have been passing  
14 model legislation to codify some of their standards. And  
15 so it's an effort, so I think it's exciting and it's sort  
16 of a cross-state effort that's really positive. And we're  
17 building a lot of relationships that I think will continue  
18 on regardless of where the federal direction happens to go.

19           I guess that's all I'll say this week or this  
20 month.

21           COMMISSIONER DOUGLAS: I'll just report briefly.  
22 I had the opportunity to speak at the VerdeXchange in  
23 January, late January on the climate adaptation sea-level  
24 rise topic. And it was a chance to talk about Cal-Adapt  
25 and recent improvements made to Cal-Adapt and also other

1 tools available that allow us to better model and  
2 understand those impacts and others and help foster  
3 resiliency. So that a nice event.

4 COMMISSIONER HOCHSCHILD: Well, first I just want  
5 to say I'm thrilled to welcome Terra Weeks as my new  
6 Adviser. And actually, Terra, if you could just come up  
7 and say a few words about your background. It's great to  
8 have you on the team.

9 MS. WEEKS: Hi Chair and Commissioners, I am  
10 thrilled to be here. Some of you may recognize me from my  
11 time as a Fellow when I was in graduate school two summers  
12 ago working in Commissioner Hochschild's office. But I am  
13 excited to be back on the team full-time, I came on just  
14 about three-and-a-half weeks ago now. And my background is  
15 a mix of renewable energy, kind of technology and policy,  
16 so I have spent some time working in the solar industry for  
17 solar marketing startup in the Bay Area. And then went on  
18 to work for the City of San Francisco in the Department of  
19 the Environment on their renewable energy program. And a  
20 lot of my work there centered around local reach codes  
21 going above state code on renewable energy projects.

22 And most recently, I was working for Elemental  
23 Excelerator, which is a clean tech accelerator focused  
24 primarily on energy startups. But they take a systems  
25 approach, so also take a look at transportation, water,

1 agriculture, etcetera. And I helped scale a team in Palo  
2 Alto, which they just launched this year, which is focused  
3 on increasing access to innovation in disadvantaged  
4 communities. So I'm excited to apply some of my background  
5 here at the Energy Commission.

6 COMMISSIONER HOCHSCHILD: So we're thrilled  
7 Terra's going to be hitting a lot of homeruns for us in the  
8 months and years ahead. And she joined Drew and I on a  
9 visit to Stanford recently. I'm very pleased to report we  
10 have over 100 applicants for the Stanford Fellowship  
11 Program, which is how we got Terra. And I've instructed  
12 Terra to get the very best folks to come to the Energy  
13 Commission this summer. And I want to thank Drew for  
14 joining me for that visit as well.

15 I just want to say a few words about the solar  
16 tariff. I've said this publicly in every speech I've given  
17 every week since it happened, but I just want to share my  
18 perspective with my colleagues a little bit. This is a 30  
19 percent increase in the price of solar cells. It has  
20 already had a very, very negative effect on pricing,  
21 because the industry rightly regarded this as being the  
22 likely outcome six months ago when the process began. And  
23 so what's happened is everybody went and forward procured,  
24 prices went way up, so we've seen an uptick in solar  
25 prices. And the Solar Job Census just came out and we've

1 dropped from 100,000 solar jobs to 86,000 in California.

2           It is obviously very selective to do this,  
3 because everybody in this room and in the state practically  
4 has a cell phone. We're not manufacturing any cell phones  
5 in the United States. Nobody is slapping a 30 percent  
6 tariff on imported cell phones, so this is a big self-  
7 inflicted wound. And it will set back the clock although  
8 not change the ultimate destination for us. And it just  
9 remains a big hurdle. There's layoffs going on right now  
10 at companies in California like SunPower and others that  
11 are dealing with. Even companies that are manufacturing as  
12 SunPower is, in part in California. So I just highlight  
13 that, because it was a major, major event in the renewables  
14 industry.

15           I also just want to thank my colleague,  
16 Commissioner Douglas, who led a very fruitful discussion on  
17 offshore wind with this task force with a number of  
18 different parties. And one of the highlights there is  
19 looking ahead. You know, basically there's consensus in  
20 the offshore wind industry from the heavyweights: Siemens  
21 Gamesa and Trident and Statoil that within the next five  
22 years or so they're going to be at 12 megawatt turbines.  
23 That's where the industry is headed as a minimum and some  
24 are saying as high as 15, so that really is good to kind of  
25 just calibrate on.

1           Then the last thing, I went at the Chair's  
2 request to cover an event in Squaw Valley. They just  
3 became the first -- I believe the first ski resort, not  
4 just in the state but in the world, to commit to get to 100  
5 percent renewable energy, which they're doing in concert  
6 with Tesla. And we will be having the cofounder of Tesla,  
7 JB Straubel, in April here to come talk to staff about the  
8 results of the Australia Tesla Storage Project, which is  
9 the largest lithium ion battery storage project in the  
10 world. And they have some actually, I think encouraging  
11 results on grid reliability and ancillary services as a  
12 result of that.

13           And I think that's it for me.

14           CHAIRMAN WEISENMILLER: I was just going to start  
15 out by, of course, thanking Diane for helping us get the  
16 fellows. And I'm just going to hit a bunch of topics that  
17 I'm sort of involved in lately.

18           I went to VerdeXchange with -- well I guess Janea  
19 was the one who missed that and they missed her. They kept  
20 asking about you, but again it's -- to the extent so much  
21 of California is south of Wilshire Boulevard it's a good  
22 opportunity for us to interact with that segment of  
23 California.

24           There was an EPIC event too, where we basically  
25 had an all-day event with the utilities walking through the

1 R&D's projects. Nancy Skinner did a kickoff, again very  
2 well attended, like 600 people. So again that was sort of  
3 built over time the ways to showcase what EPIC is doing and  
4 that was a nice good step forward.

5 We also had an event in Silicon Valley that week  
6 on the China-California Clean Tech group, brought together  
7 a number of the state incubators to talk about the  
8 opportunities of working together with China on clean tech.

9 Associated with that actually CFIUS, which is the  
10 group in D.C. that evaluates any international investments  
11 and infrastructure in the U.S., has really tightened up  
12 quite a bit what they do in terms of anyone other than the  
13 Americans buying an infrastructure and anyone building  
14 anything near a base. And so we actually got the first  
15 project through or helped Wilson & Walsh get the first  
16 project through. KEPCO is buying some of the recurrent  
17 projects that are dealing with the much more stringent  
18 security mitigation plans now.

19 So that was good. I met with Commissioner  
20 Peterman. We had a group meeting on storage. And I met  
21 with Commissioner Randolph on adaptation. Obviously with  
22 the fires we're dealing with adaptation issues on a real-  
23 time basis and sort of moving from academic studies to how  
24 do you respond to what's happening in Northern and Southern  
25 California this year or last year. So it's a busy time.

1           So let's go on to Chief Counsel's Report.

2           MS. VACCARO: So I have two items. I'll cover  
3 the first and then I'll leave it to you to cover the  
4 second, which will be announcing that we will be going into  
5 a closed session today.

6           CHAIRMAN WEISENMILLER: Right.

7           MS. VACCARO: And the first item is that I am  
8 very pleased to let you know that there's been a  
9 transition. Bill Dietrich, who spent quite a bit of time  
10 in the Efficiency Division as both a supervisor and an  
11 office manager, has joined the Chief Counsel's Office.  
12 Bill is over here in the far corner.

13          CHAIRMAN WEISENMILLER: Hello, Bill.

14          MS. VACCARO: And those of you who know him know  
15 he has extraordinary technical skills and a very keen mind.  
16 And we are so pleased to have him join the Chief Counsel's  
17 Office and the Transactions Unit. So welcome, Bill.

18          CHAIRMAN WEISENMILLER: Well, welcome.

19          MR. DIETRICH: (Indiscernible.)

20          CHAIRMAN WEISENMILLER: Yeah, and after we go  
21 through the Executive Director and Public Adviser Report  
22 and public comments then I'll announce we're going into  
23 closed sessions. So let's go on to Executive Director  
24 Report.

25          MR. BOHAN: Hi. Just two quick announcements.

1 First, it's not even been two months since Courtney Smith  
2 started as Chief Deputy and she's already making a  
3 tremendous impact. So I really want to thank her, however  
4 she left a void in the Renewable Energy Division. And we  
5 had lots of applications for the Chief Deputy job and then  
6 lots of applications for the Renewable Energy Division  
7 Lead. And I'm pleased to see the interest we got and  
8 emerging from the group was Natalie Lee, who you all know.  
9 But she's just been a tremendous force in the Division for  
10 the last several years, worked closely with Courtney. And  
11 it makes for a nice transition to have her just step into  
12 the lead role, so thank you very much.

13 CHAIRMAN WEISENMILLER: Okay. Great.

14 Public Adviser Report?

15 MS. MATHEWS: Two things I just want to highlight  
16 is last month I had the opportunity to go to the Community  
17 Choice Aggregate Supplier Diversity Symposium and that was  
18 a good opportunity to share some of our AD 65 (phonetic)  
19 diversity initiatives for diverse business enterprises.  
20 And let them know about the funding opportunities we have  
21 at the Commission.

22 And then this week I will be attending the first  
23 of three energy and environmental symposiums sponsored by  
24 the Environmental Defense Fund in partnership with the  
25 Strategic Growth Council and California Air Resources

1 Board. And they're going to focus on raising environmental  
2 and energy equity issues in disadvantaged communities,  
3 particularly communities of color.

4 CHAIRMAN WEISENMILLER: Great.

5 Any public comment?

6 Okay. Then the Commission will now go into  
7 closed session as specified in Agenda Items 17c and e.  
8 Specifically, Item 17 provides notice the Commission will  
9 adjourn to closed session with its Legal Counsel pursuant  
10 to Government Code Section 11126(e) (1) to discuss the  
11 following litigation to which the Energy Commission is a  
12 party. Item 17c *Energy Commission v. Electricore, Inc. and*  
13 *ZeroTruck* and Item 17e *National Electrical Manufacturers v.*  
14 *Energy Commission.*

15 We anticipate returning to open session at about  
16 1:00 o'clock. That's an estimate and good.

17 (Adjourned to Closed Session at 11:41 a.m.)

18 (Return to Open Session at 1:02 p.m.)

19 COMMISSIONER DOUGLAS: All right, 1:00 o'clock in  
20 the afternoon. We're back on the record. We've completed  
21 our closed session. We don't have any reports and with  
22 that, this Business Meeting is adjourned.

23 (Adjourned the Business Meeting at 1:02 p.m.)

24 --oOo--


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of March, 2018.



---


PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of March, 2018.



---

Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852