

DOCKETED

Docket Number:	19-IEPR-06
Project Title:	Energy Efficiency and Building Decarbonization
TN #:	228308
Document Title:	Transcript of 04082019 California Public Utilities Commission and California Energy Commission Joint Agency Workshop
Description:	CALIFORNIA PUBLIC UTILITIES COMMISSION AND CALIFORNIA ENERGY COMMISSION JOINT AGENCY WORKSHOP ON BUILDING DECARBONIZATION
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	5/17/2019 1:12:50 PM
Docketed Date:	5/17/2019

BEFORE THE
CALIFORNIA ENERGY COMMISSION

CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 19-IEPR-06
)
2019 IEPR Joint Agency Workshop)
on Building Decarbonization)
_____)

**CALIFORNIA PUBLIC UTILITIES COMMISSION AND
CALIFORNIA ENERGY COMMISSION
JOINT AGENCY WORKSHOP ON
BUILDING DECARBONIZATION**

LA KRETZ INNOVATION CENTER AUDITORIUM
LOS ANGELES CLEAN TECH INCUBATOR
525 S. HEWITT STREET
LOS ANGELES, CALIFORNIA

MONDAY, APRIL 8, 2019

9:30 A.M.

Reported By:
Martha Nelson, CERT # 00367
CALIFORNIA REPORTING, LLC
229 Napa St., Rodeo, California 94572 (510) 313-0610

APPEARANCES

Commissioners

Andrew McAllister, Commissioner, California Energy Commission

Janea Scott, Vice Chair, Lead Commissioner for the 2019 IEPR, California Energy Commission

Michael Picker, President, California Public Utilities Commission

Genevieve Shiroma, Commissioner, California Public Utilities Commission

Keynote Speaker

Senator Henry Stern

Los Angeles Cleantech Incubator (LACI)

Matt Peterson, CEO

Staff Present

Nidhi Thakar, Chief, Strategy and External Affairs, California Public Utilities Commission

Bryan Early, Advisor to Commissioner McAllister

Joseph Smith

Tiffany Mateo, Mechanical Engineer

Panel Members

Amber Mahone, E3, Moderator

Eddie Rosales, Energy Specialist, California Energy Commission

Panama Bartholomy, Director, Building Decarbonization Coalition

George Minter, Regional VP of External Affairs and Environmental Strategy, SoCalGas

Dominique Hargreaves, Mayor's Office of Sustainability,
Moderator

Kathryn Harrison, Councilmember, City of Berkeley
APPEARANCES (Cont.)

Panel Members (Cont.)

Obadiah Bartholomy, EER&D and Climate Change Program
Manager, SMUD

Rachel Kuykendall, Senior Program Manager, Sonoma Clean
Power

Rory Cox, CPUC Energy Division, Moderator

Merrian Borgeson, Senior Scientists, Natural Resources
Defense Council

Howard Merson, Consulting - Supply Chain Specialist,
VEIC

Sean Armstrong, Managing Principal, Redwood Energy

Kevin Wood, Principal Manager, Engineering Services,
Southern California Edison

Public Comment

Jerry Acosta, Utility Workers of America

John Hakel, Southern California Partnership for Jobs

Lilly Rocha, Latino Restaurant Association

David Campbell, United Steel Workers Local 675

Kyle Cherrick, Pick My Solar

Jon Switalski, Californians for Balanced Energy
Solutions

Harvey Eder, Public Solar Power Coalition

Armando Flores, Valley Industry & Commerce Association

Milton Davis, Utility Workers of America Local 132

Jorge Soto, Utility Workers of America Local 132

Andrea Leon Grossman, (Phonetic)

John Harreo, (Phonetic), IBEW Union Electrician

APPEARANCES (Cont.)

Public Comment

Jose Sullivan, National Electrical Contractors Association

Art Thomas, SoCalGas

Eric Hoffman, Utility Workers of America Local 132

Tony Duran, SoCalGas

Ernie Shaw, Utility Workers of America Local 132

Xavier Goucher, (Phonetic)

Nicole Corel, (Phonetic), Utility Workers of America Local 132

Diane Moss, Consultant

Douglas Docherty (Phonetic)

Laura Garcia, Communities for a Better Environment

Juan Gonzalez, SoCalGas

Luis Portillo, Inland Empire Economic Partnership

Min Lee, (Phonetic), L.A. County

Robert Fortunato, Green Idea House

Ken Hunt

Ralph Dinall (Phonetic), Goodling Institute

Anabella Fastilla, (Phonetic)

Carlo De La Cruz, Sierra Club

Bruce Severance

Andy Schrader, (Phonetic)

Kito Singleton, UWUA Local 522

CALIFORNIA REPORTING, LLC

229 Napa St., Rodeo, California 94572 (510) 313-0610

Jennifer Ganata, Communities for a Better Environment

INDEX

	Page
Keynote - Senator Henry Stern	9
Welcome - Matt Petersen, CEO, Los Angeles Cleantech Incubator (LACI)	19
Introduction - President Michael Picker, California Public Utilities Commission (CPUC) and Commissioner Andrew McAllister, California Energy Commission (CEC)	22 28
Panel - The Big Picture	32
Moderator - Amber Mahone, E3	
Eddie Rosales, Energy Specialist, California Energy Commission	
Panama Bartholomy, Director, Building Decarbonation Coalition	
George Minter, Regional VP of External Affairs and Environmental Strategy, SoCalGas	
Panel - Local Leadership in Building Decarbonization	87
Moderator - Dominique Hargreaves, Los Angeles Mayor's Office	
Kathryn Harrison, Councilmember, City of Berkeley	
Obadiah Bartholomy, EE R&D and Climate Change Program Manager, SMUD	
Rachel Kuykendall, Senior Program Manager, Sonoma Clean Power	
Panel - Proposed Approaches to Implementing SB 1477	147
Moderator - Rory Cox, CPUC Energy Division	
Merrian Borgeson, Senior Scientist, Natural Resources Defense Council	
Howard Merson, Consulting - Supply Chain Specialist, VEIC	
Sean Armstrong, Managing Principal, Redwood Energy	
Kevin Wood, Principal Manager, Engineering Services,	

CALIFORNIA REPORTING, LLC

229 Napa St., Rodeo, California 94572 (510) 313-0610

Southern California Edison

INDEX (Cont.)

	Page
Adjournment	232
Reporter's Certificate	233
Transcriber's Certificate	234

1

P R O C E E D I N G S

1
2 APRIL 8, 2019

9:30 A.M.

3 MS. THAKAR: Good morning, everyone. Good
4 morning, good morning, welcome to the Los Angeles
5 Cleantech Incubator.

6 So, I'm Nidhi Thakar. I'm with President
7 Picker's office at the California Public Utilities
8 Commission. I'll be your MC for today's workshop.

9 So, welcome to the Joint Workshop hosted by the
10 CPUC and the California Energy Commission on Building
11 Decarbonization.

12 We're pleased to welcome you to this workshop,
13 which is intended to develop a shared understanding of
14 key policy issues related to building decarbonization,
15 learn from actions taken by local agencies, and consider
16 possible approaches for implementation of SB 1477.

17 I have a couple of housekeeping announcements
18 before I do some introductions this morning. So, we
19 have -- this is being -- the workshop today is being
20 webcasted and we have a microphone in the center of the
21 room. Please note that all of your conversations will
22 be picked up by that microphone on WebEx. So, I ask if
23 you have any conversations that you take them outside of
24 the amphitheater to ensure that our folks on the webinar
25 and webcast can hear us okay.

1 Also, our court reporter is seated to my left,
2 in the green. If she has any trouble hearing, she will
3 ask for us to take a pause and get order of the room
4 again.

5 So, with that I will make some introductions.
6 So, we have a packed agenda today. I'd like to
7 recognize some folks in the room today.

8 To my left we have Senator Henry Stern, who I
9 will introduce very shortly.

10 (Applause)

11 MS. THAKAR: Senator Stern will be providing our
12 keynote this morning, followed by a welcome from Matt
13 Peterson who is the CEO of the Los Angeles Cleantech
14 Incubator, also known as LACI.

15 And I would like to recognize some of the
16 Commissioners we have in the room here. In front of me,
17 moving from my right to left, we have Commissioner
18 McAllister with the California Energy Commission.
19 Commissioner Janea Scott, with the CEC. Commissioner
20 Shiroma with the CPUC, our newest PUC Commissioner,
21 which we are very happy to have. And President Michael
22 Picker with the CPUC.

23 (Applause)

24 MS. THAKAR: We're also joined by a number of
25 CEC and PUC staff that worked incredibly hard to pull

1 this workshop together today, so thank you to all.

2 And with that, I would like to introduce our
3 first speaker today who, really, honestly needs no
4 introduction, Senator Henry Stern.

5 Senator Stern was the key author and sponsor of
6 SB 1477 and so we are really pleased to have him here
7 today. He's a sixth generation Californian and native
8 of the district. He credits his passion for public
9 service as a family trait. His diverse history includes
10 farming and ranching, music and film, and a steadfast
11 commitment to helping young people fulfill their
12 potential.

13 Senator Stern was elected to represent the 27th
14 District, which includes parts of L.A. and Ventura
15 Counties, on November 8th, 2016. Senator Stern is also
16 a very active of his community and enjoys volunteering
17 at the local Boys and Girls Club, and is a member of the
18 Santa Monica Mountains Conservancy Advisory Committee,
19 the Jewish Federation, the American Jewish Committee and
20 the Truman National Security Project. He's also an
21 alumnus of Harvard University and UC Berkeley Law.

22 And with that, I would like to turn it over to
23 our keynote speaker, Senator Stern.

24 (Applause)

25 SENATOR STERN: Thank you, Nidhi, and good

1 morning. I'm hardly one to upstage such an incredible
2 group of leaders before you today, but I'll be quick.
3 I've got to go up to Sacramento and keep doing this
4 work.

5 It's amazing when you see a piece of legislation
6 that you work on actually become more than just a bill
7 and it becomes people, and their jobs, and progress.
8 So, I'm just so honored to stand with you all today.
9 And I want to thank the PUC, and the CEC, and LACI for
10 being such gracious hosts. Thank you, Matt, and to the
11 Mayor's Office. I see Lauren here and a lot of friends
12 from multiple sides of the industry. But most of all I
13 see my brothers and sisters in the labor community here
14 today. I do want to welcome, I see Liuna (phonetic) in
15 the mix, and I see our United -- I think it's 132 is
16 here. And then, I'm sure we've got some IBEW in the
17 house. And probably many others that I'm not naming.

18 But to all the laborers, and the utility
19 workers, and everyone throughout this industry, you
20 know, the vision, and not just the legislation and the
21 details of what you're about to hear today, but I think
22 the vision of what our building sector and, frankly,
23 what our entire energy economy can be is one of
24 abundance. We want to grow the whole pie.

25 And I know there's going to be details that we

1 dig into here today, and looking at the mechanics of
2 this program that's designed to be about innovation, and
3 sort of path-breaking technology coming into building
4 decarbonization.

5 But on the whole, we need more skilled and
6 trained workers doing the work in our building sector.
7 And the fact is that as ambitious as we want Title 22
8 and Title 24 to be, and all of our big greenhouse gas
9 reduction goals are, they're nothing if we actually
10 don't have codes that are being enforced, actual
11 compliance and high-quality work being done out there.

12 So, a quick heads up for you all coming down the
13 pike, we're working on a follow-up measure looking at
14 building efficiency work at large, with SB 524 this
15 year. We're trying to get more skilled and trained work
16 doing these installations.

17 Because a lot of times we see the jobs aren't
18 getting done properly and folks don't get what they paid
19 for when they, say, buy a new HVAC system, or install
20 that new furnace or that heat pump.

21 So, the main thing is whether you're a small
22 business, or a large business, or a homeowner we want
23 you actually realizing the benefits of this clean energy
24 economy when you invest.

25 And some of this stuff is not that

1 revolutionary. Some of it's as simple as your furnace
2 breaks down, you have an opportunity to make a small
3 decision in your life. You're probably just going to
4 default into the same old same. But there's new product
5 coming onto this market. And I never thought I'd see a
6 hashtag for heat pump nation, but it's getting out
7 there. I don't know if it counts as viral yet, but I'm
8 there.

9 And I see huge opportunities, not just in
10 reduction of carbon in this future, in our building
11 sector, but also, truly an era of abundance where we do
12 grow this pie, where our ranks expand and we all sort of
13 -- beyond just a transition, I don't even know if that's
14 where I like to put my emphasis. I like to think of our
15 clean energy future as a jobs-first agenda. And one
16 where we're actually going to do the up-front investment
17 we need to grow our ranks.

18 Now, all that said, you all may know a little
19 bit about my background. But I represent San Fernando
20 Valley and Ventura County. So, it's almost a million
21 people. It's a tough job to do right. We just had a
22 massive set of wildfires and some other tough
23 challenges.

24 And when I first got started in this job, we had
25 a blowout at Aliso Canyon that's continued to be a

1 tension in that community for years going forward. And
2 so, what I promised them is not to do pie-in-the-sky
3 policy to somehow pop that critical storage asset out of
4 our system tomorrow, but to actually find a future where
5 we can save homeowners money, where we can make people
6 feel safer and actually start to look at what a
7 transition can be to an electrified future.

8 Now, you may say decarbonization versus
9 electrification and I know there's going to be tension
10 around that. The RNG promise I think is a real one. I
11 do see huge potential, especially coming out of the
12 Central Valley where, by the way, the Aliso Canyon gas
13 settlement just got settled. And we sent all the money
14 from our community out to the Central Valley to fund a
15 couple of dairy digesters to push more RNG onto the
16 system.

17 So, for those of you excited about RNG know that
18 dollars are leaving Los Angeles and going straight into
19 RNG infrastructure. So, don't worry, it's happening.
20 Hundreds of millions of dollars of subsidies are going
21 into that sector.

22 But the vision of 1477, from where I sit and
23 from the conversations I've had with my colleagues, is
24 to do something more exciting than just the same old
25 same. To actually come up with a way to make our

1 buildings possible to just feed off of pure electricity,
2 if that's what consumers want.

3 Now, I'm not talking about a future where we
4 have to force everyone to get rid of their stoves. I
5 don't think we're ready, there yet. I don't think that
6 that's going to be possible. And I don't think mandates
7 are the key to the future.

8 But I do think, you look at a community like
9 Newhall Ranch, where you're going to have 26,000 new
10 units going on in the Santa Clarita Valley, where a
11 bunch of new work is going to get done, why can't we
12 offer homeowners options when they're coming in? And
13 why can't we limit the amount of gas we have to pull off
14 of Aliso Canyon to build that facility.

15 Now, that may make some of you all uncomfortable
16 because you want to say let's keep going. And to my
17 friends in the gas company, who are here this morning, I
18 know you want to say it's safe, and we're ready to go,
19 and there's no problems. But the fact is that
20 dependence, in general, on centralized gas storage in
21 L.A. is putting our rate base at some risk.

22 We've seen it this off-season, where we've had
23 line 235 down, and we've had over a billion dollars of
24 impact in the system because of capacity constraints.
25 That's a problem for those of you who pay your utility

1 bills right now, in Southern California.

2 So, affordability's going to be a huge piece of
3 this puzzle going forward. And I don't think that
4 affordability just means keep doing what you're doing.
5 I think it means finding ways in the long term that if
6 you own a home, or own a business, and you own that
7 asset, or that you're a developer that you have
8 incentives that are squared with what the State's
9 climate goals are.

10 So, I know we've got a ton of firepower here
11 amongst our Commission, both at the Public Utilities
12 Commission and the Energy Commission. And welcome to
13 the Commission, by the way. We have our newest Public
14 Utilities Commissioner from Sacramento who -- you'll be
15 hearing from SMUD a little bit later about some of the
16 incredible interventions they've made.

17 But I truly see the possibilities here of
18 something much more scalable than what we currently have
19 in our system, which is low compliance with Title 24,
20 appliances that are the same things that we've been
21 using for years. Lack of job opportunities, frankly,
22 for our skilled and trained workers. And a promise that
23 we're breaking, frankly, to Southern Californians.

24 So, I think the Department of Water and Power
25 has made an incredibly bold and exciting step to put

1 that 100-percent clean energy vision out there.

2 I know the Southern California Edison and our
3 CCA are likewise pushing ahead and seeing what
4 possibilities are out there.

5 But for those who actually do this work in the
6 field, and the contractors out there, the coalitions
7 that go into these communities and actually do the
8 developments, we're looking for vision from you, too.
9 But we're saying today you don't have to do it alone.

10 There is going to be some money there to
11 actually help get this going. And I actually don't
12 think that this is enough. You know, the \$50 million
13 that we're going to be putting together over this period
14 of time that the bill is in place, I think is just one
15 small piece of what really ought to be a broader
16 investment in infrastructure in this State.

17 And we made an announcement in the Capitol, I
18 think two weeks ago, to say what our green new deal
19 looks like. It's not the same as the debates going on
20 in the Capitol and, you know, tit for tat, and who can
21 embarrass who on Fox News versus CNN.

22 We have a hundred billion dollars sitting in
23 this State that's going to be spent between now and
24 2030. It is just going to be spent on energy and
25 infrastructure, whether it's in transportation, whether

1 it's in our national working lands, or whether it's here
2 in our building sector.

3 But the question is how do we want to spend it?
4 Do we want to spend it strategically in a way that's
5 going to grow jobs and reduce carbon or do we want to
6 just sort of let it go, and not put any focus and vision
7 behind it?

8 So, I'm hoping today, as part of putting that
9 focus and vision together, and doing it in a way that's
10 going to be practical and really get this program up and
11 running, because I get antsy.

12 So, I'm hoping you guys can sort everything out
13 today. No pressure. You've got what, you've got 12
14 hours here. What, are they going to lock you in the
15 room, or lock the doors?

16 Please push yourselves today, and step out of
17 your station, and think of yourselves not just as
18 whatever interest you're sitting in, whether it's in
19 your utility or in your business, but as Angelinos and
20 Californians, right. What does that bigger future look
21 like?

22 And I know we can get there together, but I
23 can't do it alone. So, we're going to need your help.
24 My office door is always wide open. We're out there in
25 Calabasas, if you can make the schlep all the way north,

1 or in Sacramento. I hope you all will also take a look
2 at 542 as a -- or, I'm sorry, 524 as a follow-up
3 measure. We're still working through some of the kinks,
4 but we're very excited about this new investment.

5 And I just want to thank you for having me out
6 here today and letting us meddle in your affairs. We
7 can't help but do that in Sacramento. That is our
8 mandate sometimes. But less is more. So, we're hoping
9 to kind of leave this as is, now. Now that we've sort
10 of put a vision out there that we feel is technology
11 neutral, that has some funding in place, that gives the
12 CEC and the PUC the tools they need to do their job with
13 all you stakeholders. And, you know, go invent the
14 future and we'll take credit for it in the end.

15 (Laughter)

16 SENATOR STERN: So, listen, no pressure, but by
17 the end of the day I would love to hear a report back
18 and something tangible that we can actually start to
19 agree on I think is a huge goal. And I thank you all
20 for endeavoring towards that. So, thanks.

21 (Applause)

22 MR. PETERSON: Let's give another round of
23 applause to Senator Stern for his leadership and being
24 here today.

25 (Applause)

1 MR. PETERSON: Thank you, Senator, appreciate
2 you being here this morning.

3 My name's Matt Peterson. I'm the President and
4 CEO and the Los Angeles Cleantech Incubator. We're
5 honored to be the stewards of this incredible resource
6 you're sitting in. Let's just have a show of hands, how
7 many it's their first time in our facility. There's a
8 lot of you. Welcome. We're really excited to have you
9 here.

10 This is a manifestation of a vision of many
11 people, this building. It's a 60,000 square foot campus
12 that's actually owned by our public utility here, the
13 Los Angeles Department of Water and Power.

14 It started under Mayor Villaraigosa
15 administration, while Eric Garcetti was counsel
16 president. And Mayor Garcetti got this building
17 finished with the Department of Water and Power, and the
18 many partners.

19 It's an exciting place to be, full of
20 innovators, and startup founders, and entrepreneurs from
21 the social, public and private sector.

22 And we really are excited to host this important
23 workshop this morning and have esteemed leadership from
24 both the Public Utilities Commission and the California
25 Energy Commission, long-time leaders and friends of Los

1 Angeles and the environment.

2 LACI's an organization that works with startups.
3 You'll see some startup founders here. We have some
4 exciting ones around the campus you might run into
5 during the course of the day.

6 We also do a lot of work to help industry lead
7 and move forward. So, we have a partnership we call our
8 Transportation Electrification Partnership to figure out
9 how do we accelerate the move to zero emissions,
10 mobility and goods movement.

11 And then, we're doing a lot to try to find
12 entrepreneurs from under-represented communities. How
13 do we support women and people of color who want to
14 start their -- you know, grasp the ring and build that
15 startup to create jobs, and make a difference in their
16 community?

17 As well as workforce development, trying to make
18 sure everyone is a part of the green economy.

19 I want to recognize somebody else, Lauren Faber-
20 O'Connor, who's the Chief Sustainability Officer for
21 Mayor Garcetti. Really a champion, as is the Mayor, in
22 moving us forward and setting ambitious targets. I
23 think we're going to hear some exciting news from Lauren
24 and the Mayor next week, about some goals and targets
25 for how L.A. is going to continue to lead the way, not

1 just here in California with our great State leadership,
2 but across the country and the world of how cities can
3 reduce greenhouse gas emissions, makes sure everyone's
4 protected and lives in a more resilient community and
5 city, while really creating and setting the bar, sending
6 those market signals to create the jobs we so
7 desperately continue to need to make sure everyone's
8 part of this green economy.

9 I won't speak much longer. I just want to say
10 building decarbonization I guess is a topic that I've
11 been working on for 25 years. It's hard to think about,
12 but I really started with volunteering with Habitat for
13 Humanity, in 1993, trying to help them build green
14 houses and Watts and Willowbrook neighborhoods in Los
15 Angeles.

16 Now, we see California leading the way on
17 greening affordable housing, on net zero energy, on
18 green building standards and set the bar in so many
19 ways. And we really thank our leadership from CPUC and
20 California Energy Commission to continue that work.

21 And we also need to continue working on existing
22 building stock. When I was running another nonprofit,
23 called Global Green, we sponsored a bill called AB 758,
24 which was about trying to increase energy efficiency in
25 all of our existing building stock. Creating jobs, and

1 growing the economy and putting more money in the
2 pockets of working-class people across this State.

3 So, thank you for your work. We look forward to
4 the results, as does Senator Stern, to see what kind of
5 entrepreneurial ideas come out of this and create the
6 next great business that defines California's can-do
7 attitude, and taking on the toughest fights facing
8 humanity, while improving our economy at record pace
9 here at home, in Los Angeles, and across the State.

10 So, thank you and have a great day.

11 (Applause)

12 PRESIDENT PICKER: So, I'm Michael Picker. I
13 work at the California Public Utilities Commission. And
14 I want to thank Matt for letting us use his beautiful
15 facility. And I want to thank all of you for joining us
16 here today.

17 So, there's a lot of folks here who we don't
18 normally see at the California Public Utilities
19 Commission. That's because the format that we use for
20 decision making is fairly old. It's actually sort of a
21 technical court, like the tax courts, or the admiralty
22 courts, or patent courts. And so, in our formal
23 proceedings, people actually have to come before the
24 judge, be sworn and participate in very specific ways.

25 This, however, is a way that we can learn about

1 what other people think, hear about innovations from
2 people who wouldn't otherwise have time, energy, money
3 to come and participate in our proceedings.

4 So, I'm always heartened to see folks who I
5 don't know because most of the time when I'm sitting
6 before a group of people, it's people who have always
7 been here before.

8 And so, I'm just going to ask a couple
9 questions. How many people here are from the building
10 efficiency industry? Okay.

11 How many people here are from labor
12 organizations? Okay.

13 How many people are here from environmental
14 agencies? Okay.

15 So, it's a broad spread. And again, I'm really
16 happy to see some fresh faces. So, particularly because
17 we don't get to see most of the line workers from the
18 labor organizations, the labor movement, I'll spend some
19 time at lunch, if you're still here, if you don't die of
20 boredom before then, and I'll explain more about what
21 the PUC does, and I'll be happy to take your questions.
22 I'll just bring my leftover pizza outside and we can
23 talk there.

24 So, let me just kind of explain the task that
25 has been set for us and a little bit of what the

1 challenge is that we all face. And I'm going to talk a
2 little bit at a pretty high level.

3 How many here think that climate change is an
4 issue that we need to address? Okay.

5 So, this is just a little bit of the specifics
6 of the challenges that we face. So, in 2012, the State
7 of California did a study called Pathways, and I think
8 you'll hear a little bit more about that from Amber
9 Mahone of E3, who performed the study.

10 And at that point, 20 percent of all the carbon
11 admitted by California's economy came from the electric
12 industry. Roughly 30 percent came from buildings using
13 natural gas, industries using natural gas. Homeowners,
14 who use it for heating and cooking. And I'll come back
15 to that in a little bit.

16 And in 2017, we repeated that. The electric
17 industry was only responsible for about 17 percent of
18 all the carbon emitted by California industries. The
19 gas industry had shrunk a little bit, down to about 29
20 percent of all the carbon emitted. Transportation in
21 both cases was stuck at 40 percent. Actually, somewhat
22 increasing on absolute value. Because people are
23 driving more because of the high cost of housing.

24 Now, we can get to 100 percent electricity by
25 2030, but we won't get to our carbon goal. We have to

1 use clean electric fuels to actually reduce carbon in
2 the industry, in natural gas and in petroleum used for
3 transportation in order to hit our carbon goals, carbon
4 reduction goals. So, that's the challenge.

5 Very specifically, here in Los Angeles there's
6 some other kinds of challenges that we face. The
7 maximum use of gas on any day is about 5.7 billion cubic
8 feet. The pipelines into L.A. only can bring in about 5
9 billion cubic feet, if they're all in operation.

10 So, how many of you are busy working on
11 repairing line 235? Anybody? Okay. That is one of the
12 pipelines that brings gas into L.A. When it's out of
13 service, then the amount of gas that's available here in
14 L.A. is even less.

15 The way that we've always dealt with that as a
16 community, as a State, as regulators and as utilities
17 is, we have gas storage facilities. And Senator Stern
18 talked about Aliso Canyon.

19 When that broke down, it alarmed people because
20 a piece of infrastructure that they had never paid
21 attention to all of the sudden was creating havoc in the
22 community. And so, as a result there are real
23 constraints on how much gas we can put into that. Which
24 means that there are constraints on how much gas that we
25 can take out.

1 Now, in the winter, the biggest use of that
2 storage, 60 percent, is for home heating and cooking.
3 If we were to actually be unable to serve all of the
4 customers, it means that somebody's going to be short on
5 any given day. So far, we've done pretty well by really
6 trying to hone the system, but it's a challenge.

7 So, SB 1477 was a legislation that Senator Stern
8 created to begin to pilot some of the technologies that
9 we can use to start displacing the use of natural gas in
10 people's homes to allow them to use clean electricity.
11 And they're cost effective, as some of the studies we'll
12 hear about today, for new housing.

13 So, does it make sense, then, to build 21,000
14 units of new homes directly adjacent to Aliso Canyon,
15 where people are dependent on gas hookups, and they also
16 have choices at their million and a half dollar homes as
17 to whether they have a natural gas pizza oven in the
18 backyard or a natural gas barbeque in the backyard.

19 So, these are all the kinds of challenges that
20 we will dance around here today. The real topic,
21 however, is what are the technologies? How do we deploy
22 them? How will we measure how they work? How will we
23 measure how cost effective they are?

24 So, there are two programs in SB 1477. I won't
25 go into them. You'll hear a lot from other people about

1 that. You'll hear about what local governments are
2 doing elsewhere in the State of California. I just want
3 to say, though, 50 percent of all Californians live
4 south of Wilshire Boulevard. So, what happens here and
5 how people start to think about these things is really
6 important to the State of California and its future.

7 So, I also want to turn this over to my
8 colleague, Andrew McAllister, because the Energy
9 Commission is a very important partner in all of this
10 since they set the standards for housing energy
11 efficiency, the Title 2 and Title 24 that we heard about
12 earlier.

13 So, with that, I'll get out of your way and I'll
14 see if I can maybe find a couple more chairs without
15 making the fire marshal upset.

16 So, Matt, do you want to quickly tell us how
17 people evacuate in the case of an emergency?

18 MR. PETERSON: (Giving evacuation details)

19 PRESIDENT PICKER: Okay, thanks. And again, I
20 want to thank every body who turned out today. So,
21 Andrew, it's all yours.

22 (Applause)

23 COMMISSIONER MCALLISTER: Thank you, President
24 Picker. Great. Well, thanks President Picker. That
25 background's really helpful.

1 My name's Andrew McAllister. I'm a Commissioner
2 at the California Energy Commission. Really happy to be
3 here. I wanted to first thank the staff who put this
4 together, Nidhi Thakar and Forest Kaser, Bryan Early, my
5 advisor, who have been working overtime to make this
6 happen, along with a number of others.

7 This is a really critical issue, as you've
8 heard. I won't sort of go over why we're here because
9 you've heard that. I want to thank Matt, and LACI as
10 well. Just, you know, the future, I like to say the
11 future comes first to L.A. So, we're here and we're
12 having a conversation that really is critical for
13 California's future. So, I'm really happy to get this
14 going kind of in earnest, really.

15 I wanted to recognize Commissioner Janea Scott
16 right there. You saw that she was here before.
17 Commissioner Scott is the lead on this year's Integrated
18 Energy Policy Report, which is a wonky acronym. But
19 it's every two years the State of California does a
20 state of the state in energy, and it's called the IEPR.
21 And Janea's leading it. I'm helping out on a couple of
22 topics, of which this is one.

23 And it's really critical. We do forecasting for
24 all of our electricity, and our natural gas, and our
25 liquid fuels and, increasingly, for demand side

1 resources like energy efficiency, and behind-the-meter
2 PV, and electrification of vehicles.

3 So, all these forecasts, all wrapped up into
4 one, they're really critical to get right and to get to
5 some agreement across the agencies of where we are going
6 as a state.

7 So, what is the load that we're going to see in
8 our buildings? Well, that's what we're going to talk
9 about. And decarbonization and 1477 I think are a
10 really nice platform, not only to get the details of
11 those programs right, but also to understand that it's
12 in the longer-term context of where California, as a
13 state, is going.

14 One thing I want to just describe quickly, that
15 the Energy Commission is working on, and then make an
16 invitation to you, is the -- so, Matt mentioned AB 758.
17 It was Nancy Skinner's bill when she was in the
18 Assembly. She's now in the Senate and remains super
19 interested in this topic. That is how we get our
20 existing buildings more energy efficient.

21 So, we have a plan at the Energy Commission. We
22 have to update it this year. And we've folded it in
23 with a number of other things that, since then we've
24 been tasked with by the Legislature. Doubling energy
25 efficiency, and that's in new construction, and existing

1 buildings, and industry and agriculture, so a broader
2 mandate. That's from SB 350.

3 And then, AB 3232 is a building decarbonization
4 law, now, that Laura Friedman in the Assembly authored.
5 And so, we're kind of folding these activities together.
6 And we're starting a roadshow next -- tomorrow, in fact,
7 in San Francisco is where we're starting it. But we
8 will be down in Southern California soon, in the next
9 few weeks.

10 So, this is the California Energy Efficiency
11 Action Plan that is going to be receiving and asking for
12 a lot of input from across the board. And that's why
13 we're trying to get out of the building, move around the
14 State and really get -- really, get people's honest
15 views on what they think is going to move the needle on
16 this.

17 As Senator Stern indicated, you know, getting
18 money, it's going to take a lot of money to getting our
19 existing buildings retrofitted whichever way they're
20 going to go. Efficiency. If they're going to be
21 electrified, you know, we're going to chart that path
22 over time. We need to make some decisions here in the
23 next couple of years about where that's going to be.

24 But our existing -- our building stock is going
25 to have to have some investment. And it's going to be

1 not just in the tens of billions of dollars, it's going
2 to be in the hundreds of billions of dollars, and that's
3 going to create a lot of jobs. However, it goes, it's
4 going to create a lot of jobs.

5 The U.S. Energy and Employment Report, the
6 national study that was done, that just came out a few
7 weeks ago, and you should all -- I recommend that you
8 all look at it. But it shows at the State level there
9 are about 400,000 clean energy jobs in California today.
10 Now, those vary in quality. Those vary in the level of
11 professionalism that's brought to it. You know, the
12 residential, as Senator Stern said residential is kind
13 of a little bit pretty diverse in terms of the workforce
14 that's getting into those buildings and the quality of
15 the work that's being done. We need to up the ante, we
16 need to up the quality absolutely.

17 But we could double or triple that. Okay, we
18 could have 1.2 -- one and a half million dollars of
19 local jobs, funded with local capital, that can retrofit
20 our buildings and have all sorts of positive spillover
21 effects across our population. Quality of life, air
22 quality, health impacts. You name it, there are just
23 incredible reasons why we should be doing this and it
24 creates good quality, long-term, sustainable jobs.

25 So, all of these things are related. And I

1 think the platform that we have here to talk about 1477
2 and to begin to talk about how we get clean energy
3 technologies into the marketplace at scale is really
4 critical. We have to show success, so that we can then
5 replicate that success across the board.

6 So, for Commissioner Scott and myself, really
7 looking forward to today. And I will pass it back to
8 Nidhi for -- our MC. So, thank you very much for being
9 here.

10 (Applause)

11 MS. THAKAR: Thank you, Commissioner McAllister.

12 Okay, we are going to get started with our first
13 panel for today, which is entitled "The Big Picture".
14 Our moderator is Amber Mahone of E3. And our panelists
15 include Eddie Rosales, Energy Specialist for the
16 California Energy Commission, Panama Bartholomy,
17 Director of the Building Decarbonization Coalition, and
18 George Minter, Regional VP of External Affairs and
19 Environmental Strategy for SoCalGas.

20 And with that, I'll ask our panelists and our
21 moderator to please come up.

22 So, Amber Mahone, our Moderator, is a partner at
23 E3 where she directs E3's Clean Energy Team. Her work
24 looks across all sectors of the energy economy to
25 evaluate the feasibility and implications of long-term

1 climate solutions. Over the course of more than a
2 decade at E3, Amber has worked on greenhouse gas
3 reduction strategies across California, the Northwest,
4 New England, and the U.S. as a whole.

5 In the course of this work, she has studied
6 renewable integration, transportation electrification,
7 building efficiency and electrification, biofuels, and
8 emerging low-carbon technologies.

9 Amber holds an MPA from Princeton University
10 and a BA from Wellesley College. With that, Amber, I'll
11 turn it over to you.

12 MS. MAHONE: Thank you. Can you guys hear me.
13 Is this on? No, you can't hear me. Can you hear me,
14 now? Okay, I'll speak loudly.

15 So, we're fortunate to have a very experienced
16 panel here, with a very diverse set of perspectives.
17 And I'll introduce each one in turn, in a minute here.

18 But the plan is that they will each give a 10-
19 minute presentation. I'll kick off the discussion with
20 a few questions. And then, we'll open it up for any
21 questions from the Commissioners and from the audience.
22 So, please hold your questions until the end.

23 And this first panel is about the big picture.
24 So, what is the big picture here that we're talking
25 about? We've heard this morning about Aliso Canyon, and

1 gas leaks. We've heard about California's housing
2 crisis and the fact that the State needs to build a lot
3 more housing, quickly, to bring down the cost of housing
4 and make it more affordable to live here.

5 And we've heard about California's climate goals
6 and the fact that, you know, we need to reduce emissions
7 as a State, and as a globe, really, to create a better
8 future for our children and ourselves. So, that's a lot
9 for a big picture.

10 So, I'll just give a little bit of perspective
11 about my big picture, which is that -- so, I grew up in
12 Sacramento, in a house of energy efficiency Wonks. And
13 so, my parents have been working on building energy
14 efficiency in the building code in California since
15 almost the beginning, in the 1970s. And, you know, to
16 me that was never really an exciting thing to work on.
17 I wanted to save the world. I wanted to work on solar,
18 and wind, and electric vehicles.

19 And when I started in the industry, Governor
20 Schwarzenegger had just passed AB 32, back in 2006. And
21 that was the big challenge. How was California going to
22 get to 20 percent renewables? You know, everybody was
23 sort of hand-wringing about whether that was possible.
24 And, you know, the industry has transformed incredibly
25 over that time.

1 And so, now here we are. Just 2018, we passed
2 the first piece of legislation that's looking at carbon
3 emissions in buildings. Which is kind of remarkable
4 since it's been over a decade since California passed
5 its first set of climate legislation. So, why did it
6 take so long to get to buildings?

7 But when you think about it, California has been
8 leading on buildings since, really, the beginning. So,
9 even though there's a lot of new things in this bill
10 about decarbonizing buildings, it's also about returning
11 to California's roots with our leadership in energy
12 efficiency.

13 So, it's kind of an interesting circle and here
14 I am back, talking about buildings, just in following my
15 parents' footsteps.

16 So, with that, I'd like to turn it over to our
17 first panelist, Heriberto Rosales, also known as Eddie.
18 So, he got his start working in housing and community
19 development projects. And he has now since been with
20 the Energy Commission working on energy policy since
21 2014, where he lives in Sacramento.

22 So, take it away, Heriberto.

23 MR. ROSALES: Can you hear me? Great.

24 I'm going to touch on some State sector policy
25 overview and give everyone an overview about where the

1 State is right now, and some of the goals that we're
2 kind of trying to orient and direct ourselves to. So, I
3 think we've got a Power Point slide in a second.

4 MR. SMITH: It's going to be a few minutes.
5 Which is the slide?

6 (Technical consultation)

7 MR. ROSALES: Okay, so regarding what the State
8 is doing on what we're now calling building
9 decarbonization, there's quite a few things to talk
10 about. And as Amber was saying, stuff that have evolved
11 over the last several years that have kind of gotten us
12 to this point. And I think the vision forward is
13 starting to become a little bit more clear. But along
14 with that, also the challenges and the obstacles we've
15 got are starting to feel a little more real as well.

16 So, the next slide. So, I'm probably going to
17 lean on the top two bullet points here. The top two
18 bullet points here.

19 And excuse me, for those who don't work like in
20 the public policy sector these obviously -- this is
21 going to be very wonky. I'll get past this really
22 quick. But in our sector, we're very used to talking
23 about bills, and political, legislative drivers very
24 much so.

25 So, SB 1477, both President Picker and

1 Commissioner McAllister touched on this right before I
2 spoke. This is now the bill that has clarified what our
3 goals are regarding the building sector and how we
4 decarbonize the building sector on site, mostly. So,
5 it's the low-emissions bill.

6 AB 3232 is also a bill that is asking the State
7 agencies to work together and study the potential for
8 reducing carbon emissions on the building site by using
9 2030 as our target, and using 1990 as our greenhouse gas
10 emissions baseline.

11 And we are going to assess both the emissions
12 from the building, as well as contributed emissions that
13 deliver energy to the building.

14 So, to give you a quick idea of what we're
15 facing here. Direct emissions from building. This
16 refers to the emissions that actually are on site. So,
17 at your house, at your apartment building. If you work
18 at a commercial or warehouse building, these are the
19 total emissions that are being produced onsite because
20 of energy use.

21 Typically, this relates to combustion, so
22 natural gas being combusted at the building. So, total
23 for the whole State is about 16 percent. That might be
24 slightly high but you get the idea.

25 This doesn't include electric energy and I'll

1 get to that in a second. And there's a reason why I'm
2 separating out and trying to just control for natural
3 gas. Because together they create a larger profile for
4 greenhouse gas emissions that are driven by buildings.

5 So, it produces together, again just on the
6 combustion side, it's about 33 million metric tons of
7 carbon equivalent in 2016. And these are numbers from
8 CARB, our Air Resources Board Agency for the State of
9 California.

10 Most of those emissions are CO2 emissions, again
11 on-site emissions about 85 percent. The remaining
12 balance of those emissions, methane, NOx, N2O and HFCs.
13 For those who work in the refrigerant sector, that
14 stands for hydrofluorocarbons. It's the refrigerant
15 that we use in our refrigerant systems. So, whether
16 you're using central HVAC, or a heat pump that's what it
17 refers to.

18 So, this graph, let me walk you through this
19 graph real quick because it's a colorful graph and it
20 actually points to greenhouse gas emissions that are
21 off-site, now, indirectly contributing to the GHG
22 profile of buildings.

23 So, there's actually two graphs in one, side by
24 side here, there's a 2019 and 2030 graph. On the
25 vertical axis over here, the y-axis, you see the hours

1 for the day. And across the top, you're going to see
2 the months of the year.

3 So, let me start on the left-hand side, the 2019
4 chart. So, what you see here is the carbon emission
5 intensity produced from the electric sector to be able
6 to deliver energy to all our buildings, both residential
7 and commercial alike.

8 The reason, where you see the green areas, those
9 are GHGs from our electric sector are less intense when
10 we're producing electricity because -- the reason for
11 that is because some of the policies that were touched
12 on right before are driven by the standards that we
13 have, our Renewable Portfolio Standards.

14 So, a lot of our energy, the green area, the
15 green block you see between the daylight hours are
16 driven because we have cleaner energy on the electric
17 side grid.

18 Where you see the dark red, those are the times
19 of the day and throughout the year in -- again, this is
20 a 2019 chart, that we are relying on fossil fuels to
21 produce our energy.

22 On the right-hand side over here is 2030. So,
23 we forecast out using one of our forecast office at the
24 California Energy Commission to understand the 50
25 percent target, which is now 60 percent after -- this

1 was done before the legislation passed last year. But
2 this was using a 50 percent target.

3 So, at 50 percent in 2030, of course our
4 energy's going to become a lot more greener and cleaner
5 on the electric grid, which is good.

6 The next slide. Let me -- well, let's talk nuts
7 and bolts on what that means, again. This is a 2030
8 chart blown up.

9 So, when we look at our greenhouse gas emissions
10 relative to their natural gas -- reliance on natural gas
11 and fossil fuels for energy and power, so there's good
12 news and bad news. The good news is of course, when
13 there's daylight hours and we have a very high RPS now,
14 probably the highest in the country by 2030, we are
15 producing a lot of clean energy, which is great.

16 That means the lights that are on here in this
17 building right now, any other kind of electric appliance
18 that this building uses or your residential building
19 will use is now relying on green and clean power.

20 The bad news is the areas where the transition
21 is not as smooth, we're still relying for the most part
22 on fossil fuel and very GHG-intensive power. And so, we
23 would like to change that. But it's going to take some
24 policy leadership. It's going to also take innovation
25 with equipment and technology. And it's also going to

1 take flexibility for the way we use that power.

2 So, a lot of this -- so, one of the takeaways
3 you can take from this, I wanted to share real quick, is
4 a lot of this is generation driving our demand and our
5 use of energy. If we're going to try to solve for the
6 GHG carbon problem, we're going to have to be a little
7 bit nimble and we're going to have to have demand drive
8 generation.

9 Yeah, so let me go back to onsite and the way
10 that we're consuming gas onsite, at the building.
11 Because, again, that's a part of our load. And between
12 natural gas and electricity for onsite load, it's about
13 50/50. But when we're talking about just natural gas,
14 this is a quick break up -- and I'm going to speed up
15 because we are being timed.

16 So, most of our natural gas use is being driven,
17 really, by two end uses. You see the big slice of the
18 pie, the red slice, the 44 percent, that's space
19 heating. And I think President Picker was talking about
20 that. That's obviously during the cold months we're
21 still relying on gas furnaces to warm up our houses and
22 our buildings.

23 And then, the big blue slides you see over here
24 on the right, that's all our water-heating usage.

25 The next slide. So, we've got a few pathways.

1 These are very broad and general. And not too specific,
2 but I'll go through them, it's kind of a priority order.

3 We still are advocating energy efficiency for
4 all of our appliances. The more efficient our
5 appliances are, the less we're going to be relying on so
6 much electrical load and as well as gas load. At the
7 building site, we'll rely on on-source energy.

8 Electrification. We're going to speak about
9 that a lot today. Moving a lot of our appliances off of
10 fossil fuel, a big end use, and over to electric end use
11 is going to be very smart. It's going to help us meet,
12 if you remember the chart, the 2030 chart. It will help
13 our appliances take advantage of renewable green energy
14 during certain times of the day.

15 And last is renewable natural gas. This is more
16 of a potential pathway. We're looking at all of them as
17 a portfolio. The potential for this right now is a lot
18 lower and it's not really a viable option for buildings
19 right now. But it presents a lower carbonization
20 profile than our current fossil fuel source right now.

21 I think that's it. Here's my contact
22 information. But I'm going to transition over.

23 (Applause.)

24 MS. MAHONE: Can you pull up the next one.

25 Thank you, Heriberto.

1 While we pull up the next presentation, I will
2 introduce Panama Bartholomy. So, Panama is the Director
3 of the Building Decarbonization Coalition, where he
4 advocates for solutions to reduce pollution from our
5 buildings.

6 He has worked on energy efficiency project
7 development. And he was previously an advisory on
8 energy and natural resources to Assembly Speaker John
9 Perez. And he was also a Deputy Director at the
10 California Energy Commission in the Efficiency and
11 Renewables Division. And he was also previously an
12 advisor to two CEC Chairwomen, Commissioner Douglas and
13 Commissioner Pfannenstiel. So, take it away, Panama.

14 MR. PANAMA BARTHOLOMY: Thank you, Amber. And
15 thank you, everybody, for coming. It's great to see so
16 many people here. If it's one thing this discussion
17 needs more of, it's more people involved in it. Any of
18 the policies that we adopt are going to have to be
19 beneficial for California's ratepayers, taxpayers, and
20 workers.

21 And so, what we need in order to ensure that is
22 that everybody shows up for these sorts of hearings and
23 expresses themselves, so we can make sure we adopt the
24 best policies for California, as Senator Stern so
25 eloquently expressed.

1 I want to thank the Commissions for holding this
2 session and say good morning to the Commissioners and
3 everyone else here.

4 I do run an organization called the Building
5 Decarbonization Coalition. We are a coalition of energy
6 providers, manufacturers, builders, workers, financiers,
7 local governments, and non-governmental organizations
8 working together to reduce and eliminate greenhouse gas
9 emissions from the built environment.

10 Our goal is that by 2045 that buildings play its
11 role in California's overall goal of completely
12 eliminating greenhouse gas emissions and staving off the
13 worst impacts of climate change for California and the
14 planet.

15 We have come to the feeling within our coalition
16 that the best way to do this is through building
17 electrification. We share this with a number of
18 different studies and reports from groups that have come
19 out over the last year, like Lawrence Berkeley Labs,
20 Rocky Mountain Institute, the Energy Commission's 2050
21 Pathways Report, Synapse. And then, just recently, last
22 week, Energy Commission's new, Healthy and Robust Future
23 Study, which very eloquently and succinctly put it that
24 we're not going to meet our 2030 goals if natural gas
25 appliances are still in operation. And we must

1 immediately start with the electrification of all
2 buildings. We must start by 2020 in order to meet our
3 2030 goals.

4 And lastly, we're in agreement with the 2018
5 Integrated Energy Policy Report from the California
6 Energy Commission that very succinctly and directly made
7 the case that electrification is the pathway forward for
8 California to eliminate greenhouse gas emissions from
9 the built environment.

10 And so, our coalition agrees with these reports,
11 agrees with the findings, and agrees with the State's
12 move and its policy direction.

13 But I think the Commissions wanted to set up
14 this workshop to talk about choice. And they got Eddie,
15 and then myself, and then George to talk about the
16 different choices that California has in order to reduce
17 greenhouse gas emissions.

18 And so, what I'm just going to walk through is
19 some of the considerations you may want to take into
20 account when you're making a choice about the fuel
21 source that we use to fuel our buildings or to fuel our
22 State.

23 So, first and foremost, I'll talk about costs.
24 And let's just with gas, gas infrastructure and our
25 housing crisis in California. So, looking at the costs

1 of gas infrastructure in California, it costs about, for
2 the laying the pipe, permitting it, and then the actual
3 construction, it costs about \$6,000 to \$15,000 per home,
4 depending on the area in order to be able to bring
5 service to a residential house in California.

6 You add in the plumbing inside the house,
7 anywhere from \$750 to \$2,400. And then, the venting to
8 take all of the gases that come off of the combustion of
9 the gas out of the building, and you have all of the
10 costs of what you have from the choice of putting in gas
11 into your building.

12 Now, every year, the National Association of
13 Homebuilders puts out a report called Priced Out. And
14 they look at every State and 350 major metropolitan
15 areas across the United States about the impact of
16 increased costs on families' ability to be able to
17 afford to buy a new home.

18 What they found for California for this year is
19 that for every thousand dollars of cost that we add to a
20 house in California, it prices almost 10,000 families
21 out of the ability to be able to afford it.

22 So, as we make a choice between our fuel choices
23 and we're choosing to put natural gas into our homes,
24 say we use the low end of all of those different costs,
25 we're talking about \$7,000 per home, of additional cost

1 by putting in natural gas. You already have electricity
2 running to the home, you're going to have that. But by
3 choosing to put in natural gas, we're pricing about
4 60,000 families out of the ability to be able to afford
5 a home in California. In a state with the housing
6 crisis that we have, this is simply a cost we can't
7 afford.

8 So, you might say, well, that's all and good
9 with the infrastructure, but what about the appliances.
10 Are these appliances, these high-efficiency appliances
11 all that much more expensive. Well, luckily,
12 California's Building Industry Association last year put
13 out a report, looking at exactly this. And what they
14 found is that electric appliances are the same cost or
15 cheaper than natural gas appliances to put into your
16 building. And that if you're building a new building,
17 all-electric, you have anywhere from a 55 to 60 percent
18 elimination of greenhouse gas emissions from those
19 homes, as compared to putting in gas.

20 We live in a state where 15 percent of our
21 families live in energy poverty, meaning they spend over
22 20 percent of their income on their energy bills.
23 Utility bills are the number one reason for payday loans
24 in California.

25 And so, when you look at a family's ability to

1 be able to manage their budgets, their monthly budgets
2 and to be able to stay above the line and be able to pay
3 all of their bills, utility bills are playing a critical
4 role in this. Particularly, when we have peaks in
5 natural gas prices in our winter months.

6 This is a chart showing the last two years of
7 natural gas prices in California. And we import 85
8 percent of our natural gas in California. We have very
9 little control over the price. Very little control when
10 there's a polar vortex to compete for scarce gas
11 resources. And, of course, as was mentioned already, we
12 have line constraints here in Southern California.

13 This kind of volatility is not easy for a family
14 to be able to manage. This kind of price volatility is
15 not easy to put in your monthly budget, as you're trying
16 to be able to find a way to pay your bills and buy food
17 for your family.

18 And this only going to be exacerbated in
19 Southern California if Southern California Gas Company's
20 general rate case request is approved over the next
21 three years. This is a summary chart of SoCalGas's gas
22 rate case for 2019 to 2022, which calls for a 45 percent
23 increase in gas prices over the next three years.

24 And so, alternative to that and a way to manage
25 it is heat pumps. Finding a way to be able to use heat

1 pump technologies, which are three to four times more
2 efficient than gas competitors, and allow you to
3 actually manage your energy so that you can heat your
4 water, or cool or heat your house during the middle part
5 of the day, when prices of energy are low, when solar
6 power is high, instead at those peak times.

7 The second consideration you might look at is
8 healthy. In California, right here in L.A. right now,
9 we are giving -- having this meeting in an air basin
10 that's never been in compliance with the Clean Air Act.
11 The L.A. Basin and the San Joaquin Valley suffer from
12 extreme pollution and a significant amount of that is
13 NOx. Now, NOx is a pollutant that can cause healthy
14 people to get asthma and can cause asthmatics serious
15 attacks.

16 In California, we have really great power plants
17 at this point. We've been able to put advanced
18 pollution controls on them and we've been able to bring
19 down NOx pollution to about 18 tons a day from power
20 plants.

21 Our buildings produce six times that amount.
22 The combustion of gas in our buildings produces six
23 times more NOx than all of our power plants combined,
24 and just behind all of our cars combined, across
25 California. That's outside.

1 When you look inside, and this is a report from
2 Lawrence Berkeley Labs about the impacts of cooking, the
3 indoor air quality impacts of cooking with gas.

4 What Lawrence Berkeley Labs found is that
5 there's over 12 million Californians that are exposed to
6 unsafe levels of nitrous oxide, carbon monoxide, and
7 formaldehyde from the cooking of gas and the lack of
8 venting in homes across California.

9 I already talked about nitrous oxides.
10 Formaldehyde is one of the leading causes of childhood
11 leukemia in the world. One in three children that
12 contract it, die from it.

13 Over 12 million Californians, due to the cooking
14 with gas, and the lack of adequate venting are exposed
15 to dangerous levels that would be unallowable outside,
16 under air quality standards.

17 And so, instead, looking towards induction
18 cooking, not the old coil cooking that we all think
19 about for cooking, but using magnetic induction cooking,
20 an incredibly safe, incredibly fast, incredibly powerful
21 option for doing your cooking.

22 Consumer Reports loves induction cooking.
23 They've released their top ranges for 2018 last year.
24 Nine of the top ten were electric. Five of the top ten
25 were all induction cooking. Consumer Reports looks at

1 durability, usability, performance, cleanability,
2 clearly prefers induction and electric cooking over gas.
3 And if you look at the costs, we're ranging in costs
4 from \$990 all the way up to about \$2,400 for induction.
5 The top performing gas range at about \$3,000, in the top
6 ten.

7 And finally, climate. So, if we're looking at
8 climate emissions and the reduction of greenhouse gas
9 emissions for buildings, this looks at dual-fuel
10 buildings in the overall building sector for electricity
11 and gas, moving towards 100 percent carbon-free
12 electricity by 2045, we're still be relying on gas and
13 still, therefore, significant greenhouse gas emissions
14 from this sector.

15 Whereas with electric heating, for the
16 transition we get over to zero emissions for buildings.

17 This is a study the Energy Commission put out
18 that looked at the supply of biogas and the cost of
19 biogas and using it to replace our natural gas. This
20 shows how much natural gas we were using in our building
21 and industrial sectors in 2015, about 1.6 quadrillion
22 Btus. This shows, if we were able to get extreme
23 amounts of energy efficiency into industry and buildings
24 how much we think we could reduce the natural gas
25 consumption by 2050, and then how much renewable gas we

1 can produce in California.

2 We can produce about .2 quadrillion Btus of
3 renewable natural gas here in California.

4 Say we took 11 percent of the entire nation's
5 biogas supplies, took California's population share, and
6 we can produce about .4 quadrillion Btus of natural gas.
7 We are never going to be able to meet the demand for
8 natural gas in California with renewable natural gas,
9 even if we took it from the rest of the country. And
10 the costs of this are going to be completely
11 unacceptable to any ratepayer, or any politician looking
12 at this option.

13 The case for natural gas means that we have at
14 least two-thirds of our gas coming from fossil fuels for
15 the foreseeable future. Reliance on renewable natural
16 gas in our buildings ties us into a future of fossil
17 fuel natural gas in our buildings.

18 I'll finish up here. We released a report
19 discussing these issues and what California should do.
20 Succinctly, Commissioners, we need a very clear message
21 from the Governor and the Commissions about this topic.
22 The industry is waiting. Local governments are waiting.
23 We need clarity about where we're going to go and what
24 California's future is going to be on this.

25 We laid out some goals that say within two more

1 code cycles we should be having zero emission
2 residential buildings. In three code cycles, commercial
3 buildings. We need to build consumer awareness, ensure
4 customers are getting good value, ensure that builders
5 and contractors are getting good value, our supply
6 chains are going, and we are aligning all of our State
7 policies.

8 And so, I will just end here. Electric
9 buildings clearly cheaper, healthier, more climate-
10 friendly, and safer. And we're not alone, but we are
11 behind.

12 The UK has already adopted a policy that by 2025
13 no new homes will be heated by gas. The Netherlands,
14 last year, adopted the same policy. They're both on the
15 pathway towards the complete elimination of natural gas.
16 We are no longer leading on this important topic.

17 We have transformed markets before for the
18 entire world. Through innovative rate design and
19 incentives, we transformed the photovoltaic market and
20 we can do it again with decarbonized buildings. What we
21 need is leadership from the Governor and the Commissions
22 on this topic.

23 Thank you for your time and I look forward to
24 the conversation.

25 (Applause)

1 MS. MAHONE: Thank you, Panama. While we get
2 the next set of slides queued up, I will introduce
3 George Minter. So, George is the Regional Vice
4 President for External Affairs and Environmental
5 Strategy for Southern California Gas Company, where he
6 has worked for many years. He resides in Pasadena and
7 will tell us about what the gas company is thinking.
8 Thank you, George.

9 MR. MINTER: Thank you very much.

10 (Applause)

11 MR. MINTER: Thank you, Commissioners. Thank
12 you, staff. Thank you, working people, the folks that
13 keep our energy industry alive and provide heat and
14 power to all of us here in California.

15 I was asked to talk about the big picture. So,
16 the big picture is climate change. It's the existential
17 challenge of our time. And climate change is caused by
18 emissions to the atmosphere. Emissions caused primary
19 by the use of energy. And so, looking at the energy and
20 the forms of energy we use is necessary.

21 The other part of the big picture is that today
22 we have a diverse energy infrastructure that delivers
23 energy, and increasingly cleaner and cleaner energy to
24 all of our consumers. And that's the gas system and the
25 electric system.

1 But to date, we've only focused on decarbonizing
2 the electric system. And we think today is the time to
3 start focusing now on decarbonizing the gas system.
4 Because eliminating one energy delivery system to over
5 rely on another energy deliver system doesn't make
6 sense, doesn't contribute to future resiliency,
7 particularly in the face of climate events that we see
8 occurring, whether it's a wildfire here in the west or
9 floods in the south.

10 And so, our vision is that there are many
11 pathways, not just one. That there are many ways to
12 deliver energy, not just one form of energy. And we
13 need to focus on making all forms of energy cleaner,
14 more renewable. Not depletable, more renewable, cleaner
15 at every turn.

16 And so, we see getting to 2045, we see that we
17 need to use everything, every tool in the toolbox. And
18 that means the gas system, that means the electric
19 system, and that means decarbonizing energy delivered so
20 that there's less carbon in its use.

21 Our future is not just renewable gas that's been
22 mentioned here today, biomethane, but also hydrogen.
23 Hydrogen production from excess wind and solar. Wind at
24 night, solar in the middle of the day. It's a process
25 called power to gas, which is being utilized to great

1 effect in the EU. And we see this as a demand that
2 we're going to need to undertake here in California as
3 we grown our -- particularly our solar resources, we're
4 going to need energy storage that's far more capable
5 from a long-term, and from a capacity perspective than
6 batteries. And power to gas-producing hydrogen. And
7 then, using the pipeline delivery system as a way of
8 storing energy will be part of our future.

9 We need to reach our 2045 goals, but we also
10 need to reach our 2030 goals. We've got to reduce our
11 emissions by 40 percent. That's under SB 32. We've got
12 to address building decarbonization and try to achieve
13 40 percent reduction in emissions from buildings.

14 And under SB 100, which gets us to a clean
15 energy future in the long term, by 2030 we need 60
16 percent of electricity from renewable gas -- excuse me,
17 from renewable electricity.

18 What's missing? There's nothing here about
19 renewable gas. And yet, as you saw from the CEC and as
20 you saw from the Building Decarbonization Coalition, the
21 use of gas is a significant contributor.

22 So, let's look at what really is happening.
23 This is from the ARB website, the Air Resources Board.
24 They're in charge of doing the air inventories. They're
25 in charge of implementing AB 32, SB 32. They're the

1 folks that look at where emissions come from and what we
2 need to do.

3 And as you can see, GHG emissions come from the
4 transportation sector. That is the largest single
5 source. The next is industry. Which, by the way, uses
6 mostly gas. The next is electric generation. The
7 smallest sector is the residential and commercial
8 building sector and that shows us that it's 12 percent.
9 Not 40, not 30, not 16, 12 percent. And 9 percent of
10 that actually is gas usage. The other 3 percent are
11 refrigerants and other uses.

12 So, when we're looking at the building sector, we've
13 got to realize that it's among the smallest sectors of
14 GHG emitters into the inventory and into the atmosphere.
15 But the real challenge and the challenge of spending our
16 money wisely is transportation, is electricity.

17 And if we're serious about buildings which by
18 the way, that's where people use gas. If we're so
19 focused on decarbonizing electricity, how come we're not
20 focused on decarbonizing gas? Because if we decarbonize
21 the energy source, the building sector would
22 decarbonize. That's something that really hasn't been
23 talked about.

24 But the State of California and the ARB actually
25 is showing leadership on this. And this is really

1 important to understand. The Scoping Plan is the plan
2 that the ARB lays out, that tells us how we're going to
3 meet the goals to 2030, how we're going to meet the
4 goals for 2045. And in that Scoping Plan, there's a
5 Short-Lived Climate Pollutant Plan. In fact, it makes
6 up a pretty significant chunk of all the emission
7 reductions, almost 35 percent of the emission reductions
8 in the Scoping Plan come from the Short-Lived Climate
9 Pollutant Plan. And almost all of that is about methane
10 capture. Methane. Well, what's natural gas? Natural
11 gas is methane.

12 Now, we talk about methane and we talk about
13 leakage to the atmosphere, and we all think about the
14 gas system. But the fact is the gas system is a very
15 small contributor to methane in the atmosphere. And as
16 you'll see in a moment, it's our human production and
17 waste stream that contributes most of the methane to the
18 atmosphere. And that's what this bill, passed several
19 years ago, SB 1383, is all about. We have to capture 40
20 percent of methane and other climate pollutants that are
21 super-pollutants, they have a high global warming
22 potential. Forty percent from the atmosphere.

23 And what's the state objective? It's to deliver
24 it to the heating sector, to decarbonize the heating
25 sector. Well, where's the heating sector? It's in the

1 buildings, folks.

2 So, we actually have a law that requires us to
3 capture methane, put it in the gas system, deliver it as
4 renewable gas to address heating. That's what the law
5 says.

6 So, where does the methane come from? As you
7 can see, it's dairies, it's agriculture, it's
8 wastewater, it's landfills, it's organic waste. A very
9 small part is the gas system and we're working on the
10 gas system by the way. And the folks here in the room I
11 see, with the blue hats and the blue shirts, are some of
12 the folks who make sure that we reduce those methane
13 emissions from the gas system.

What I'm t

14 the gas sector. And that decarbonizing energy allows
15 people to use their equipment and it's easier than
16 switching equipment.

17 We did a study that basically said, okay, what
18 do we really need to do to achieve the GHG reductions of
19 building decarbonization by the year 2030, when the
20 electric system is 60 percent renewable?

21 And what we found is less than 20 percent
22 renewable gas in the system achieves the same GHG
23 reduction as 100 percent building decarbonization. And
24 people don't have to do anything and we don't have to
25 spend money switching out appliances.

1 We need to tell the gas utilities and we need to
2 tell the gas buyers, buy renewable gas. And so, we need
3 to develop the renewable gas pathways.

4 And the study also looked at what's the cost,
5 the cost effectiveness in terms of GHG reductions? And
6 it tells us it's two or three times more cost effective
7 to address energy decarbonization and reducing emissions
8 from the building sector through decarbonizing not just
9 electricity, but also gas delivery.

10 Now, the question is how much is out there? And
11 this is just the biomethane pathway, folks. But the CEC
12 did a study with UC Davis that said there's 300 billion
13 cubic feet out there. We deliver a hundred tcf --
14 excuse me, a single, a 1 Tcf, so that's like 10 hundred
15 Bcf. There's 300 Bcf of resource available. The ARB
16 said, wait a minute, that's available. What's real?
17 What do we think will happen in 2030?

18 And so, on the other side of the chart, on the
19 left-hand side of the chart is another study done by UC
20 Davis, for the ARB, that says about 100 Bcf will be
21 available by the year 2030, because of the Low Carbon
22 Fuel Standard Program. Which, by the way, the architect
23 is sitting in the audience here. Sam Wade, thank you
24 very much.

25 Our estimate is between 100 and 200 Bcf, which

1 is between 10 and 20 percent of our throughput is
2 available here in California. But nationally, and we
3 have to look national, we're going to have a supply of
4 national and the state resources, just like we have wind
5 coming from out of state, just like we have solar coming
6 from out of state.

7 And so, if you look at what's out there, there's
8 a trillion cubic feet already under production. And if
9 you look at the DOE study, they're looking at ten Tcf
10 expected to be available, potentially, as a supply
11 potential by 2030.

12 Well, domestic annual consumption is about 28
13 Tcf. So, 10 Tcf is approaching the 30 percent
14 threshold.

15 The bottom line is we've got the supply resource
16 in-state and out-of-state to achieve the 20 percent
17 threshold. So, we can achieve 20 percent building --
18 excuse me, 20 percent RNG supply. And we can achieve
19 the same GHG reduction as 100 percent building
20 electrification. And we can do it in an expedient and
21 cost-effective way.

22 Consumer adoption is really important. And we
23 see this with the electric vehicles and we'll see it
24 with electric equipment. What is important is if
25 consumers don't have to make a choice they don't want to

1 make, and we can achieve the outcome in another way by
2 providing renewable gas, we can get to the goals. And
3 we can get to the goals faster and we can get to the
4 goals cheaper.

5 The CEC did a study with E3 that identified an
6 electrification pathway. And its biggest red flag was
7 consumer adoption. If you don't have to rely on
8 consumer adoption, then you can get to the goal.

9 The goal is a challenge because cost is a
10 challenge, and we've all already heard the challenge of
11 meeting energy costs and meeting housing costs.

12 In our service territory, 35 percent of the
13 folks already in our service territory qualify for a
14 low-income rate assistance.

15 The approach is a balanced approach, preserve
16 consumer choice, minimize disruption, minimize costs,
17 promote system resiliency and strengthen Californians.

18 Yeah, I see then, we had a 3-minute overage.
19 So, all I'm going to say is end with this, which is that
20 our vision is not only to become the cleanest utility
21 over the long term, but that we're going to meet that 20
22 percent threshold by 2030. And we announced publicly
23 our intent to achieve 20 percent RNG supply by 2030, and
24 we're going to start with a 5 percent threshold. Thank
25 you.

1 (Applause)

2 MS. MAHONE: Thank you to all of our panelists.
3 I guess I'd like to start maybe -- George, since you
4 just presented, so you showed us in one of your slides
5 the goal of getting to 20 percent renewable natural gas
6 by 2030, a big announcement from SoCalGas.

7 So, 20 percent by 2030 represented about a third
8 of the entire supply available in the United States.
9 So, what does meeting this goal entail, you know, in
10 terms of a new market? Are we talking about, you know,
11 huge imports of biofuels from, you know, across the
12 U.S.? What does this look like?

13 MR. MINTER: So, 20 percent is 20 percent of
14 through put here in the State of California, that's what
15 we're looking at. And in the case of SoCalGas, 20
16 percent of our through put would be 200 Bcf. 200 Bcf is
17 easily met with the 100 Bcf supply in California, and
18 already supplies flowing to California that could reach
19 to two, to three, to four hundred Bcf.

20 And so, your statement was an incorrect
21 paraphrase of my statement. And my statement is that
22 the entire United States could replace its domestic
23 supply, its use, which is 28 Bcf, with the 10 -- excuse
24 me, 28 Tcf, with the 10 Tcf that the DOE study says will
25 be the supply potential out to 2030.

1 So, RNG is a 20- to 30-percent solution. And
2 folks are right, 20 to 30 percent is not 100. But it's
3 a pretty far pace along towards 100.

4 And so, what gets us the rest of the way? It
5 isn't just renewable gas and biomethane that gets us to
6 2030. And if you talk to the scientists at LBL, and
7 LLL, Lawrence Livermore, they'll tell you that
8 gasification technology could take care of woody
9 biomass, and the forest waste, so maybe we could get to
10 40 to 50 percent biomethane.

11 But really, the challenge is to think about
12 renewable gas and methane as simply a hydrogen carrier.
13 That's what methane is, it's CH₄. It's two H₂ hydrogen
14 gas molecules held together and stabilized with a carbon
15 molecule. So, what do we do? We produce hydrogen. And
16 how do we produce hydrogen? And this is a whole longer
17 discussion. But what we're seeing in the EU nations,
18 and now what we're seeing in Japan, and now what we're
19 seeing in North Africa is to co-locate hydrogen
20 production facilities with wind and solar facilities to
21 produce hydrogen to store that excess electrical energy.

22 We're relying here, in California, on battery
23 storage, which is short term and short volume. But
24 hydrogen storage is huge volume and long term. And so,
25 that gets us the rest of the way. We'll start blending

1 hydrogen into the gas system and then we'll actually
2 start methanating the hydrogen, adding the carbon.
3 Where does it come from? It comes from carbon capture.
4 All of the scientists are talking about negative carbon,
5 we've got to do carbon capture. And by the way, the
6 only fuel resources that's negative carbon is renewable
7 gas or renewable fuels.

8 MS. MAHONE: Great. Thank you, George.

9 MR. MINTER: But carbon capture will allow us
10 the CO2 stream to then methanate hydrogen and stabilize
11 the system.

12 MS. MAHONE: Great, thank you.

13 So, my next question is for Panama. So,
14 California is a relatively mild climate, probably
15 compared to, you know, Europe and northern parts of the
16 United States. So, it would seem heat pumps work really
17 well in this State.

18 So, did that inform your thinking about why
19 electrification in California?

20 And I guess my other question is around, you
21 know, how do we achieve these high levels of
22 electrification that you're talking about? I mean, we
23 know that buildings are long-lived assets. Heating
24 equipment is long-lived. So, how do we get those levels
25 of adoption that you're talking about?

1 MR. PANAMA BARTHOLOMY: So, I think one of the
2 things in our favor as we work towards building
3 decarbonization is that our stuff breaks. Our water
4 heaters break. Our heaters break. About every 8 to 12
5 years our water heater breaks. About every 15 to 20
6 years our heater breaks. And that presents an
7 opportunity to be able to help people make a choice
8 towards decarbonization. And if we, as a State, can put
9 in place a market environment that makes it more cost
10 beneficial for a resident to put in an all-electric-
11 powered-by-renewable-energy heating source, and we make
12 it more beneficial for the installer or the builder to
13 be able to do that, that's how we're going to be able to
14 increase market share.

15 Right now, we subsidize fossil fuel appliances
16 with ratepayer things and so we create a -- we put a
17 thumb on the scale towards fossil fuel appliances
18 against all-electric appliances.

19 And so, we're actually in a backwards state from
20 being able to encourage the movement towards renewable
21 energy-powered, all-electric appliances.

22 So, the way to do is as my friend Nate, from
23 Ohio, who does a contractor, he says, it's the church of
24 the kitchen table. And it's the homeowner, and it's the
25 contractor, and they're sitting down and they're having

1 a discussion. And we need to make each of those people
2 sitting down at that kitchen table a winner out of the
3 situation in order to be able to push in building
4 decarbonization.

5 MS. MAHONE: Great, thank you.

6 So, then, my next question is, I think, to all
7 of the panelists which is, you know, we've talked about
8 electrification and we've talked about renewable natural
9 gas. Are these things in conflict with each other? Can
10 we do both of them? I mean, what is the role for each,
11 as you see it?

12 MR. PANAMA BARTHOLOMY: So, this time I'm
13 holding the mic. So, I'll just repeat what I said in my
14 presentation is that even as George said, we're never
15 going to be able to provide all of our natural gas
16 supply from renewable natural gas. That means if we
17 continue on this path towards thinking we're going to
18 get through renewable natural gas, we're tied to fossil
19 gas.

20 Now, to be clear, renewable natural gas is
21 incredibly important. It's important that we capture it
22 from dairies. It's important that we capture it from
23 our landfills. But this is the most previous form of
24 gas that we have. This is the most expensive and
25 important form of natural gas that we have. And to put

1 it into our old pipelines, and to be able to then use it
2 and my 80-percent-efficient hot water heater is not the
3 highest and best use of this precious resource.

4 We need to be using it, as George said, in our
5 transportation sectors, and our freight sectors, and
6 aviation, and other sectors where we're able to better
7 use it than in my 80-percent-efficient gas hot water
8 heater.

9 MR. MINTER: Well, I'd love to see that happen.
10 I'd love to see the environmental community champion
11 using renewable gas in the freight sector. Because most
12 of the folks that support building decarbonization
13 through a single electrification pathway, also only
14 support electrification of the transportation sector.

15 I want to correct something you said. I did not
16 say that the renewable gas pathway can't get us to 100
17 percent. It can and it will because we have to be there
18 by 2045. I said that the biomethane pathway probably
19 gets us 20, 30, 40 percent. It doesn't get us all the
20 way, so we have to do hydrogen production, and we have
21 to stabilize hydrogen. We can probably blend hydrogen
22 up to 10 percent, maybe 15 percent. But eventually,
23 we're going to want to methanate hydrogen to deliver as
24 a renewable gas.

25 One of the things that I think is important is

1 to look at where emissions come from. And I had a chart
2 up there which us that transportation's the single
3 biggest challenge. 40 percent of our GHGs come from
4 transportation. 70 percent of that's light- and medium-
5 duty vehicles. All of that needs to be electrified, and
6 we're not close yet, folks.

7 So, if you really want to talk about cost
8 effectiveness and GHG reduction effectiveness, you've
9 got to electrify the light- and medium-duty
10 transportation sector. That is the biggest value for
11 the decarbonized electron.

12 The biggest value for the decarbonized molecule,
13 which is renewable gas, is where people use gas every
14 single day for heat in their homes. That's all we're
15 saying.

16 MS. MAHONE: So, Eddie, did you want to add
17 anything there or --

18 MR. ROSALES: Oh, this is a great question.
19 It's what we're going to be scoping out in the report
20 we're looking at. And the only thing I would like to
21 add is that the existing building stock, you know, over
22 12 million residential units, that's just on the
23 residential side, is a big challenge.

24 So, there's a sense that, yeah, all the options
25 are in front of us.

1 With regard to electrification, we have not --
2 the State has not and no other state has, in the
3 country, has set up the infrastructure, the market
4 incentives for consumers to make those choices.

5 So, I think SB 1477 is giving an injection, a
6 new injection to that side. And I think as it plays out
7 in the next 10 years, hopefully, we can see consumers
8 making choices. You know, and it will be a consumer-
9 driven market more than anything else.

10 MR. MINTER: Eddie makes a good point, which is
11 the new building sector. And I think that a lot of
12 folks are thinking, well, maybe that's where we really
13 ought to be looking because that's the new creation.
14 And we saw the prices given for line extensions and 7 to
15 9 thousand dollars as the cost of gas.

16 But we've also got to realize that the future
17 for decarbonizing electricity is solar rooftop, and
18 solar rooftop's 15 to 20 thousand.

19 So, the electrification reliance is far more
20 expensive even in the new sector, than delivering
21 renewable gas. 15 to 20 thousand for a solar rooftop, 7
22 to 9 thousand for a gas pipeline. Both of them will
23 ultimately delivery renewable energy. What makes sense?

24 MS. MAHONE: Okay. So, with that, I'd like to
25 open it up to questions from the Commissioners, first,

1 and then we'll go to the audience, if you guys have any.

2 MR. EARLY: Okay, sure, this is Bryan Early with
3 the California Energy Commission. We'll start with the
4 audience and I'll pass the mic around. And if we can
5 make sure to say your name and your affiliation for the
6 court reporter, yeah.

7 Sure, and because of time constraints, if we
8 could keep comments to one minute, that would be greatly
9 appreciated. So, maybe enlist some help here to pass
10 the mic around.

11 MR. ACOSTA: Just incredibly honored to be here.
12 My name is Jerry Acosta. I'm with the Utility Workers
13 Union of American. Incredibly honored to be here and
14 I'll to be really quick and brief.

15 In the sense that we're fortunate, we've gotten
16 notices of this hearing. We've got -- you know, I could
17 take off from work and come here. And I heard a
18 gentleman, earlier, talk about that he built homes in
19 the Willowbrook, South Central Watts area. Well, that's
20 where I was born, and lived there and work as a gas man.

21 I think it's important that you take a look at
22 -- you talk about 12 million, 10.5 million people that
23 have natural gas in their homes and the cost of
24 switching over. There's a theory in my neighborhood
25 that you can't green poverty that quickly and there

1 is a cost to what you're talking about. And the
2 Commission must be transparent with those people, those
3 10.5 to 12 million people that use natural gas, that
4 want to continue using it. I think it's important to
5 look at cost. I mean it's easy to go from one way to
6 produce electricity and DWP has a certain cost and then
7 4 to 5 billion dollars more to produce electricity at
8 DWP without natural gas.

9 So, I think we have to be transparent about
10 cost. And what is it going to do with jobs in our
11 infrastructure? We have 140,000 miles of gas
12 infrastructure. It's not going to go away, folks. I
13 know it's easy to talk about it. I know it's probably
14 the smart discussion to have, but none of this is going
15 to go away. And the transition to real people in the
16 Watts -- I like to be representative of those people. I
17 think it's important and significant, and must be
18 addressed by the Commission.

19 MR. EARLY: Okay, thank you. I'll shuffle
20 around.

21 MR. HAKEL: Hi, I'm John Hakel. I'm the
22 Executive Director of a group called the Southern
23 California Partnership for Jobs. We actually have 2,750
24 contractors and 90,000 union workers. We represent the
25 carpenters, the laborers, and the operators.

1 And this has been one of the conversations I've
2 had with the workers going what is going to happen to
3 me? I'm a young couple, I'm a minority couple, I want
4 to buy a home. What if? What if, as this rolls out, I
5 cannot afford a home?

6 Everyone desires the opportunity to own a home.
7 What is the long-term plan for them?

8 My question is twofold. One, if this goes
9 through, if you have a single source of energy, no one
10 in this room is that naive to believe the prices aren't
11 going to go up. It's just a fact.

12 (Applause)

13 MR. HAKEL: It's just a fact. I love what we're
14 doing here, this dialogue has to happen. I applaud
15 everyone for coming to this. My question is, as this
16 gentleman just said, was this notified in the L.A.
17 Times, Pasadena Star, Long Beach? It's the people who
18 have to hear this. This is part of our world. We know
19 what it is, but do they know what's coming down the
20 pike. And I think it's most important that these
21 elected officials know what the taxpayers may or may not
22 have to come into their lives. Thank you.

23 (Applause)

24 MS. ROCHA: Hi, my name is Lilly Rocha. I'm the
25 President of the Latino Food Industry Association, and

1 also on the board of the Latino Restaurant Association,
2 and also a graduate of UC Berkeley. So, I definitely
3 appreciate all the dialogue and understand this.

4 For our over almost 4,000 members that we have,
5 restaurant owners, chefs, people in the industry, coffee
6 roasters, beer makers, that's what we're looking at.
7 We're looking at the cost and we're looking at some
8 enormous costs. And I believe that we're getting the
9 message out to our members, constituents of yours. We
10 want to know, you know, how is this all going to be paid
11 for? Because I feel like that's where a lot of our
12 members' questions are coming from, and I'd like to be a
13 little bit more knowledgeable on letting them know, you
14 know, how this is all going to happen.

15 And so, like I said, we have independently
16 looked at some studies and looked at the costs, and the
17 cost is pretty enormous for it. And I, again, I'm not
18 saying -- you know, we're doing a lot of great things
19 with electricity, I'm not saying it's bad. It's just
20 that we definitely need to know and make sure that
21 people know what these enormous costs are for their
22 businesses.

23 MR. EARLY: Thank you. So, we've taken a couple
24 of questions about cost. I don't know if anyone on the
25 panel wants to respond, or Commissioners, or we can just

1 keep on.

2 MR. MINTER: Well, I mean, I'll respond really
3 quickly. And that is that what we're suggesting is
4 there are many pathways. There isn't just the
5 electrification pathway. There's a lot of ways to get
6 to where we need to go. We need to look at deploying
7 electricity where the problems are, like transportation.
8 We need to look at gas supply, which is not renewable,
9 and why not? And perhaps we ought to make it more
10 renewable.

11 We're suggesting the least-cost pathway today is
12 to require everybody that guys gas, by 2030 to buy 20
13 percent renewable gas. And that will get us the GHG
14 reductions we need without any of the folks owning a
15 home, or renting a home having to incur a cost to switch
16 out equipment or a new homebuyer to suffer increased
17 costs.

18 There's other approaches. For example, the Low
19 Carbon Fuel Standard in the transportation sector is an
20 approach that's being suggested by one of the
21 participants in this forum. Sam Wade, formerly from the
22 ARB, who ran the LCFS program, is suggesting we could do
23 this in the transportation sector and this would be a
24 way to jumpstart decarbonizing gas supply.

25 So, if we're really concerned about cost, we

1 ought to look at where people -- and this proceeding
2 really does need to look at that. If we're
3 decarbonizing buildings how do we do it? What's the
4 most cost-effective way? What are the pathways? It
5 isn't just one approach.

6 MR. EARLY: Okay. Thank you, George. Another
7 question here.

8 MR. CAMPBELL: Hi, my name is David Campbell.
9 I'm Secretary-Treasurer for United Steelworkers Local
10 675, formerly known as the Oil, Chemical, and Atomic
11 workers. I'm also a former board member for Communities
12 for a Better Environment. And a founding member of
13 Labor Network for Sustainability here in Los Angeles.

14 As a resident and worker in this area, we're
15 very concerned about air quality. And, obviously, we
16 are one of the sectors, most of my members make
17 transportation fuels, primarily for airlines and light
18 transportation sector.

19 We're going to get impacted a great deal by
20 changes currently in the legislature on light
21 transportation. We supported AB 32, which was a tough
22 position for us. But our main concern is there has to
23 be a just transition for workers in the communities who
24 are affected by change. So, these jobs that are created
25 by the building decarbonization that we all support,

1 because we know we have to do it to protect the progeny,
2 the future generations, and make our State and our
3 workplaces the most competitive in the world and
4 maintain our position as the fifth largest economy in
5 the world. We know we have to do it, but there has to
6 be a just transition for workers in their communities.

7 So, these jobs that are created have to be good-
8 paying, family-supporting jobs that whether I'm an oil
9 worker, or former oil worker, or whether I'm a former
10 gas worker, or whatever, we have jobs to transition to.
11 And without that, we cannot get our members to support
12 the kind of changes that are necessary.

13 So, those issues are linked and that's why
14 they're important. Thank you.

15 (Applause)

16 MR. EARLY: Thank you. Trying to get some
17 locational diversity here so --

18 MR. CHERRICK: Hi. Kyle, with Pick My Solar.
19 We run an online marketplace that helps homeowners to
20 easily get many bids to add solar and energy storage.

21 Following up on the cost conversation, I just
22 wanted to let everybody know that it happens to be you
23 can see on our website, through our calculator, it's the
24 first think you see, that the average owner in
25 California, if you put in any address in California and

1 run the numbers, after paying off a solar system with
2 cash flow positive loan, saves \$50,000 over the life of
3 the project. That's money that can be put to your
4 retirement fund, that can go to pay off your house, that
5 can just help make your world a better place,
6 personally, for any family.

7 And then, you know, I just want to add a
8 personal anecdote that, you know, I started in utility
9 scale, solar development, photovoltaic in California
10 about ten years ago. And ten years ago, we were
11 ecstatic if we could get a contract for a 10- or a 20-
12 megawatt project at 20 cents a kilowatt hour. And we
13 were worried about like, man, are we going to be able to
14 actually build it at the price. That doesn't feel like
15 enough money.

16 We are literally within three to five years from
17 having one-and-half-cent-per-kilowatt hour solar
18 photovoltaic in California and throughout the State.

19 So, in terms of costs that's why we see
20 electrifying everything having a lot of benefits for
21 everyone. Thanks.

22 (Applause)

23 MR. EARLY: Thank you. Just a quick process
24 note here, we are going to try to end this Q&A at 11:15,
25 on schedule. But we will be opening up at the very end

1 of the workshop for additional public comments. We want
2 to make sure that public comment gets heard, and
3 especially the people in the overflow room. So, if
4 you're feeling like you don't have an opportunity now,
5 let's make sure to save those questions and bring them
6 all up at the end of the workshop.

7 So, in no coherent fashion.

8 MR. SWITALSKI: Thank you, sir. Jon Switalski
9 with Californians for Balanced Energy Solutions. This
10 is a very astute conversation and we appreciate it. And
11 Commissioners and President, appreciate you being here.

12 But I just want to follow up on a couple of the
13 issues that folks brought up earlier, which I think gets
14 down the base level of access and equity. I mean, we
15 have folks in overflow rooms, don't have a line of sight
16 here, as lovely of a facility as this is.

17 And as far as I can tell, we don't have any
18 translation services here. And so, I understand that
19 this may be an old format or we're not used to seeing as
20 many faces, but this is a process that has the potential
21 to affect all of us. And so, I think, and I would
22 encourage your consideration to attempt to lower the
23 access barriers here.

24 And so, with regard to equity, the coalition
25 that I represent has two members in L.A. County that are

1 nongovernmental organizations, Faith and Community
2 Empowerment in Korea Town, and the Southeast Churches
3 Services Center.

4 They're concerned about the low-income families
5 that they represent. They help with utility bills.
6 They pay people's utility bills and rent that can't
7 afford it. And so, when we talk about choice, we're
8 doing so from a very privileged position. We're doing
9 so in a public policy, with stats and charts, and that's
10 all well and good. But folks sitting at the kitchen
11 table don't have a choice. They're choosing dinner or
12 they're choosing electricity bills. They're choosing to
13 grovel for help to pay their electricity bills.

14 So, I think it's incumbent on all of us in this
15 room to take a step back and let's think about this from
16 a human perspective. And at the end of the day, what
17 does this process end with? Unaffordable mandates?
18 Inability to access the workshops and forums?

19 So, I encourage all of us to kind of think about
20 it from that perspective. Thank you.

21 (Applause)

22 MR. EARLY: Thank you.

MS. THAKAR

23 your one minute is up for comment or question, please.

24 And I would also just like to note that we did
25 receive a request for a translator very late on Friday.

1 Unfortunately, it was too late for us to reserve one.
2 We will keep that in mind for future engagements. So,
3 thank you.

4 Thanks for your comment. Please?

5 MR. EDER: Hello. My name is Harvey Eder. I'm
6 speaking for myself and for the Public Solar Power
7 Coalition. We did a study on equity four years ago for
8 the PUC, the Low-Income Solar Equity Program. And for
9 350 and the reviews on transportation, this was not
10 evaluated along with everything else.

11 Renewable natural gas. Okay, in the '16 plan
12 for the Air District here, we put a lot of stuff in
13 there about drug-resistant antibiotics. I also want to
14 incorporate in for reference, yesterday's New York Times
15 about antifungals and antibiotics, we included -- that
16 the CDC, ten years ago said there were 23,000 deaths in
17 here. The premature death is valued at \$9 million per.
18 A thousand is \$9 billion a year. We've got like 4,000
19 here in South Coast, just from emissions. We totally
20 ignored this. They say by 2050, the World Health
21 Organization says 170,000 or more a year. So, a good
22 percentage of that, right, comes right here in
23 California, and we're totally ignoring this. And they
24 didn't even have to report these deaths until last year.

25 MS. THAKAR: Thank you, sir.

1 MR. EDER: And this is just one example. There
2 are a lot of other things.

3 MR. EARLY: Thank you. I'm trying to get us out
4 of the room so everyone feels --

5 MR. FLORES: Good morning. Armando Flores with
6 the Valley Industry & Commerce Association, VICA. We
7 represent businesses all throughout the L.A. Region, a
8 number of which have voiced concerns with moving towards
9 a hundred percent electrification. Just for the simple
10 fact that right now what they have is affordable and
11 it's reliable, restaurants and manufacturers.

12 So, my question is are we looking at real cost,
13 actual reliability, and if these technologies that we're
14 trying to move towards are actually there, yet, and if
15 they're advancing as fast as we are saying they are.

16 MR. EARLY: Thank you. I feel like I'm
17 neglecting folks up here in the rows.

18 MR. DAVIS: Milton Davis, Secretary-Treasurer
19 Local 132. Creating a monopoly and eliminating choices
20 has never been good for the common people.

21 MR. EARLY: They can't hear.

22 MR. DAVIS: Milton Davis, Secretary-Treasurer,
23 Local 132. I said, developing a monopoly has never been
24 a good thing for the common people.

25 MR. EARLY: Okay, thank you. A process note,

1 copies of the presentations will be available online in
2 both the PUC and the CEC documents.

3 I have a question here from Bruce Severance to
4 George Minter. This question is, if hydrogen is both
5 explosive and a thinner molecule, and more to leaks than
6 natural gas, would it be safe to blend it for
7 dissemination in the aging infrastructure. And then,
8 would it not be safer to use hydrogen for peaker plants?

9 MR. MINTER: So, hydrogen, like methane, is a
10 gaseous fuel that ignites. Gasoline, diesel, the same
11 thing. So, we're used to that in our energy system.

12 The challenge with hydrogen is, as the
13 questioner addresses, is how much can you really use in
14 the gas system before you have any concerns? And the
15 science is mixed. In Europe, they're blending at 10
16 percent. We actually visited some sites, new gas
17 delivery systems where they're blending at 20 percent.

18 We have a power gas facility at UC Irvine and
19 we're currently blending at a 4 percent rate to learn
20 what does this do to the pipeline system, to the metals,
21 to the connectors, and what does it do to the end uses.

22 And what we understand is a modern gas system
23 can handle hydrogen and blending hydrogen at a pretty
24 high level. The challenge is what about all the end-use
25 applications. And so, that's when you come to the 10 to

1 15 percent. We think we can get to 10 or 15 percent.

2 We actually have a bill in the Legislature
3 today, that followed on Nancy Skinner's hydrogen bill,
4 that asks the question how much can be blended in the
5 pipeline system and shouldn't we be doing it? And calls
6 on the California Science and Technology Commission to
7 do a study and then recommend to the PUC hydrogen
8 blending standards, just as we have biomethane blending
9 standards.

10 MR. EARLY: Thank you. Okay, we have time for a
11 couple more questions here.

12 MR. SOTO: Hi, my name is Jorge Soto. I'm an
13 accountant, economist and a Regional Officer for the
14 132. Thank you very much to all the panel, first of
15 all, for being here. And I'll be very, very brief.

16 With the exception of Mr. Minter, there were
17 flaws in the constructs of analysis that you did.
18 Specifically, the line item is not \$6,000, because I
19 also own a company that does property development, and
20 we're nowhere near that cost.

21 How can you have 40 percent in excess during
22 peak season and non-peak season. You can't have both of
23 them coexisting.

24 One very, very quick point that the existence of
25 natural gas and also electrifying is a mutually

1 exclusive concept. I think both of them can coexist,
2 but it's a matter of facilitating the end objective
3 which is providing one clean glass for the customers, or
4 rather clean energy for the customers, concomitantly
5 with also producing a shift in the amount of GHGs that
6 are being put out into the environment.

7 So, I think facilitating that process is
8 something that's going to make it a mandate that
9 everyone works together and you don't have such almost
10 unobjective viewpoints that are expounding one specific
11 side, irrespective of whether it's valid or not. You
12 truly have to look at the overall ideals that you're
13 dealing with and predicate your conclusions upon some
14 semblance of reason and logic behind that. Thank you.

15 (Applause)

16 MR. EARLY: Thank you. And I think we -- just
17 one more, do you think?

18 MS. THAKAR: We can do one more.

19 MR. EARLY: I'll just end with a comment or
20 question from the overflow room, from Jennifer Ganata,
21 for Communities for a Better Environment.

22 And Jennifer asks: In addition to ensuring just
23 transitions for workers, particularly from those in low-
24 income communities, how do we ensure that individual
25 ratepayer isn't negatively impacted by building

1 decarbonization? In order to achieve equity, the
2 Commission must reduce the gap between disadvantaged
3 communities and the rest of the State. The Commission
4 must study what are the causes that led to disparities
5 in communities and make planning decisions that reduce
6 disparities, consider environmental and economic impacts
7 of energy resource decisions on disadvantaged
8 communities, create a process with an advisory group to
9 achieve equity.

10 Okay, so --

11 MS. THAKAR: Thank you. And with that, we're
12 going to wrap up our first panel. If we could please
13 have an applause for our panel.

14 (Applause)

15 MS. THAKAR: Okay, our second panel today is
16 Local Leadership in Building Decarbonization. The panel
17 is going to be -- is going to include our panelist
18 Kathryn Harrison, who's a Councilmember of the City of
19 Berkeley. Obadiah Bartholomy, who's the Energy
20 Efficient R&D and Climate Change Program Manager at
21 SMUD. And Rachel Kuykendall, Senior Program Manager,
22 Sonoma Clean Power.

23 Okay, if everyone can please take a seat, we're
24 going to keep going, continue with panel two.

25 Panel two is going to be moderated by Dominique

1 Hargreaves. Dominique is the Deputy Chief

2 Sustainability Officer for the City of Los Angeles.

3 Hello, if I could have everyone please take
4 their seats?

5 (Pause)

6 VICE CHAIR SCOTT: Okay, everyone, we are having
7 difficulty with people being able to hear through the
8 microphones. We're just doing a quick shift to our new
9 panel, so if you are looking to continue conversation,
10 please step aside so we can start to introduce our new
11 panel.

12 They will be talking. And then, we're asking
13 everyone to really project because folks listening on
14 the WebEx and in the other room can't hear us. So,
15 we're going to let Nidhi introduce our new panel to us.

16 MS. THAKAR: Thank you, Commissioner.

17 Thanks. If everyone would please take a seat,
18 we are going to get started.

19 Okay, so Dominique Hargreaves is going to be our
20 moderator for our second panel here on Local Leadership
21 and Building Decarbonization. Dominique is the Deputy
22 Chief Sustainability Officer for the City of Los
23 Angeles. Division of Sustainable Buildings for all
24 within this generation keeps her inspired to move
25 sustainability forward in a holistic way.

1 Dominique studies sustainability rating systems
2 and holds credentials in LEAD, WELL, Envision and Eco
3 District. She is particularly interested in the
4 intersections between high performance, net zero
5 buildings, and health and wellness initiatives.

6 Prior to joining the Mayor's Office of
7 Sustainability, Dominique served as the Executive
8 Director of the U.S. Green Building Council in Los
9 Angeles, for five years. Thank you.

10 MS. HARGREAVES: All right, good morning
11 everyone.

12 MS. THAKAR: Oh, is your mic on?

13 MS. HARGREAVES: How's that? Not yet. Okay,
14 good morning. Can you hear me? Perfect. Thank you so
15 much.

16 So, I wanted to talk a little bit about what Los
17 Angeles is doing and I'm really excited about this panel
18 talking about local leadership when it comes to building
19 decarbonization.

20 So, as the Intergovernmental Panel on Climate
21 Change Report, entitled Global Warming 1.5 Degrees
22 Celsius reiterates: Reaching and sustaining net zero
23 carbon emissions by midcentury is the key to address
24 climate change and avoiding its most catastrophic
25 impacts.

1 And all across California we've been feeling
2 these impacts in our local communities with high heat
3 days, more asthma rates, wildfires, and debris flow, and
4 it's been very, very difficult for Californians.

5 So, at the Global Climate Action Summit in San
6 Francisco last year, more than 100 jurisdictions,
7 including California and over 70 big cities that are
8 home to more than 425 million people, we all joined
9 together and made pledges to reach carbon neutrality by
10 midcentury.

11 This pledge is called Deadline 2020, which calls
12 for carbon-neutral climate plans from 73 of the world's
13 largest cities.

14 So, our plan in Los Angeles is due to be
15 released at the end of this month. In it, we have
16 looked at the strategies that will lead L.A. to uphold
17 the Paris Climate Agreement, achieve a carbon-neutral
18 city by 2050, while emphasizing equity and good-paying
19 green jobs for Angelinos.

20 So, when we're looking at reaching carbon
21 neutrality, we fall back on our five zeros. These are
22 strategies around zero carbon buildings, zero carbon
23 energy grid, zero carbon transportation, zero waste, and
24 zero wasted water.

25 So, with that, I believe we are ready to begin

1 the panel. And I'm proud to introduce the three
2 panelists that are here today.

3 First up, we have Councilmember Kathryn Harrison
4 from the City of Berkeley. Councilmember Kate Harrison
5 was first elected in 2017 in a special election, and
6 reelected for a four-year term in fall 2018. She
7 represents District 4 in Berkeley, which includes the
8 downtown where much of the new construction in the city
9 is taking place.

10 She chairs the Council's Facilities,
11 Infrastructure, Transportation, Environment and
12 Sustainability Committee, a central focus of which is
13 taking action locally to tackle the climate crisis.

14 Kate co-authored the city's Climate Emergency
15 Declaration, replicated by over 20 cities in California
16 and other states.

17 As a public sector consultant for the past 19
18 years, Kate has solved problems in 31 California
19 counties, eight states, and 14 nations. Her firm
20 improves systematic access to justice for the
21 underserved, ranging from Native American foster youth
22 in North Dakota, Defendants without lawyers in Serbia,
23 and people returning to their communities from prison.
24 Her work on equity informs her approach to climate
25 change. Kate's prior work experience includes policy

1 and executive positions in the State of California, and
2 City and County of San Francisco.

3 Kate attended UC Berkeley as an undergraduate
4 and received her master's in public policy from the
5 Goldman School of Public Policy.

6 Welcome Councilmember Kate.

7 COUNCILMEMBER HARRISON: Thank you very much.
8 Yeah, thank you. While he's looking for that, let me
9 just start by saying that this issue is personal to me
10 in a very specific sense. I own an old home in
11 Berkeley. And it was built by a speculator in 1889, who
12 wanted to bring electricity to Berkeley and he failed.
13 And our house ended up having natural gas connections.

14 In the 50s, my father-in-law worked in building
15 inspection in Los Angeles and, again, there was a big
16 push for electrification which really didn't succeed.

17 So, sometimes when we think about this issue of
18 electrification, it feels something like a fad. You
19 know, we've been here before, we've talked about this
20 before. But this time it's really not a fad and it's
21 not going away.

22 It's our low-income communities and families who
23 are the ones that are most impacted both by the cost of
24 energy, who are impacted by the potential loss of jobs
25 when we make these transitions, but also who are

1 impacted by the health and climate impacts that we see
2 from what's going on now in our environment.

3 So, we have to be ever-mindful of that, the
4 equity issues that present to us when we are looking at
5 this issue.

6 Like every other jurisdiction in California, I
7 think the State, itself, we tried several different
8 approaches to addressing the climate challenge. One has
9 to do, of course, with setting goals. How much are we
10 going to reduce GHGs, by what year? And we've done that
11 in several different iterations.

12 We've also looked at incentives. We had
13 something called the Green Pathway for our downtown,
14 which tried to say you can be denser if you -- and get
15 permits approval quickly if you do green buildings.
16 That failed. We've not had a single person take us up
17 on that.

18 We did the Deep Green Building Initiative, also
19 an attempt at incentives for building developers.

20 We tried mandated information. When people sell
21 their single-family homes, they have to have an energy
22 audit and let the new owners know what the results were.
23 So, we tried the information approach.

24 None of this has really taken. And I'll talk
25 about our statistics in a minute. And my constituents

1 are increasingly impatient with the pace of our ability
2 to tackle this climate change and, frankly, really,
3 really afraid.

4 So, at this point, one thing we are looking at
5 in Berkeley is a building electrification initiative,
6 which I'll talk about in just a minute.

7 Let me give you a little more on our statistics.
8 We have set these goals over many rounds, as I said, and
9 currently we're about 18 percent behind our 2020 goal.
10 And with the Cal Traffic Fires, unprecedented smoke,
11 drought and heat that we saw from the fires last year in
12 Napa County, which impacted the entire Bay Area, and the
13 current flooding going on throughout the country, and
14 the U.S. Report, I don't think we have a lot of time to
15 wait.

16 Natural gas is responsible for 27 percent of the
17 total GHG emissions in Berkeley and 73 percent of the
18 building sector GHGs. Every new building locks in
19 significant GHGs for decades. We have 2,200 new
20 dwelling units permitted in the City of Berkeley, due to
21 be built in the next five years, all in my district
22 downtown. These are apartment houses that we need to
23 build also for the climate emergency. It will allow
24 people to live in the inner city, near transit. But to
25 do that, we have to do it green.

1 What we've done in past attempts to phase out
2 gas have included looking at reach codes through the
3 CEC. But Title 24 hasn't really allowed enough -- it
4 doesn't really address electrification significantly.
5 I'm going to talk more about that later, our current
6 approach.

7 We also have looked at how we can -- we've
8 requested the CPUC and PG&E do more on incentives for
9 non-gas appliances, so that we can help encourage people
10 to at least look at the two types of appliances equally.
11 And that hasn't been successful because we cannot pass a
12 three-prong test, which most of you are probably aware
13 of.

14 So, what we're working on now is a new
15 ordinance, that we brought together a coalition of
16 decarbonization advocates and experts to talk about how
17 do we deal with this statutorily. What can we do in the
18 face of the fact that the reach code isn't working for
19 us and the mandates for the three-prong test aren't
20 working for us, what can we do locally?

21 Before I talk about our ordinance too much, let
22 me just say in that very same house, built in 1889, that
23 was intended to be all-electric, I just went through an
24 experience when my heater died, my gas heater, which has
25 been faithfully pumping out heat, thank you, for

1 decades. And I had to replace it. And I ended up
2 replacing it with an electric heat pump and it was a
3 terrible experience.

4 And it was a terrible experience because we are
5 not ready in existing buildings to do this work. Not
6 because the technology doesn't exist, but because the
7 structure of my house makes that really tough.

8 So, what we tried -- what we are trying to do in
9 Berkeley currently -- and by the way, the heat pump
10 works. It's in, it does work, it is saving energy and
11 it is helping the climate. But it was not an easy
12 process. And I'm a privileged person with the
13 knowledge, and the information, and the income to be
14 able to do this thing, which most people just simply
15 can't do.

16 So, what we're looking at now, in Berkeley, is
17 phasing out natural gas and encouraging all-electric
18 design in new buildings. In new structures,
19 specifically. It's not intended for renovations to
20 existing buildings. The only place in existing
21 buildings where we phase out gas through the State is
22 that accessory dwelling units don't have to have gas
23 hookups, which they used to have to have. So, as we
24 move towards ADUs, they're becoming more electric as
25 attached to people's homes.

1 We're doing this relying on the city's police
2 power and our authority to establish and enforce local
3 building codes consistent with State Building, Health
4 and Safety Codes. And I'll talk about our findings in
5 that regard in a minute.

6 This avoids, will help us avoid the inevitable
7 costs associated with decommissioning the gas
8 infrastructure.

9 I'm, you know, very concerned as we build new
10 these buildings are going to be facts on the ground for
11 decades, a hundred years. We're building a lot of 18-,
12 20-story buildings in our downtown, with lots of small
13 apartments. We can't afford to be building them in a
14 way that is less environmentally conscious than it could
15 be.

16 I think -- but we're also doing this, I want to
17 say, at the same as we're looking to green the grid
18 through the East Bay Community Energy CCA. I'm on the
19 board of that, as our representative for Berkeley, and
20 we're looking to making electricity greener at the same
21 time that we make more buildings electric. So, there's
22 a lot of these things working in tandem.

23 Let me just skip ahead here. And I can talk
24 more about the authority to do this locally through code
25 in a minute, if people are interested.

1 So, what are our findings? This slide is a
2 little hard to read. But we're able to make findings
3 that this is necessary because of climatic impacts,
4 because of impacts for geologic events, the likelihood
5 of earthquakes in Berkeley. We have a major gas line
6 running under our high school. And I hate to say this,
7 but our utility's been incredibly unhelpful in getting
8 us an automatic shutoff valve. This has made our
9 neighbors incredibly anxious, given what happened in San
10 Bruno.

11 So, the issue of safety is paramount in the
12 minds of my constituents. Even more than the cost
13 issue, maybe even more than the climate, it's the safety
14 concerns that people have with natural gas. Right or
15 wrong, they're very afraid.

16 We also are looking at findings involving health
17 and safety impacts from toxic air quality, indoor stove
18 exhaust, outdoor flue exhaust, and these pipeline
19 explosions.

20 And we're looking at the economic impacts. I've
21 heard a lot said about economics today, but we know the
22 Rocky Mountain Institute found that for new
23 construction, that avoiding the costs of trenching and
24 plumbing for gas made electric cost-effective for new
25 construction which is, again, our focus.

1 Also, the energy consultant testimony before the
2 CEC, and a National Resource Defense Council study found
3 that there were cost savings for multi-family. And
4 again, it's most cost-effective if we're building from
5 the ground up.

6 We're also worried about cost from the point of
7 view that we don't want to strand people with gas assets
8 as our -- at least in Northern California, our utility
9 is facing bankruptcy. We see a lot of these assets
10 being stranded. Those people not building electric are
11 going to be the ones left to pay this gas cost. And
12 that is an equity issue that we have to deal with.

13 As we put these new apartment buildings, which
14 have better-off people often living in them, on all-
15 electric, those gas costs are getting spread to somebody
16 else. And it is not something I am not aware of, so I'm
17 very concerned about that.

18 And then, our policy underpinnings include our
19 Climate Emergency Declaration, our Measure G, which is a
20 statement from our voters about concern over the
21 environment. A fossil-free resolution we passed last
22 year, and just prior policies that we set in the city.

23 I know I have very little time. I'll tell you
24 what our outstanding, big questions are as we explore
25 this. I should say, first, this is not going into

1 effect tomorrow. What we are doing is holding a series
2 of hearings with multi-family and single-family
3 builders. We're then having hearings with people in the
4 trades, and architects, et cetera, to talk about what
5 the impact is on their work. We're going to have a
6 series of community outreach events with residents to
7 talk about what this might mean.

8 We're in an unusual situation, perhaps, in the
9 Bay Area on BART. We're not building single-family
10 homes. Okay. Frankly, everything we build is big
11 apartment buildings or condos. So, we're in a different
12 situation in that way.

13 So, one of our questions as we go through these
14 hearings are -- these are our questions. What's the
15 regulatory pathway? Do we want to do a stand-alone
16 ordinance based on the findings we think we can make?
17 Or, do we want to submit something to the California
18 Buildings Standards Commission, which would say this is
19 how we're changing our building code.

20 Are there any kinds of buildings where this is
21 not a good idea? You know, some things have discussed
22 with us in terms of things like hospitals, other kinds
23 of facilities where this may just not be feasible.

24 In that regard, what scope of public interest
25 exemption are we going to have? We will have an

1 exemption built into the ordinance to say it's in the
2 public interest to not require gas in this -- I mean,
3 getting rid of gas in this building.

4 When are we going to start? What does it mean
5 for our staff? How do we give our staff the resources
6 they need to address all the questions all of you are
7 going to have when this goes into effect, when you come
8 into our planning department?

9 And what approaches are we going to take, if
10 any, to existing buildings? I'm not going to go over
11 that as much, just to say, though, one additional
12 measure we promoted is use of the transfer tax, property
13 transfer tax to allow people to make energy improvements
14 to their home. Right now, they're allowed to make
15 seismic safety improvements. I've now recommended that
16 we expand that ordinance to allow people to make energy
17 improvements, so there's a built-in source for
18 homeowners to start the path towards making the existing
19 buildings more energy-efficient, and more GHG-free.

20 So, thank you very much.

21 (Applause)

22 MS. THAKAR: Thank you so much, Councilwoman.

23 Next up, we will hear from Rachel Kuykendall.

24 And Rachel is Sonoma Clean Power's Programs Manager.

25 And she is responsible for program design and

1 implementation in the areas of energy efficiency, demand
2 response, electric vehicles and other areas that reduce
3 greenhouse emissions, and support affordable energy for
4 Sonoma Clean Power customers. She currently manages
5 Sonoma Clean Power's Demand Response Program, and the
6 Advanced Energy Rebuild Program which supports
7 homeowners affected by the 2017 North Bay wildfires.

8 MS. KUYKENDALL: Thank you, everyone. So, my
9 name is Rachel Kuykendall. I work for the CCA up in
10 Sonoma and Mendocino County. So, for you that are
11 local, the equivalent of Clean Power Alliance, our new
12 CCA, which I'm very excited about.

13 And I am very excited today to be here with our
14 local cities, and SMUD as well, leading the charge in
15 building decarbonization.

16 But I'm also equally excited to see this really
17 diverse group of people here. This is what it's going
18 to take to make building decarbonization a reality. And
19 with that, I'm going to dive into it.

20 So, we are currently implementing a program
21 called Advanced Energy Rebuild which is, for the first
22 time, putting the option of building decarbonization on
23 the table for our homeowners rebuilding from the 2017
24 wildfires. And this is a collaboration between Sonoma
25 Clean Power, PG&E, and the Bay Area Air Quality

1 Management District.

2 What I think is really important about this
3 program, as we look to create a program like Build, is
4 this is a collaboration. So, this is something that
5 when we build out Build, no pun intended, we could look
6 at something like layering on to the existing utility
7 energy-efficiency program that already have a built-up
8 trust with these ratepayers.

9 Our program is currently serving 181 homes. And
10 of those, about 35 percent have made the choice to
11 rebuild all-electric. That actually is more like 50
12 percent when you consider homes that have only one gas
13 use, such as a fireplace or cooking. So, some real
14 progress up from the 5 or 10 percent that we
15 traditionally see in our service territory.

16 This also looks at a couple other things that
17 are unique to the program. So, our Dual-Fuel Program,
18 we do require that the homes be prewired for an eventual
19 switch to electric appliances. And this is something
20 PG&E collaborated with us very closely on. So, we do
21 require that, you know, those huge costs that we talk
22 about, 10, 15 years when your appliances break, so that
23 you're prepared for those costs up front when you build
24 your building.

25 It wouldn't be a presentation for me if we

1 didn't have data. So, we are starting now to see our
2 first homes come online, which is really exciting. And
3 I think you saw similar charts of this from Panama,
4 earlier. Our climate is pretty mild in comparison and
5 our electricity sources are much cleaner than the
6 statewide average, so we're looking a little flatter.

7 But you can see here what the GHG impacts are of
8 various choices for homes. Going from the left, from a
9 dual-fuel home to a dual-fuel home with energy
10 efficiency, and the jump to an all-electric home. And
11 this is something, as we start to show this data,
12 really, to our local governments, this has been huge.
13 Just getting the understanding of what the GHG impacts
14 can be of making the switch.

15 And for some of our jurisdictions, we don't have
16 a lot of building in Sonoma County and this can be 2 to
17 3 percent of their emissions just by making this switch
18 to look at this as a reach code.

19 Okay, another chart. And this is an actual home
20 that participate in the program. And this is going to
21 get to a point about building taxes, I think is very
22 important as we start to design these programs.

23 So, this is pre them losing their home. They
24 used to be a dual-fuel home. And they are, as we go
25 through this, now saving hundreds on their utility bill.

1 But what is really interested, this was the first week
2 of their home, and you can see this load chart looks a
3 little bit like a certain animal that quacks. And so,
4 you can see this is an issue, if all homes look like
5 this.

6 And this is just after they installed the
7 battery storage at their home. And you can see this
8 sort of evening peak has actually shifted to midday,
9 which actually makes this home a real resource to us as
10 a utility, because this is when we're generating our
11 clean power

12 And also, we are planning to do some additional
13 work with this particular participant because they do
14 have a water heater that can be a good third resource,
15 as well as a smart thermostat that we're currently not
16 leveraging for this particular home.

17 We can't just put these dollars out there and
18 hope that people do this out of the goodness of their
19 heart. So, we offer a few resources that I think are
20 really important as we start to talk about what these
21 programs should look like.

22 And so, first, we do a number of trainings that
23 we partner with PG&E on, and we do those for homeowners,
24 for builders, for people in the design community. And
25 these people become our advocates out in the community.

1 They get it. They tell their neighbors. They say, have
2 you heard of this heat pump thing? It's pretty cool.

3 The other thing that we do and this is actually
4 a really low-cost program that we're now working SCE and
5 SMUD on duplicating in their service territories. But
6 we lend out these portable, little induction cooktops
7 that we bought for like a hundred bucks off Amazon. And
8 we lend them out for two to three weeks, from our
9 office, to get people to try them.

10 And what's absolutely phenomenal is we do a
11 survey after we lend them out. And just getting people
12 to try these is huge for getting them to understand that
13 this isn't the old electric coil of the past.

14 So, this might be kind of small. But it's
15 asking: On a scale from 0 to 10, how likely would be to
16 switch to induction after trying it?

17 And you can see the majority of people,
18 obviously a somewhat self-selecting sample, but are very
19 excited about the induction cooking. We send a follow-
20 up survey a month later. And of these people, 40
21 percent have made the switch to induction after that.

22 So, something really easy for those local
23 governments out there that are interested in this to do,
24 to get people familiar with these technologies.

25 On the retrofit side of things, I'm just going

1 to touch on this briefly because I think we'll be
2 hearing from others in the next session, including the
3 folks at VEEIC, who are doing a great job of this.

4 We are still in the really early days. And I
5 recognize what people said, this is infinitely harder
6 than new construction. So, our approach for this, is
7 what we're going to be doing is with funds from the
8 California Energy Commission, opening what we're calling
9 our Advanced Energy Center. And this is a storefront
10 where our customers can actually test out induction
11 cooking, test out the heat pump water heater. Get
12 familiar with these technologies. Because once we find
13 people do test them, they like them.

14 It will also connect those people with
15 contractors who have been trained and are trusted allies
16 in installing these technologies.

17 Last but not least, we do connect all of these
18 programs with what we call our Grid-Savvy Program, which
19 is our demand response program, which I alluded to
20 earlier. So, it looks at things like -- we have 2,500
21 electric vehicle charging stations out there that we've
22 given to folks for free. Again, we touched on
23 transportation and how that can be a huge GHG impact for
24 our cities and counties. We're no different, we're
25 sitting at about 50 percent of our emissions coming from

1 transportation.

2 So, if we give people a free EV charger, we can
3 not only encourage them to make the switch to an
4 electric vehicle, but we can also use that as a grid
5 resource. So, what we do is we actually shift that
6 evening charging from like 6:00 p.m., when people get
7 home, to either nighttime or midday.

8 We're doing the same thing with both heat pump
9 water heaters and thermostats as well, in the future.

10 And with that, I am going to turn it over and
11 just thank everyone again for this diverse crowd, and
12 excited to talk about these things.

13 (Applause)

14 MS. THAKAR: Thank you, Rachel.

15 Next up we have Obadiah Bartholomy. And he is
16 the Manager of Distributed Energy Strategy at SMUD. His
17 team is responsive for developing enterprise strategy
18 for electric vehicles, building decarbonization,
19 distributed solar and storage, and load flexibility.
20 Obadiah has worked at SMUD for 16 years in research and
21 development, and strategy functions.

22 He serves as the Vice President of the Board of
23 the Energy Systems Integration Group, an international
24 nonprofit dedicated to addressing technical integration
25 challenges with decarbonizing our energy systems.

1 He has a bachelor's in mechanical engineering
2 from Cal Poly and a master's in transportation
3 technology and policy from UC Davis. Welcome.

4 MR. OBADIAH BARTHOLOMY: Thank you. I really
5 appreciate the opportunity to come here and speak to you
6 all. And before I get started, I will just acknowledge
7 a little disclaimer. Bartholomy is not a very common
8 last name and I am Panama's younger brother. And he got
9 the public speaking gene. I went to school to be an
10 engineer.

11 (Laughter)

12 MR. OBADIAH BARTHOLOMY: So, all right, with
13 that I'm going to talk about the friendly, community-
14 owned electric provider to the north, SMUD, and our
15 building decarbonization efforts.

16 And I'm going to start out with our Integrated
17 Resource Plan, which was approved by our board in the
18 fall. Our board, within this Integrated Resource Plan,
19 took a little bit different approach in weighing,
20 really, decisions about continuing to decarbonize our
21 already increasingly carbon-free grid, or to focus
22 investment on some of the sectors that contribute the
23 most greenhouse gas emissions in our region, the
24 transportation and building sectors.

25 The chart here shows the 5 and a half million

1 tons of reduction that we're hoping can be accomplished
2 by 2040, in large part through investments that we will
3 make with our customers in these efforts.

4 The Board weighed a less expensive option, where
5 we were investing in remote renewables to accomplish our
6 decarbonization objectives, just for the electricity
7 system, against an approach to invest locally in
8 transportation and building decarbonization. And,
9 ultimately, decided to commit investment of \$1.7 billion
10 into our community and helping our customers save money,
11 live in healthier homes, and ultimately address climate
12 change in a much bigger way.

13 This chart shows, in the colored chart -- or,
14 colored area of the chart, the contributions in terms of
15 the equivalent electric homes per year that are made up
16 of heat pump space heating, heat pump water heating, and
17 induction technologies.

18 By 2025, we hope to be retrofitting and building
19 new, the equivalent of 7,000 homes per year in our
20 service territory, and continuing to grow much -- quite
21 rapidly beyond that.

22 We've committed a significant budget here. As
23 you can see, starting last year we gave out almost a
24 million dollars in incentives to our customers to start
25 to begin this transition. We're expecting to grow that

1 budget 40X by 2025. Considering SMUD's population, this
2 would be the equivalent of about a billion-dollar-per-
3 year investment at the statewide level. So, really,
4 tremendous commitment by our board to this program.

5 There are a lot of numbers on this chart, which
6 generally makes me happy, but I'll pause on it for a
7 bit. These are the set of programs that we began
8 launching starting last March, with the new construction
9 programs at the top offering up to \$5,000 per home to
10 builders, to go with all-electric.

11 Our single-family existing program launched in
12 June, offering \$10,500 to customers to switch from gas
13 to electric.

14 These are really significant incentives that
15 we've modeled out to ultimate ensure that the rest of
16 our customers, who are not participating in this
17 program, are held neutral from a rate perspective, when
18 funding these over the life of a measure.

19 This was, as I mentioned, a significant
20 investment. But when we looked at the carbon emissions
21 that we could achieve with our different efficiency
22 programs, electrification really stands out. We can
23 accomplish three times as much carbon savings per home
24 by electrifying homes, as we can through our most
25 impactful energy-efficiency programs. So, really,

1 tremendous impact while at the same time keeping our
2 constituents, our customer owners healthier, safer and
3 with significantly reduced electricity bills.

4 Within the next week or so we're very excited to
5 be seeing a report E3 will be publishing, which took a
6 very in-depth dive into cost effectiveness for building
7 electrification in the residential sector. We funded
8 this in participation with SoCal Edison and with Los
9 Angeles Department of Water and Power. And really saw
10 tremendous benefits across the State, the vast majority
11 of building types seeing significant bill savings over
12 the lifecycle of these measures. So, more details will
13 be coming on that, again within the next week or so.
14 But that kind of information really helps us be
15 comfortable we're doing the right thing on behalf of our
16 customers.

17 In terms of program uptake, I mentioned these
18 programs for the most part started in 2018. We had a
19 bout seven months of runway last year and saw a couple
20 of hundred appliances switched out in that time frame.
21 In 2019, we are expecting to triple to quadruple most of
22 those program numbers. So, we're seeing significant
23 uptake from our customers and, significantly, this is
24 being done so far with no marketing from SMUD. This is
25 strictly, at this point, our contractors who see the

1 benefit to their businesses and to their clients, the
2 customers, in affecting these switches.

3 We have made some significant progress in the
4 new construction front with partners with D.R. Horton
5 and Beazer homes committing to electrify hundreds of new
6 homes that they're building. In the case of Beazer,
7 entire communities without gas infrastructure being put
8 in, resulting in significant savings to the eventual
9 homeowners, as was mentioned earlier in terms of
10 unnecessary infrastructure being avoided.

11 I mentioned the contractors really being the
12 folks that are out there selling these programs to our
13 customers at this point. They are doing everything from
14 printing fliers, we've seen a billboard rented by a
15 contractor. We have seen home show displays being put
16 up, where contractors are promoting this technology to
17 their customers. We even have one contractor who's
18 installing an all-electric showroom. We've got about 15
19 contractors engaged on our Home Performance Program,
20 which is a combination of electrification and high-
21 efficiency measures being put in to really ensure a
22 customer's getting maximum comfort, maximum energy
23 savings, and ultimately leverage efficiency to create
24 space on the overall grid to electrify these other
25 sectors.

1 I'll close on a program we offered to our online
2 survey panelists. We have a couple hundred of those
3 that participate in periodic surveys by SMUD, where we
4 ask them all sorts of questions about the utility
5 program offerings. And so, we asked about 330 or so if
6 they would like to trial a free induction cooktop,
7 similar to the one that Rachel mentioned. This was in
8 December. We got about 287 responses, or a little over
9 80 percent hit rate. So, this was some self-selection
10 but, really, it was a pretty broad set of our customers.
11 And we saw extremely high positive results from this.

12 Overall, we saw folks before they tried the pans
13 having a 22 percent positive impression of induction
14 cooktops. Once they used that, that went to 91 percent
15 having a very positive or slightly positive, but over 61
16 percent being a very positive reaction to the
17 technology.

18 Amongst the gas stove users, 47 percent of those
19 were much more likely to consider induction in the
20 future. And 57 percent were very likely to recommend
21 induction to a friend. So, similar to kinds of surveys
22 that you see where vast majorities would recommend
23 public transit to other people, there's a little bit of
24 that in here. A slight difference between those two.
25 But, ultimately, very positive results amongst folks who

1 previously would be not interested in this at all.

2 I want to close just with some comment about
3 what is enabling these bill savings and what is enabling
4 some of the reason that we're able to offer these
5 incentives.

6 These technologies that we're working with, heat
7 pumps and induction cooktops, are tremendously
8 efficient. Heat pumps, as was mentioned earlier, are
9 300 to 400 percent efficient and they're not an exotic
10 technology. Every one of you has a heat pump in your
11 home that's in the form of a refrigerator. Most of you
12 have a heat pump in your home in the form of an air
13 conditioner. This is the same technology being applied
14 in reverse. So, it's an amazing efficiency opportunity
15 and has benefits, as I mentioned, in terms of bill
16 savings and carbon savings.

17 We also, recently, completed some testing on the
18 induction cooktops with LBNL, specifically induction
19 ranges, and saw tremendous efficiency gains there, as
20 well, over almost double the efficiency amongst the
21 induction cooktops versus the gas ranges. So, that's
22 less heat going into people's kitchen, less cooling
23 that's required. Really, a tremendous opportunity for
24 health and comfort benefits, especially in the
25 commercial cooking space.

1 So, with that thank you.

2 (Applause)

3 MS. HARGREAVES: All right, thank you so much.

4 I want to ask a question about commercial buildings and
5 a question about existing buildings. And when we're
6 talking about decarbonization for buildings, we have so
7 many. How in the world are we going to retrofit, just
8 in L.A. we have 1.1 million existing buildings, most of
9 which are residential?

10 So, I think I'll direct this question first to
11 the Councilwoman, because I think you briefly touched on
12 existing buildings and what you might explore to
13 decarbonize those. Could you comment on that for us,
14 please?

15 COUNCILMEMBER HARRISON: The second part of your
16 question was about -- I think it had two parts,
17 commercial buildings and also decarbonizing existing.

18 Well, I would say among the first things that we
19 need is a recognition by State agencies that we have to
20 put GHG reductions at the same level as cost
21 effectiveness. I think we've had sort of a problem
22 getting over that hurdle. And why that makes it
23 difficult it because then consumers don't get rebates
24 and they're not going to buy appliances in existing
25 homes that will allow them to move towards

1 electrification.

2 As I mentioned, we are looking at the transfer
3 tax, which is a great vehicle for when properties change
4 over to use a portion of that to allow people to make
5 energy savings. That's going along with a study of our
6 BESO, our building efficiency standards, which are being
7 upgraded right now. Once we find out more about what
8 the best techniques are, we will allow people with this
9 transfer tax to invest in those best techniques.

10 Commercial buildings are a unique challenge and
11 our focus has been on residential and on municipal
12 buildings. I should have mentioned that earlier. So, I
13 think that's another avenue is to really think about
14 where the construction is in your area, what the
15 building types are in your area. I live in an area that
16 has less commercial and more residential, so that's been
17 our focus.

18 Someplace like L.A., with a lot more commercial,
19 you have a harder job, I think, ahead of you. And so, I
20 don't know as much about that piece of it.

21 Do I have anything else to add? No, I think
22 that's it. I think, I'm really excited to hear about
23 these examples of encouraging consumers by loaning them
24 the induction heat top by having them test things out.
25 I think that's -- we got to get over that.

1 We have to also help prime the pump economically
2 for the industry and to make sure there are jobs there
3 for people in those industries. We've got to find a way
4 to start moving jobs from the gas sector to the electric
5 sector, which is not an automatic thing that happens
6 overnight, but it's something we all have to be
7 committed to. So, thank you.

8 MR. OBADIAH BARTHOLOMY: Is this working? Okay.
9 In Sacramento, the commercial building sector represents
10 about 15 percent of the natural gas use and is spread
11 across a multitude of sectors. Fortunately, many of the
12 technology applications are similar or have commercial
13 analog. So, in the heat pump world, variable
14 refrigerant flow presents an opportunity for tremendous
15 efficiency savings and a whole other set of types of
16 commercial buildings for heating, as well. There are
17 significant commercial cooking technologies available.

18 And just over in Rosemead, SoCal Edison has a
19 fantastic food service cooking technology center that I
20 would recommend, if anyone is questioning or curious
21 about how we will cook in an all-electric future. They
22 have, basically, all of the answers right there in their
23 facility. So, I'd encourage folks to check that out.

24 And in terms of existing buildings, I'll just
25 say the scale of it is tremendous. We're talking going

1 from goals that I showed of a thousand to two thousand
2 equivalent homes per year needing to get to 20, 25, 30
3 thousand homes per year, which is really significant.
4 And it's going to require a workforce that knows that
5 this is the future and knows that it's a better option
6 for their customers, and is helping sell that.

7 So, I think we're just at the very early stages
8 of what's going to be a long road toward those kinds of
9 numbers.

10 MS. HARGREAVES: Thank you. Rachel, did you
11 have anything that you would like to comment on about
12 existing buildings or commercial?

13 MS. KUYKENDALL: Yeah. I think the one thing
14 for existing buildings that we didn't really touch on,
15 but is so important, is getting the contractors to be
16 your advocate. Often, the homeowner is not the one
17 making the decision, necessarily, they just go with
18 their contractor and what they recommend. So, we need
19 to get these things on trucks and we need to get our
20 contractor community familiar with them.

21 We do need to educate our homeowners so they can
22 be advocates and ask for these things, but we also need
23 to do a parallel education track with our contractors to
24 make sure they're making the recommendations.

25 COUNCILMEMBER HARRISON: You know, in a place

1 that has a lot of rental housing, as well, we have a
2 disincentive to move towards this because renters pay
3 utility bills and the owners pay for the materials that
4 go in. So, we don't have the cost savings being
5 benefitting the person who's paying for the up-front
6 investment, and we don't have the people that will
7 benefit from the better health impacts receiving an
8 economic benefit directly, often, for a long time,
9 because they're paying it through their rent over years,
10 and years, and years.

11 So, we are really struggling with how do we deal
12 with that issue with rental housing. I think it
13 presents a unique circumstance.

14 MS. HARGREAVES: So, I'm very, very interested
15 in the declaration of the climate emergency. And I
16 think probably everyone in this room is as well. This
17 has, I think, been declared in multiple cities and
18 multiple countries. Could you tell us more and what
19 initiatives are now launching around the climate
20 emergency declaration?

21 COUNCILMEMBER HARRISON: Thank you. Yes, in
22 2017 and '18 we declared the climate emergency
23 declaration. And, essentially, it's a statement of
24 principles, but it also tries to set us on a path
25 towards looking at how we're going to achieve these

1 goals in a much more aggressive way.

2 One thing Los Angeles has done that I've been
3 very impressed with is the establishment of your Office
4 of Sustainability. You have put funding towards climate
5 change specifically.

6 And I think that we need to think
7 bureaucratically. What happens in a lot of these cities
8 we have silos; we have the planning department, and the
9 building people, and the transportation people, and the
10 parks department, and they're not all working together.
11 And we really need to focus people in local government.
12 We need people that this is their job to do this.

13 We have an excellent sustainability staff, but
14 they have no say with the operating departments.
15 They're planners and they're doing a fantastic job, but
16 getting that down to the level of the actual operational
17 level has been our biggest challenge.

18 MS. HARGREAVES: Great, thank you for that.

19 And Rachel, you touched on the incentive
20 programs created in response to the wildfires, another
21 type of emergency that has really ravaged our State.
22 Could you share an anecdote, something that you have
23 learned through this launch of the program?

24 MS. KUYKENDALL: Yeah, so many things. We went
25 into this thinking, I think from a decarbonization stand

1 point that the cooking was going to be the challenge for
2 people. We have not actually found that's the case.
3 So, fireplaces are very challenging for us. We do, in
4 our service area, have a mandate against woodburning
5 fireplaces. Gas seems to be a lot further along than
6 the electric alternatives at this point.

7 I'd love to see some help and investment in that
8 industry to push it along and get it to the point where
9 our customers feel really comfortable making that
10 choice. It's not something they've gotten to, yet.

11 But I will say the one thing that has just
12 surprised me and been so great about this is the
13 homeowners who get it, who are back in their homes now.
14 We had one homeowner in Coffey Park, who just rebuilt in
15 November and hosted Thanksgiving for all his friends, in
16 his induction kitchen. So, they've just become the
17 biggest advocates for the program and it's just
18 encouraging to see. I think there's a trend in disaster
19 times to try to rebuild as quickly as possible. So, how
20 to stop and encourage people to really think about that
21 this is going to be our home for the next, hopefully,
22 30, 50, forever years. It's just been really great and
23 we look forward to more all-electric homes in the future
24 with this program, and crunching the numbers and seeing
25 what's really coming out of it.

1 MS. HARGREAVES: Excellent, thank you.

2 All right, this next question is going to go
3 down to Obadiah, but then we'll come back to all the
4 panelists. And this will be a hard one, so I'll give
5 you a minute to think about it.

6 We've talked about a lot of challenges with
7 moving markets and, you know, really leading the way to
8 building electrification at the local level. So, the
9 magic question is: If you had a magic wand, what's one
10 thing that you would adjust in our building stock or one
11 thing you would add to your program, if you could have
12 any?

13 MR. OBADIAH BARTHOLOMY: Right now, for us it's
14 marketing. We are on a big push to move all of our
15 customers to time-of-day rates. We actually just
16 finished that push here in March, as a default rate.
17 And so, our entire attention has been focused on
18 marketing. And I would just say marketing of that time-
19 of-day rate and how to help customers adjust and save
20 money on that rate.

21 I think building public awareness of heat pump
22 technologies and induction technologies is going to be
23 critical for uptake and not making the contractors
24 explain something that feels completely foreign to their
25 audiences. People are really aware of electric

1 vehicles, but in terms of these heat pump and induction
2 technologies the awareness is much lower.

3 So, I think for us right now, from a
4 programmatic perspective that's really the gap.

5 COUNCILMEMBER HARRISON: I would say for us as a
6 local government, and not a CCA or an energy provider,
7 it's figure how to work within the State system with the
8 requirements currently under the Energy Code, and under
9 the tasks from the CPUC. And working out ways to do
10 that mean that local government can do what it needs to
11 do, but still fulfill the mandates of the State. So,
12 that's the biggest challenge for us at the moment.

13 MS. KUYKENDALL: Yeah, I was going to say
14 something similar. You know, we're all up here talking
15 about these programs, but they're small, they're pilot
16 programs. And what we really need is to get rid of some
17 of the barriers that are preventing these things from
18 getting to scale.

19 So, in our service area, PG&E's program can
20 incentivize a gas water heater, but not a heat pump
21 water heater if you have a gas appliance. And that is
22 preventing customers from getting to know these
23 technologies and it's disincentivizing electrification.

24 And if we want this to be at scale, it needs to
25 come from the top down. It can't be something that us,

1 very feisty, but small folks up here are trying our
2 hardest to do. We really need help and collaboration
3 from the wider audience here and from California as a
4 whole.

5 MS. HARGREAVES: Okay, thank you so much. I
6 think we're moving into our question and answer period.

7 MR. EARLY: Okay, everyone, Bryan Early here
8 again with the Energy Commission. Real quick, until
9 12:30, right, to do questions. And, hopefully, we can
10 get everyone's comments. But again, for those who
11 aren't able to, we'll be opening it up again at three
12 o'clock. And also, we'll be putting up, towards the end
13 of the day, making sure people understand how they can
14 comment into the docket. At the Energy Commission and
15 the PUC, we really welcome your comments. And then,
16 again, we also welcome if you'd like to comment in the
17 Spanish language, that's totally fine as well.

18 So, do we have comments or questions from
19 Commissioners?

20 Okay, yeah, let's just go back to the audience.
21 And I encourage folks to, again, really talk loudly in
22 this mic. So, I guess I'm not talking loud enough, so
23 you call can tell -- let me know if I'm shouting.

24 And for those who have already made comments, we
25 really encourage you to allow other people to make

1 comments and stick to one minute, so we can get to as
2 many people in this process as possible, and to say your
3 name so that we can get it recorded here.

4 MS. LEON GROSSMAN: Thank you. My name is
5 Andrea Leon Grossman. This comment is for Kathryn
6 Harrison.

7 I think you're absolutely right in terms of
8 safety and gas. I'm originally from Mexico City. I'm
9 an immigrant. My cousin died waiting to be rescued
10 after the earthquake in Mexico. It was because of all
11 the gas leaks the first responders could not do your
12 job. And it happened here, too, in the Montecito area.
13 There was a teenager who had to be dug up with hands for
14 36 hours.

15 And this is a matter of life and death. It's
16 not just about just transition, which I fully support.
17 I am terrified about what the gas infrastructure's going
18 to do. I, myself, bought an induction stove after
19 learning that -- after the Aliso Canyon blowout, that
20 the amount of benzine in the gas that we're getting is
21 9,000 times the amount allowable by the CalEPA. I
22 refused to be poisoned by the gas company. And I really
23 want to make sure that families don't get poisoned
24 because it's not fair.

25 Again, I love my induction stove. I support a

1 just transition. I think everyone deserves to be
2 electrified and it's a matter of life and death. Thank
3 you.

4 (Applause)

5 MR. EARLY: Thank you.

6 MR. HARREO: This is for anyone on the Board.
7 My name is John Harreo. I'm an IBEW Union Electrician.
8 I'm also a Board Member for Second Call (phonetic). And
9 a person who has been previously incarcerated. I live
10 in South L.A. and I also build in L.A. And we need
11 building electrification to cut greenhouse gas
12 restrictions or reductions so that those that live in
13 the Basin can also live as long as individuals who live
14 along those coastal cities.

15 And there's an environmental justice aspect to
16 building electrification and it impacts me every day.
17 And IBEW, we support building electrification.

18 (Applause)

19 MR. EARLY: Thank you.

20 MR. SULLIVAN: Good afternoon, thank you for the
21 opportunity to comment. My name's Joe Sullivan. I work
22 for the National Electrical Contractors Association,
23 which represents approximately 350 electrical
24 contractors that employs approximately 10,000 union
25 electricians.

1 And what we've seen, we talk about the job
2 creation, because of all the solar, the utility-scale
3 solar caused by the regulations and the tax credits, we
4 have had to hire hundreds and hundreds of apprentices to
5 fill these jobs. These apprentices get five years of
6 training. They don't pay for anything, books, tools.
7 They can work anywhere in the electrical industry,
8 anywhere in the U.S. or Canada. They have full family
9 medical and dental the fourth month and they end with
10 good family-sustaining wages, and excellent career
11 opportunities in a number of different directions.

12 So, this is creating good jobs. As we electrify
13 buildings, we're going to need to increase the
14 electrical service. We're going to have to bring in
15 more people to the apprenticeship program and the cycle
16 continues. Great jobs.

17 (Applause)

18 MR. THOMAS: Art Thomas. I do happen to work
19 for SoCalGas. My question, I guess, would be more
20 towards Obadiah, since he works with SMUD. The question
21 would be as we move or transition to a single-point
22 energy provider system, what does that speak to total
23 infrastructure reliability, resiliency and
24 vulnerabilities?

25 MR. OBADIAH BARTHOLOMY: So, reliability is

1 something SMUD takes very seriously. It's one of our
2 core requirements that we must meet, one of our core
3 values for our customers. And as we're moving to
4 electrify additional end uses, I think one of the things
5 that we think about that's going to further increase the
6 importance of electrical reliability. So, I think we're
7 expecting we'll need to increase investment in that.

8 We also understand, though, that within the gas
9 uses available today only cooking, other than the
10 electronic ignition of it, is something that is able to
11 be done without electricity. So, HVAC systems require
12 electricity for blowing the heat and water heaters
13 require electricity for being able to ignite. And, as
14 well, for on-demand, being able to manage the exhaust
15 flumes that come from that.

16 So, I think even with a dual gas system, having
17 really high electric reliability is really important.
18 So, I don't think it diminishes, necessarily, the
19 importance of electric system reliability.

20 MR. THOMAS: Thank you.

21 MR. HOFFMAN: Hello. Eric Hoffman, President of
22 Utility Workers Union of America, Local 132. I just
23 want to start by saying thank you to everyone for
24 inviting us. We were notified on Wednesday, so we
25 brought 24 of us. That was the most we could round up

1 in a day and a half. But I promise you that once we
2 have more advance notice in the future, you will see a
3 lot more of us.

4 As these conversations move forward and these
5 talks of ongoing -- any time you guys want to talk about
6 cutting us, us represented union workers, we're going to
7 do everything we can to make that conversation as
8 uncomfortable for you as we can.

9 I am -- I cannot believe this persistence that
10 electricity is clean and safe. A town just got
11 incinerated when 90 people just lost their lives because
12 of electricity, not gas.

13 So, this whole concept that electricity is the
14 answer, I caution those who say so. Natural gas has its
15 problems. We can work with those problems. But we need
16 to work together. I thank you for your time. Thank
17 you.

18 (Applause)

19 MR. DURAN: My name's Tony Duran. I don't have
20 a cool title. I'm just a normal dude. I work for the
21 Southern California Gas Company.

22 One thing that I would like to address is the
23 last panel said that the gas company's infrastructure
24 would be unable to sustain the expansion of California.

25 I don't know how many times you guys have gone

1 to your stove or your heater, and turned it on and it
2 doesn't work. The one thing that I grew up with is a
3 thing called rolling blackouts. Those didn't end in
4 2000 or 2001. As a Bloomberg Report, May 3rd, 2018 said
5 they could possibly be coming back to California. I'll
6 leave that there as food for thought.

7 My next comment to you is Ms. Harrison. Am I
8 pronouncing it correctly, ma'am? Great. You said that
9 this has failed three times, roughly, maybe it's the
10 education process for citizens of California, but the
11 electrification process has been presented to citizens
12 and has subsequently failed.

13 One of your bullet points, and I'm reading it
14 verbatim here because I didn't want to get it incorrect,
15 is your proposed ordinance, the third bullet point says:
16 Relies on the City's police power and authority to
17 establish and enforce laws.

18 It seems to me, ma'am, if you can't get the
19 public to accept it, you're willing to propose a
20 totalitarian police state to force them to and it's just
21 concerning, ma'am. Thank you.

22 COUNCILMEMBER HARRISON: If I might? These
23 prior efforts, when I was talking about prior efforts,
24 we're talking about in the 1890s. We're talking about
25 in the mid-20th century and we all went to Disneyland

1 every year and they had the home of the future and all
2 of that.

3 We didn't have a climate crisis at that time.
4 We didn't have the situation we have currently, right
5 now. And so, it's not fair to align those past efforts
6 with what we're doing currently.

7 The reason we talk about police powers is
8 because we have the ability as local governments to say
9 these are our authorities to ensure health and safety of
10 our residents. We're allowed to do that.

11 That is in contrast to us having to go to the
12 CEC and ask for something under Title 24. So, that's
13 the only reference to us using our police powers is a
14 general term that means our ability to set our own
15 health and safety codes.

16 We've had a lot of the response, I have to tell
17 you, in my community it's been overwhelming positive to
18 this initiative. There's no attempt to go around people
19 or do anything, you know, nefarious, res vi our
20 citizens. So, I think that we've kind of conflated some
21 different topics that I had brought up during the
22 discussion. Thank you.

23 MR. SHAW: Oh, what's up everybody? My name's
24 Ernie Shaw, Regional Officer for 132, and I'm also a
25 crew foreman as well. The one comment I'd like to make,

1 you know, it's kind of ridiculous, the Montecito floods,
2 I was there. I worked there personally. I was out
3 there shutting everything off, you know, shutting
4 everything down. That was caused by the floods, by the
5 landslides, from the rains, man. But, you know, and I
6 hooked the (indiscernible), by the way. She wouldn't
7 have had gas without me.

8 But more importantly, you know, all these
9 decisions, why were all these decisions made up there in
10 Sacramento, and Napa and Sonoma, where it works for you?
11 Why weren't we involved in this decision making for all-
12 electrification, or whatever. What works for you up
13 there, might not work for everybody else down here.
14 Because, you know, you can afford to make those changes,
15 and costs, and pay for everything. And we're struggling
16 down here in SoCal, where it's expensive. Yeah, it's
17 expensive of there, too, but you know, the cost of
18 living is real.

19 So, you know, I just wanted to say why does it
20 work up there for you, when it doesn't necessarily work
21 down here for us. Thank you.

22 (Applause)

23 MR. GOUCHER: Good morning, which I'm a little
24 bit surprised that no one of you spoke about building
25 efficiency, which I believe is one big part of

1 decarbonization. Because when we talk about improving
2 building appliances efficiency by 10 or 20 percent,
3 well, we can improve the building envelope and reduce
4 the energy need by up to 75 percent. That's a big
5 concern.

6 And I was speaking out at Pasadena
7 (indiscernible) California, and the board member was.
8 And just one personal comment, is that I'm French as you
9 can hear, is that's one thing that's very important in
10 Europe, it's the embodied energy of buildings.
11 Especially, because the target's 2030 and it's nowhere
12 included. And actually, doing a very energy-efficient
13 building, even in a passive house building with foam
14 insulation is as a meter of (indiscernible) -- as a code
15 building with renewable materials. So, that's two
16 comments that I would like to have your answer about
17 that. My name is Xavier Goucher, American
18 pronunciation.

19 MR. OBADIAH BARTHOLOMY: Can I offer a quick
20 response on the efficiency and the cost effectiveness
21 question? So, for us, embedding the electrification
22 programs within our efficiency programs and our whole
23 home performance program is our preferred approach so
24 that we're delivering envelope improvements, along with
25 electrification. Again, to recognize the importance of

1 efficiency, and keeping customer bills low, and also
2 creating space on the electric grid to electrify these
3 other sectors.

4 On the cost effectiveness, we did find that from
5 not just Northern California, but also Southern
6 California, customers see lifecycle cost savings when
7 electrifying the vast majority of residential homes.
8 So, I would encourage you to read that document that's
9 going to be coming out next week that I mentioned, that
10 E3 will be releasing.

11 MR. GOUCHER: I mean, I assume you have a cap
12 for ED energy when --

13 COUNCILMEMBER HARRISON: Yeah, I wanted to say,
14 also, ours is also running in parallel. So, we're
15 looking again -- and this is not happening tomorrow.
16 This electrification process is something we're talking
17 about in Berkeley. But we're doing that at the same
18 time as we're working on upgrading our building
19 efficiency standards and providing money for people to
20 increase their building efficiency, so they do go
21 together. I really see that.

22 There's a third piece that this goes with, which
23 is greening the grid. All of this is useless if don't
24 make the electricity grid greener. So, really, these
25 things are all working together at the same time.

1 MR. GOUGHER: That's all for new buildings.

2 COUNCILMEMBER HARRISON: Yeah.

3 MS. KUYKENDALL: And I just want to clarify that
4 for our program we do require that people be 20 percent
5 more energy efficient than code, in addition to the
6 electrification.

7 What I will say is looking at where the code is
8 going, that is getting increasingly more and more
9 difficult as we sort of ramp up our envelope
10 requirements and what my builders will do in terms of
11 exterior insulation.

12 So, come and chat with all my builders and get
13 them to do that, and then we can make it work.

14 MR. EARLY: I just want to encourage people,
15 again, to speak in the mic so that the people on WebEx
16 can participate.

17 And where did my mic end up? Here. Okay, do
18 you have a comment?

19 MS. COREL: My name is Nicole Corel. I work for
20 the gas company, a member of Local 132. I just had a
21 quick question because we talked a lot about how cost-
22 effective electricity is. And no matter what my point
23 of view is on that, completely different, I'm just
24 curious as to why nobody that has come here today has
25 done a comparison between a house that runs on gas and

1 electric, and one that runs on all electric. Because I
2 know there's got to be a house that's had at least a
3 one-year, two-year, five-year basis. If electricity is
4 the way to go and it's so cost-effective, why did nobody
5 bring us, you know, data on that showing the difference
6 between gas and electric.

7 MS. KUYKENDALL: So, a couple of statewide
8 references that I use, that are inclusive of everyone,
9 that I really like, the Statewide Codes and Standards
10 Group just released a really good draft interim study.
11 It's focused on new construction, both residential and
12 commercial, that looks at both the cost to construct
13 all-electrical buildings versus gas buildings, as well
14 as the cost to operate those.

15 But I will say it's a really nuanced question
16 because it varies a lot. And what we really strive for
17 is where it can hurt the most is actually low-income
18 customers, potentially. So, we want to make sure we're
19 hand-holding with those folks a lot to make sure it's
20 the right decision.

21 The cost-effectiveness for us requires that
22 those customers go and ask PG&E for an increased
23 electricity baseload, if they're allowed to do if they
24 have electric heating. But that's something that we
25 need to tell them to do, that they won't naturally know

1 how to do.

2 So, it is a very nuanced question that is very
3 different depending on where you live. But there are
4 some great statewide resources out there.

5 COUNCILMEMBER HARRISON: Yeah, and I just want
6 to reiterate. I think that's what we've always looked
7 at is cost-effectiveness and I don't have the studies
8 about which is more cost-effective. But I'm just going
9 to say, again, we also have to think about GHG
10 emissions. We simply do.

11 And I want to really thank you for your comment
12 about the safety of power lines because, clearly, we've
13 had an enormous issue with that in Northern California.
14 So, you're right, the safety issues go -- cut both ways.
15 So, thanks for that comment.

16 (Off-mic comment)

17 MR. OBADIAH BARTHOLOMY: Just a quick comment.
18 From a personal data point, my house is saving between
19 three and four hundred dollars a year, having switched
20 from a gas furnace to an electric heat pump about four
21 years ago. So, from a personal level, I understand the
22 savings potential. That's for a 1929-built, 1,400
23 square foot house. So, I think the --

24 (Off-mic comment)

25 MR. OBADIAH BARTHOLOMY: Yeah, so there is a

1 small premium associated with switched, it's about
2 \$2,500 in Sacramento. And I think we'll be publishing
3 some really robust data across the State that includes
4 regional labor rates, that looks at the installed cost.
5 So, I would encourage you to, again, take a look at
6 that. That was a significant focus of a nearly year-
7 long piece of work that was done to try and address
8 specifically that point.

9 MS. MOSS: I'm Diane Moss and I have worked for
10 over a decade in the renewable energy advocacy space,
11 the electrification space. I consult in the renewable
12 gas, renewable hydrogen space, as well as electric
13 transportation, a lot of hats, air quality.

14 And then, in November I had a really
15 opportunity, talk about nuanced questions, to put all of
16 this to the test. When my house burned down in the
17 Woolsey fire, along with thousands of my neighbors, I
18 lost a few of my neighbors. You know what I'm talking
19 about.

20 And the irony for me, a lot of you know me and
21 what I do, and so you'll get why this is ironic. My
22 neighbors, who were able to survive that fire and save
23 their houses, and my mother who was able to survive in
24 place after coming home from the hospital, and she was
25 able to run her HEPA filters -- it's hard to talk about

1 this. Because they relied on natural gas as backup gen,
2 and my mom didn't have space on her roof to be able to
3 go off-grid, some people don't -- can't afford it,
4 anyway, we're looking at what we're going to do. And
5 we're going to bring back our heat pumps. We really
6 like them. Not for our heating for our old house, but
7 for our new house, perhaps.

8 There's a lot here that sounds familiar. And I
9 just think we need to keep in mind, yes, different
10 places have different needs when we do this deep
11 building decarbonization regulatory work. And that
12 resiliency is important.

13 And diversification is a matter of life and
14 death. I used to be able to pontificate about it in
15 theory. I know am living it. So, I hope that we can
16 really keep that in mind. We need to go renewable, we
17 need to decarbonize absolutely, but we also need to
18 diversify because one system might break down, it can
19 and it will at some point, for some people. Thank you.

20 MR. EARLY: Thank you.

21 MR. DOCKERTY: I'm Douglas Docherty. I have a
22 quick question to the three of you. Do any of your
23 municipal governments that you work for have PACE?

24 COUNCILMEMBER HARRISON: Yes, we have PACA and
25 CARA both. PACE and CARA, both. And one of the things

1 that we're finding is we've done a terrible job, the
2 utility, our CCA, and us as the cities in letting people
3 know that they can take advantage of these programs.

4 So, as we're starting to hold workshops about
5 perhaps if people want to opt up to greener levels of
6 clean energy, under our CCA, we're also at these
7 workshops talking about how you can participate.

8 The thing we're also finding, though, is that we
9 -- in answer to someone earlier, I don't live in a rich
10 community. I live in an area that is rich is in a
11 community that's 60 percent tenants, who make way below
12 the average median income in the Bay Area.

13 And what we're finding is that there's a level
14 right about the PACE and CARA level that makes it really
15 difficult for people to have any kind of, you know,
16 breaks, et cetera. And they're the people we have to
17 worry about the most because they don't have an ability
18 to participate in these programs. So, that's a nut we
19 have to crack. Thank you.

20 MS. KUYKENDALL: Oh, I just wanted to add we
21 also do have PACE. It's run through our Sonoma County.
22 The one -- I think PACE is great as a resource. I'd
23 like to see additional, simpler-to-understand programs
24 at lower interest rates, I think, if we're going to
25 spread the message of building decarbonization,

1 especially to our low-income communities.

2 MS. GRACIA: Hi, my name is Laura Gracia. I'm
3 with Communities for a Better Environment.

4 I had two comments and then a question. One of
5 them was around like I heard something earlier about how
6 we weren't in a climate crisis, I don't know, X years
7 ago. And I think that it should be addressed at the oil
8 industry and the government knew about the climate
9 crisis.

10 And then, so then secondly, someone also
11 mentioned blackouts. And we organize in Wilmington, and
12 Huntington Park, in the South East L.A. cities where
13 blackouts aren't a tenant or homeowner-caused issue.
14 It's because usually of lack of adequacy and
15 infrastructure. Right? So, I think that that should
16 also be recognized that electrification doesn't
17 necessarily mean blackouts.

18 And then, my question is -- well,
19 electrification is a requirement to address the climate
20 crisis. But I also had a question around how this can
21 affect renters? How you have all seen this played out
22 in the Bay Area and how it can affect renters,
23 specifically -- specifically from being displaced.
24 Landlords will probably incur the costs, and so how do
25 we make sure that renters aren't displaced? Housing is

1 a really big issue here in Los Angeles, as it is in all
2 of the State, so I wanted to know if you all had any
3 feedback on that?

4 MS. KUYKENDALL: One thing I've seen that's been
5 really successful, in our Bay REN, the Regional Energy
6 Network in the Bay Area has done this, and I think it's
7 fabulous. They have a multi-family program and what
8 they do is they require that if the landlord wants to do
9 a measure that specifically affects their energy use,
10 they also pair it with things that will affect the
11 tenant, as well. So, they address the split incentive
12 that way.

13 I will say, as a renter I run into this as well.
14 I wish there was an easy solution. But I think it's
15 going to be the kind of thing that there really needs to
16 be multiple solutions. And I think it's a place we need
17 to work really hard to come up with additional ways to
18 decarbonize those homes.

19 MR. OBADIAH BARTHOLOMY: And I'll just say for
20 us, we're really targeting replace on burnout. So, when
21 a piece of equipment goes out that the contractor, who
22 gets called, is aware of the program and aware of the
23 benefits to the homeowner in terms of the operating cost
24 savings, but also the incentives that we have available
25 that make that slight cost premium at the outset

1 actually cost beneficial to the customer.

2 We are also interested in ways to pair that with
3 financing approaches, whether that be for homeowners or
4 for landlords.

5 And on the multi-family side, we have enhanced
6 incentives for our low-income multi-family, targeted at
7 the building owner to do entire building retrofits.

8 MR. GONZALEZ: Good afternoon, everybody. My
9 name is Juan Gonzalez. I'm a SoCalGas employee. But
10 quickly, want to bring into the area to quick points.

11 Number one, I know from the earlier panel there
12 was a discussion in regards, in terms of comparison of
13 cost. I can assure, as a resident of the City of
14 Anaheim, and I'm a zoned utility, in comparison I know,
15 and I think has been brought a lot by a lot of people is
16 cost. My gas bill is \$14. My electric bill is \$139.
17 So, that's a comparison in terms of items.

18 The other item that I wanted to bring to your
19 attention is I know we're in constant focus on the
20 electrical grid. What would it mean to the grid if we
21 go all-electric, if we were to do this, and what are
22 those cost incentives? Because there's going to be
23 modifications on the entire grid if we all go
24 electrical, and who's going to pick up that bill? Thank
25 you.

1 MR. OBADIAH BARTHOLOMY: To the grid
2 infrastructure question, this is something that SMUD is
3 digging into in significant detail this year. It's part
4 of our Distribution Resource Plan to really understand
5 all the way from the customer panel service drop all the
6 way up the system what the opportunity is and what the
7 challenges are going to be in terms of space on our
8 grid, and infrastructure investment. It's something
9 that can't be ignored, but the opportunity that we see
10 is that most of the loads are going to be wintertime
11 loads, which we're a summer-peaking utility. So, in
12 terms of the overall cost for a customer of the
13 infrastructure, we expect it to go down.

14 We do see, also, opportunity of using the
15 flexibility inherent in the heat pump technologies and
16 in the heat pump water heaters to actually displace the
17 need for some of the grid storage that we expect to have
18 happen as a result of the 100-percent clean energy
19 targets we've established.

20 So, I think there are some challenges that need
21 to be paid attention to, certainly, but also a
22 significant opportunity for cost savings and spreading
23 that fixed cost out across more kilowatt hours.

24 COUNCILMEMBER HARRISON: Yeah, one of our
25 biggest concerns is the actual local capacity of

1 buildings. We have a lot of old housing stock that
2 simply cannot add more to their existing panels. They
3 don't have the wiring. They don't have any of that.
4 So, that is where -- another reason we came down to the
5 new buildings as being our focus because our older
6 housing stock is going to make that an enormous
7 challenge. But we're going to have to deal with that at
8 some time because it's also a safety issue. We have a
9 lot of people that have plugged in a lot more stuff than
10 they should have, and done a lot more than they should
11 have, and it's a real fire danger for us.

12 So, I think we need a separate program to deal
13 with that issue that doesn't relate to this even so
14 much, it's more of a safety issue. So, I really
15 appreciate your question. Thank you.

16 MS. KUYKENDALL: I just want to echo that every
17 time we put in an electric appliance that has the
18 potential for demand response, it has the potential to
19 be the solution. So, we're seeing this now with our
20 electric vehicle charging stations, with our heat pump
21 water heaters, with our thermostats. That's load that
22 we can manage and have it operate when we want it to
23 operate, and that's an asset.

24 And that's something we can't do as easily with
25 gas. Gas is a very fixed schedule. Typically, when you

1 use that appliance it's less easy for us, as a utility,
2 to determine when it's operating.

3 So, obviously, we do need infrastructure
4 upgrades. But we're really excited about working with
5 our customers about them being a solution for this
6 issue, as well.

7 MS. THAKAR: So, thank you. With that, we are
8 unfortunately at time for panel two. And to keep to our
9 schedule, I'm just going to make a quick housekeeping
10 announcement.

11 There are some locations to get lunch nearby
12 here. Earth Cafe, on Hewitt Street, sandwiches and
13 salads. Art and Fish on Matteo Street, sushi. Zinc, a
14 vegetarian cafe, also on Matteo Street. And then,
15 there's some others you can, I'm sure, use your smart
16 phone to find.

17 Please try to walk to lunch, if you can, or car
18 pool. I think there's going to be a little bit of a
19 logjam if you try to get out of the parking lot, so
20 that's just a heads up.

21 And we are going to reconvene at 1:30, thank
22 you.

23 (Off the record at 12:33 p.m.)

24 (On the record at 1:30 p.m.)

25 MS. THAKAR: Okay, we will go ahead and get

1 started with our third panel of the day, which is
2 entitled: Proposed Approaches to Implementing SB 1477.

3 This panel is very much going to be focused on a
4 solutions angle. And with us today, to moderate the
5 panel, we have Rory Cox, who's an analyst in the PUC's
6 Energy Division. Merrian Borgeson, Senior Scientist
7 with NRDC. Howard Merson, who's a consultant to VEIC --
8 or sorry, excuse me, Consulting Supply Chain Specialist
9 to VEIC. Sean Armstrong, Managing Principal of Redwood
10 Energy. And Kevin Wood, Principal Manager, Engineering
11 Services, with Southern California Edison.

12 So, I'll introduce our Moderator here, Rory Cox.
13 Rory Cox is a Senior Analyst in the Energy Division, at
14 the California Public Utilities Commission, where he's
15 worked since 2012. He is currently the staff lead for
16 zero net energy and building electrification policies,
17 and utility new construction programs.

18 In the past, Rory has provided regulatory
19 oversight of industrial and agriculture energy
20 efficiency and water nexus programs. Rory works with
21 the IOUs and other stakeholders on program
22 implementation, regulatory matters, and program
23 evaluation.

24 Prior to his time at the CPUC, Rory was the
25 California Program Director at Pacific Environment, a

1 small, nonprofit organization based in San Francisco.

2 Rory has a master's degree in international
3 relations from San Francisco State University and was a
4 2010 Fellow with the Together Green Conservation
5 Leadership Program.

6 And with that, I will turn it over to Rory.

7 MR. COX: Great, thank you. I hope everyone had
8 a good lunch. And I see not everybody came back. So, I
9 know there's long lines to get lunch around here, so I
10 imagine people will trickle in as we go.

11 So, this panel is really -- we're kind of, you
12 know, getting a little bit more laser-focused now, with
13 this last session. And it's really about, you know, the
14 question that is facing our two Commissions this year
15 is, you know, how do we best allocate \$200 million in
16 funding for this program for decarbonization?

17 So, the longer-term goal is decarbonizing the
18 electrical system by 2045. That's the long-term goal.
19 But what are we going to do this year to put us on that
20 trajectory and how are we going to spend these funds,
21 which are cap and trade funds, which are designated to
22 reduce greenhouse gas emissions, how do we best spend
23 that funding to get us there?

24 Now, \$200 million sounds like a lot of money,
25 but it's about \$17 for every existing household in

1 California. And that doesn't even count all the new
2 construction that will come online in the next few
3 years.

4 So, it's really, you know, we have to be very,
5 very strategic with how we think about this. And we are
6 in the process of, you know, looking at what's the best
7 -- what is the best thing to prioritize. And even,
8 maybe more difficult is what are we not going to do?
9 Because we have lots and lots of comments from parties,
10 with all kinds of ideas on what we should do. But in
11 terms of what are we not going to do, because we can't
12 do it all, you know, that's sort of one of the questions
13 that I've put to our panelists.

14 So, speaking of our panelists, we've got a good
15 group of people who have done a lot of thinking on this.
16 And we have Kevin Wood from SoCal Edison, Merrian
17 Borgeson from National Resources Defense Council, Howard
18 Merson from VEIC Energy. Is that what you call it?
19 Yeah. Sean Armstrong from Redwood Energy.

20 And we'll start with Kevin. Kevin has over 30
21 years of experience in the electric utility industry and
22 is currently managing SCE's Customer Engineering
23 organization and leading SCE's Building Electrification
24 Initiative, while recovering from a ski accident. And
25 despite that, you're going to do this standing up.

1 MS. WOOD: I am going to do this standing up.

2 MR. COX: Why?

3 MS. WOOD: But just don't tell my husband I took
4 these five steps without my crutches. He's not
5 appreciative of that. And I'm getting them off -- or,
6 getting off of them this week.

7 So, thank you to the agencies and Rory for
8 inviting Southern California Edison to this panel.
9 We're really excited to be here to share our
10 perspectives and recommendations on how to do the lean
11 decarbonization in California.

12 So, our journey on building decarbonization
13 began with the publication of our Clean Power and
14 Electrification Pathway in 2017, which identifies the
15 electrification of space and water heating to be a cost-
16 effective component to reach the State's greenhouse gas
17 reduction goals.

18 We heard this morning, also, the E3 study for
19 the CEC also identifies electrification of space and
20 water heating as a cost-effective GHG abatement tool.

21 And we just heard Rory emphasize that the
22 building tech pilots are a good start, but likely not
23 enough. Part of that is we need to be strategic and
24 very thoughtful about focusing this money to the actual
25 barriers that are preventing building decarbonization in

1 California.

2 So, I want to share with you some studies that
3 Edison has undertaken in the past year, and some results
4 from those studies that will help us understand the
5 barriers, and some suggestions for moving forward.

6 And who am I looking to for time? I think over
7 here.

8 Okay, so a study done by a consulting firm, E3,
9 which is expected to be released next week, identifies
10 that home electrification measures will provide cost
11 savings for most homeowners and developers in the State.
12 So, this is generally good news. This study was jointly
13 commissioned by Edison, LADWP and SMUD, and it covers
14 six climate zones in three home vintages, and for
15 single-family, and multi-family, low-rise multi-family
16 homes.

17 So, it's really important to remember that these
18 results do not include any incentives, or interventions,
19 or any programs. So, this is just the current state of
20 affairs. And it just helps us understand where we
21 should focus our programs and interventions.

22 So, you can see for all-electric new
23 construction, a large majority of single-family and low-
24 rise multi-family units or housing will actually see
25 lifecycle savings.

1 Oh, let me explain lifecycle savings. This is a
2 combination of first cost and energy bills, which is gas
3 and electric bills, over the life of the equipment. So,
4 that's what we mean by lifecycle cost.

5 Later, I'll drill down a little bit into bills
6 and first costs, separately.

7 But the large majority see lifecycle savings for
8 all-electric new construction. For retrofits, and we're
9 focusing on retrofits of space and water heating. So,
10 for single-family, the vast majority see lifecycle
11 savings up to about \$30 a month.

12 A little bit of a mixed story in low-rise,
13 multi-family, but you'll see later that there's a good
14 builder lower first cost. There's a little bit of an
15 up-front premium for multi-family construction for some
16 of these technologies.

17 And, of course, these products, as we've seen
18 earlier today, greenhouse gas emissions reductions. And
19 the great thing about this is you install them today and
20 they get cleaner over time.

21 Okay, we also had a study done by a research
22 firm, EMI Consulting. And this was a customer awareness
23 study and it shows us that customers appear to be
24 willing to adopt building electrification technologies,
25 when educated. So, I wanted to read a couple of other

1 interesting data points from that study.

2 So, customers will gas appliances feel that
3 electric equipment is expensive. This is what they
4 feel. This is what they told us without being prompted.
5 Fuel, it's expensive, costly to run, and difficult to
6 install. However, they also view electric appliances as
7 safer to operate.

8 For recent purchasers of gas space and water
9 heating, the top reason for purchase of gas is because
10 that's what they previously had, so this was the top
11 reason. So, this kind of indicates to us that, you
12 know, there's opportunity to educate for -- you know, to
13 let customers know, you know, the benefits of clean
14 technologies.

15 And customers really don't connect gas
16 appliances with GHG emissions at all. It's way down on
17 the list. So, these points and other points in the
18 study help us understand what customers are thinking
19 today and how we can deliver -- create and deliver
20 messages to help them understand the benefits of these
21 electric technologies.

22 Okay, let's drill down. I'm going to look at
23 new construction, first. So, we've heard today that
24 there's a first-cost savings for builders, so that's not
25 news to you today. In terms of bill savings, about half

1 of single-family homeowners will see savings, bill
2 savings. About two-thirds of low-rise, multi-family
3 homeowners will see bill savings with all-electric new
4 construction.

5 And we did some analysis, or E3 did the analysis
6 on, you know, what does that look like? What do the
7 bills look like when we go to high-efficiency appliances
8 or best-in-class appliances? And you can see the bills,
9 even those that aren't naturally lower, do get largely
10 mitigated by the use of the higher-efficiency
11 appliances.

12 Okay. So, if this is, you know, so cost-
13 effective for builders, why aren't they doing it? Why
14 aren't more of them doing it? So, we need to drill down
15 on that and likely we'll -- we will need to direct some
16 incentives towards the building community.

17 But there's a lot of work that we can do now,
18 and Edison is already doing some of this. We understand
19 that builders appreciate working with one utility, so
20 that's a big benefit. We think that they appreciate,
21 you know, us helping them through the service planning
22 process to right-size the distribution equipment, that
23 sort of thing, and understand how these electric
24 technologies act on the grid.

25 You've heard a lot about induction cooktops. We

1 added an induction cooktop to our lending library. So,
2 that was primarily based on the information from our
3 customer survey that said they lacked knowledge of these
4 electric technologies.

5 So, going forward, one of the most important
6 things we believe is a robust marketing and outreach
7 campaign. We believe that the builders are experiencing
8 or perceiving some risk that customers do not want all-
9 electric. And so, we really do need to educate
10 customers for that pull, so the builders can feel like
11 their risk is somewhat reduced there.

12 The incentive structure really needs to focus on
13 high -- directed towards high-efficiency appliances.
14 Again, we've heard a little bit about -- I think the
15 second panel today talked quite a bit about efficiency.
16 This is just such an important piece because the
17 efficiency helps to lower bills and that's really where
18 we need to be.

19 Manufacturer engagement is really important
20 because we do need to get these efficiencies up. Code
21 is changing 1-1-20. It will be -- I think Rachel
22 mentioned it will be harder and harder to meet code, so
23 we do need to keep pushing the envelope on efficiencies
24 of these appliances.

25 Okay, I'm going to move on in the interest of

1 time. Okay, let's talk about retrofits of existing
2 buildings. So, the E3 study results show that all or
3 nearly all single-family and low-rise multi-family homes
4 will see some bill savings. And we know that the first
5 costs are most likely somewhat comparable or maybe a
6 little less to install -- replace a heat pump with -- or
7 replace an existing gas furnace and AC compressor with a
8 heat pump. Heat pump water heaters are a little bit
9 more expensive to install than a gas tankless water
10 heater -- or, sorry, a gas tank water heater. So, we
11 know that we might need to direct some incentives
12 towards some of those first costs.

13 So, let me see. Oh, for low-rise multi-family
14 -- these are for single-family homes. For low-rise
15 multi-family retrofits there's, as I said before, an up-
16 front cost premium, but these retrofits do generate bill
17 savings. So, the bill savings story is very good and we
18 need to keep an eye on that. And that's going to be
19 very important and especially for low-income customers
20 and disadvantaged communities.

21 Okay. We're focused on space and water heating,
22 only, so we're not recommending that we ask retrofit
23 customers or current customers to pull out their gas
24 clothes drying or gas cooking. The large focus is on
25 space and water heating.

1 We're running some pilots. One example I wanted
2 to bring up is that we are already partnering with a
3 couple of programs that are focused on GHG reduction.
4 The South Coast Air Quality Management District's Multi-
5 Family Affordable Housing Electrification Program. We
6 could partner with them and do the energy efficiency
7 piece. So, we want to get weatherization. We want to
8 have the homes be as efficient as possible, again to
9 offset those potential bill increases that might result
10 from electrification. So, it's a partnership. We
11 really want to see that partnership going on.

12 As with new build, we definitely want to see a
13 robust marketing and outreach campaign. This has been
14 touched on, it's critical that we train and support the
15 workforce.

16 There's some evidence from our consumer
17 awareness survey that the workforce is actually less
18 open to new electrification technologies, primarily
19 because they just don't have the experience. And they
20 just feel it's a larger risk.

21 Finally, just 30 seconds, I wanted to -- our
22 approach to this is to try to get the low-hanging fruit.
23 For example, existing solar customers who over-generate.
24 Non-emergency replacements, let's get those going before
25 emergency replacements.

1 Climate zones of higher cooling loads will
2 actually see a faster payback on bills. And newer homes
3 that don't require electric panel upgrades. There are a
4 few of the areas that we think could be focused on
5 originally.

6 So, I'll finish up there.

7 MR. COX: Great. Thanks so much.

8 (Applause)

9 MR. COX: All right, next up is Merrian Borgeson
10 from Natural Resources Defense Council, or NRDC.
11 Merrian is a Senior Scientist with NRDC who works
12 closely with policymakers and stakeholders in the
13 Western U.S. to champion stronger climate and energy
14 policies.

15 So, you've got your Power Point up and all
16 right.

17 MS. BORGESON: All right, thank you. Thanks for
18 being here everyone, after lunch, and glad to see most
19 of your eyes open.

20 I just want to make the point that Kevin's
21 presentation really shows that there's all these
22 opportunities where we know it's cost-effective already.
23 We've had this problem for like maybe a hundred years or
24 so, in energy efficiency, where it's like cost-
25 effective, but no one's doing it.

1 We have to think about this differently than
2 energy-efficiency. If we just think about this as can
3 we give people 50 bucks and have them do the thing
4 that's just 50 bucks more expensive? That's not a way
5 to build a market or get people excited. Right. We
6 actually have to get contractors, builders, the people
7 who are really making decisions about buildings to
8 understand this, embrace this, get excited about this.
9 And that's really different than small, incremental
10 incentives here and there.

11 So, this is a much larger question than the
12 question of the tech and build programs, which is the
13 focus of this panel today and what I'll talk about. But
14 we basically have \$200 million over four years to do
15 something very different to jumpstart a market and have
16 a technology like heat pumps, like a number of other
17 clean technologies that is basically not available in
18 buildings today and say, how do we scale this up to
19 pretty significant levels in a fairly short amount of
20 time. We know that it works. We know that it's used
21 around the world. We know that it's cost-effective in
22 many places already. It's very cost-effective in new
23 buildings. But how do we wisely use this funding?

24 And as Rory pointed out, it's not that much
25 funding. It's under 20 bucks per home. Obadiah, from

1 SMUD, this morning said that they're spending about a
2 billion dollars per year equivalent for the whole State
3 of California just in their territory.

4 And you saw their plan. It was a plan over ten
5 years to spend money in a way that contractors, and
6 manufacturers, and distributors can depend on, and work
7 around, and build their product lines, and do their
8 trainings in relation to.

9 So, the State of California needs to start
10 thinking big, as well. And this is just the first down
11 payment to get that ball rolling. At least that's how I
12 see these funds with 1477.

13 Now, there's two programs that this law creates.
14 One is for new buildings. The Building Initiative for
15 Low-Emissions Development. It's focused on new
16 buildings, new residential buildings. And it's to
17 significantly reduce the GHG emissions from these new
18 buildings with direct incentives to the builders and the
19 developers.

20 So, we have a lot of ideas about how we might
21 design these programs. I just want to draw on a couple
22 examples and give a couple of recommendations based on
23 our experience working across the program, and seeing
24 things that work and don't in programs like this, and in
25 programs like energy efficiency for the last 50 years.

1 One is this is so important it has to be a
2 statewide program. We don't have localized
3 manufacturers of these products. We don't have
4 localized builders of these products to a large extent.

5 This picture right here is City Ventures. A lot
6 of people mentioned City Ventures because they're a
7 company in California that built 700 units across the
8 State, solar, all-electric. Isn't it interesting that
9 so many of us use their pictures? Well, there's not
10 that many builders like this.

11 But you talk to the head of City Ventures and
12 he'll tell you the numbers pencil for them. People love
13 their homes. No, they haven't had a hard time selling
14 the cooktops.

15 What we don't have is a lot of builders taking
16 the plunge, changing their designs, making sure that
17 they get the right products, and sourcing new products
18 in many cases. That is a significant financial
19 incentive, even if the numbers pencil once you do it.

20 So, the goal of this program, of the build
21 program should be a statewide program that focuses on
22 getting the industry to have wider experience. Right?
23 It can't just be City Ventures. We need like 50
24 builders. And we need low-income housing developers who
25 really get this and are ready to do it. And we already

1 have a few. The good news in California is we have
2 examples for everything that you might want to. We
3 already have examples and we can go visit actual sites.

4 But it's the experience, getting more and more
5 developers to make that change. And that requires big
6 enough incentives, clear enough incentives. As I
7 mentioned up here, minimize paperwork. They already go
8 through Title 24. Make this an easy part of their Title
9 24 process. No, ten extra paperwork. So, three,
10 triplicate copies, or whatever. You could actually
11 build it into the way that Title 24 works. And the law
12 is set up to allow that to happen.

13 I think also setting a minimum target for
14 emissions. Don't make it super complicated. If you get
15 above this bar, you get your incentive. We can have
16 steady, stable incentives for like three years. That's
17 basically all we have to work with, with this program.
18 Make it easy for folks and make sure a wide range of
19 builders actually participate. Not just one, not just
20 two.

21 We need to ensure that there's direct outreach
22 design and modeling support for low-income developers.
23 Thirty percent of this money can and should, at a
24 minimum, go to low-income developers. We've talked to a
25 lot of low-income developers around the State. Many of

1 them are ready for this, but they need some of the
2 technical support, the Title 24 modeling, and otherwise,
3 to make sure that they can integrate it into their
4 process. And for them, their processes are longer.
5 They have very complex funding timelines to get low-
6 income housing development built. So, they need extra
7 support. And in our opinion, they need that support
8 from folks who already know who they are, who already
9 know all the low-income developers. Who aren't -- isn't
10 an agency who's just like, hey, how about you talk to
11 us, now? Now, you can actually hire and directly
12 contract with an entity that knows these guys already
13 and can work with them closely.

14 And again, we need to work with the builders and
15 low-income developers at every step. So, that's for the
16 build program for new buildings.

17 The second program, TECH, Technology and
18 Equipment for Clean Heating. So, this is for
19 technologies in buildings, that are super-low emissions,
20 particularly space and water heating. It's a particular
21 definition within the law that this bill is focused on.

22 And these interventions can be done through
23 upstream and midstream engagements. That means with
24 manufacturers, with distributors, with retailers,
25 contractor and vendor training, and consumer education.

1 So, again, this needs to be a statewide program.
2 This needs to be a coherent program. We, again, don't
3 have local manufacturers. There's manufacturers, a few
4 of them, that we can reach out to and work with. There
5 needs to be a program that they can reach out to
6 directly, that it's not -- you know, they don't have
7 tons of staff to go to every locality to engage locally.
8 We need to make sure that they are able to engage with
9 one entity that's thinking about statewide market
10 transformation in our State.

11 I think that you can combine sort of
12 comprehensive planning looking across the markets, and
13 figuring out in space and water heating where is there
14 the most opportunity for some newer technologies that
15 are ready to go, but not yet commercial, or not yet
16 widely available, and combine that with some quick start
17 pilots.

18 And you could ask an independent administrator,
19 or an administrator of this tech program to come up with
20 some ideas, some creative ideas for quick start ideas so
21 you get stuff off the ground in three to six months,
22 with some of the longer planning that will be required
23 for any building decarbonization framework that we want
24 in this State.

25 Again, we need to focus on engagement with

1 manufacturers, distributors and contractors. It will be
2 important to educate the public, ultimately. And I want
3 the public to be educated. But what I don't want is my
4 mom to hear about this program, call up her contractor,
5 and the guy to say that's illegal, or that's not
6 possible, or I don't do that. So, that is not the
7 experience you want.

8 What you want to do is you want to build the
9 market enough and support the contractors who are ready
10 and able to do this with the right messaging, at the
11 right moment.

12 I've some home performance programs in the
13 energy-efficiency space across the country actually help
14 the contractors with marketing dollars. So that they,
15 as long as they're promoting the right messages and the
16 produces that are incentive, they can actually do their
17 marketing. Imagine that, the people who can offer that
18 product doing the marketing to the people who they can
19 actually give it to immediately. New York is a state
20 that has done this very successfully for a while.

21 And I think another thing with TECH is that e
22 can actually have a very strong equity focus in this
23 program. There is not a carve-out in the TECH program
24 for low-income. But we can say, like the Commission can
25 say, or whoever is in charge of the program, and say,

1 we're going to try to get at least 30 percent of those
2 funds to low-income customers. There is a ton of need
3 in the low-income, multi-family space to make sure that
4 the right products and technologies are actually
5 developed and designed for multi-family buildings.

6 There's a lot of electric resistance heat in
7 low-income rental units. There's ways to target some of
8 these incentives and to work with the folks who either
9 provide low-income housing, for example, who have
10 existing buildings, or to look at specific technologies
11 that tend to be more relevant in low-income households,
12 and make sure that we target at least several of those
13 technologies or opportunities.

14 And another thing to consider is what can we
15 learn from the CSI program? In that program, we
16 reported some of the cost of installation for solar.
17 Can we do that in some way in this program, so that we
18 are able to start to get a sense around where does it
19 cost more or less and make sure the prices stay
20 reasonable. We definitely have had a few localities go
21 first, and contractors will quote like \$10,000 for a hot
22 water heater. That means that they don't want to
23 install the hot water heater, by the way. So, they have
24 to want to install the hot water heater.

25 But we can make sure that we start to get some

1 data from these programs so we can help to drive the
2 market, so that we get reasonably-priced equipment into
3 these homes.

4 My final slide is just that this program needs
5 to create the foundation for 2045. We need coherent
6 planning and dependable programs for at least -- I
7 estimate like three years. Right, we have about a year
8 to plan and get our act together, then three years of
9 putting a program out in the street. If we just do one-
10 off pilots, like if you have ten pilots that just like
11 are thrown out on the streets of California, I don't
12 think we'll learn as much as if we have a coherent
13 planning process that both does some quick start
14 options, and really targets, strategically, which
15 products and which markets are going to make the most
16 sense from a climate perspective.

17 Second, I suggest a task force to help oversee
18 this. The New Solar Homes Partnership Program had a
19 task force that involved stakeholders and industry to
20 sort of help guide those programs. This is an
21 appropriate role for this, as well, where you can have
22 manufacturers, builders and other key stakeholders. Get
23 informal. You know, it wouldn't be like -- you know, it
24 wouldn't be advice you have to follow, but it would be
25 an appointed group to make sure this is meeting the

1 needs of this market development work that we need to
2 do, so that there's another way for industry
3 stakeholders to really engage that's not a formal
4 process at the PUC, or the CEC, which can be
5 overwhelming for some.

6 And I think we need to start thinking now about
7 longer-term funding. Like I mentioned, in SMUD's
8 territory, they have a ten-year time horizon. Folks
9 know what to expect. We need to be thinking of how do
10 we get funding for this type of work beyond these four
11 years.

12 And with that I will just say we can do this, so
13 we can have cold beer, and warm baths, and provided with
14 a non-polluting fuel source. So, thank you very much.

15 (Applause)

16 MR. COX: All right. So, our next speaker --
17 so, you know, we would like to have bragging rights in
18 California about various clean energy things that we
19 were the first to do lots of things. But, really, when
20 it comes to this decarbonization kind of work, and heat
21 pumps in particular, you know, we're not the first.
22 Other states have done it.

23 And that's why we invited Howard. So, Howard is
24 here. He probably gets the award for traveling the
25 farthest. He is from VEIC, which used to stand for

1 Vermont Energy. Anyway, it gives you a tip of how far
2 he traveled.

3 But he's a Managing Consultant and Supply Chain
4 Specialist from VEIC. He has more than 20 years of
5 supply chain expertise, starting with his involvement in
6 his family's business, which was purchased by Rexall as
7 it's first U.S. acquisition.

8 At VEIC since 2012, he has designed and managed
9 several supply channel platforms, rapidly obtaining
10 nearly 100 percent of market share in the regions where
11 he operates for targeted products of energy-efficiency
12 programs, to promote to their repairs.

13 So, with that, Howard, take it away.

14 MR. MERSON: Good afternoon. It's a privilege
15 and honor to be discussing this important topic today,
16 with you.

17 I want to quickly review the supply chain. And
18 so, you can see the value stream of how it flows from
19 manufacturers to end users, and some of the roles and
20 responsibilities with the various layers.

21 At the same time, I'm sure many of you are
22 familiar with the supply chain, itself. But maybe what
23 you're not aware is that the flow, it really doesn't
24 matter as far as the technologies, it's consistent from
25 one technology to the next.

1 At VEIC, we follow a supply chain strategy.
2 It's 11 steps. And today we're going to be covering 4
3 of the 11 steps. Numbers 6 and 9, just so you
4 understand what SMIT stands for, that's sales,
5 marketing, inventory and training. And we'll go more
6 into the details of what SMIT is later in the
7 presentation.

8 But by following a strong chain strategy, we can
9 accelerate decarbonization in California and have market
10 transformation with respective technologies.

11 The distributors value proposition, or the
12 supply chains value proposition. This is for heat pump
13 water heaters and the slide, or the numbers came
14 directly from a distributor in the northeast. And it's
15 a comparison of a baseline product to heat pump water
16 heaters.

17 And what's important with this is that when you
18 look at the gross profit dollars, which is the
19 difference between the resale cost and distributor's
20 cost, when the baseline is \$82 per unit. On the heat
21 pump water heater, it's \$204 per unit. That's 150
22 percent difference of \$122.

23 And when I go in and have presentation with the
24 senior level management of various distribution firms or
25 manufacturers and reps, their eyes are usually glazing

1 over as I'm going through my presentation until this
2 slide, and then they start calling other folks into the
3 room.

4 Because from a business development perspective,
5 you cannot have a more effective way of bringing 150
6 percent difference on a product sale that was going to
7 take place anyway, by merely moving from baseline to
8 energy efficient.

9 In California, at 50,000 units a year, and I
10 think that's conservative, and I'll show you why in a
11 minute, that's \$6.1 million of gross profit dollars in
12 the supply chain as a result of moving to heat pump
13 water heaters.

14 Mapping the supply chain. It's really important
15 that we understand the relationship between
16 manufacturers and reps, their alliances with
17 distributors, and the distributors' alliance and
18 customer base with installers and contractors.

19 This is a research that I was involved with a
20 project with the Northwest Energy Efficiency Alliance,
21 NEEA, that represents four states, Montana, Idaho,
22 Washington, and Oregon, and 13 and a half million
23 people. When we surveyed the marketplace, 55 companies
24 in 270 locations. But here's what's important. The top
25 four companies, which is 7 percent of the 55, that's 55

1 percent of the location market share.

2 The next five, so, now we're at the top nine, 16
3 percent representing 74 percent. The 80/20 rule front
4 and center.

5 It's important that we're strategic with our
6 engagement with the supply chain. We want to have the
7 all-inclusive, but we need to go to the leadership
8 first, have the leadership embrace our strategies, and
9 then the marketplace will follow.

10 Sales market inventory and training, SMIT. You
11 can see the three steps as far as the overall SMIT
12 approach. What's relevant is the request for
13 information to the manufacturers and reps. And we have
14 various forms of the requests for information, or RFI,
15 but here's a marketing plan, an inventory plan.

16 Oh, here's what happens is that the
17 manufacturing rep and some distributors will respond
18 back. We had a hundred percent participation, by the
19 way, when we go out into the marketplace with this. But
20 they'll respond back. And then, we require a four- to
21 six-hour meeting in Vermont, one-off. And I can assure
22 you that with the supply chain manufacturers and reps,
23 visiting Vermont in the middle of winter was not a very
24 prominent -- they were not keen on the idea.

25 But after we finished our four- to six-hour

1 sessions as far as the strategy, what is your strategy
2 supply chain and we compared notes, and our objective
3 was how can we collaborate, one hundred percent came
4 back and said, this is the way we need to go to the
5 market. We will participate with you on a go-forward
6 basis. And this is how you cause market transformation.

7 Let's go into market transformation. In
8 Vermont, we have two different service delivery models.
9 One is a downstream program that goes to the home
10 improvement centers, such as Lowe's and Home Depot. And
11 the other is an instant rebate program going through
12 wholesale distribution. All of the research shows that
13 it should be a 50/50 split between the two.

14 The only difference between the two programs,
15 and I'm going to show you the results, the only
16 different between the two, the incentives are the same,
17 so that the downstream program was introduced nine
18 months earlier than the instant rebate program. And the
19 other aspect of it is that the downstream program did
20 not go through the SMIT process.

21 But here are the results. For every 10 units
22 sold in Vermont and installed, 9 are going through the
23 wholesale distribution channel.

24 Once again, the research showed it should be
25 50/50. Why is it, for 9 out of 10, going through

1 wholesale distribution? It was the instant rebates.
2 That was the reason, having access to incentives
3 immediately.

4 Why? Because the average U.S. household, their
5 savings is between \$400 and \$4,000, depending on what
6 research you're looking over. So, having access to
7 incentives is what drives market transformation.

8 I'll give you a little bit of the metrics in
9 Vermont. We're only .2 percent of the population, but
10 we're 3.6 percent of heat pump water heater uptake.
11 That's a 1,700 percent difference.

12 Now, in an almost 40 million population in
13 California, can you imagine the impact that California
14 will have, not only in the states, but globally? We
15 need California for market transformation.
16 Decarbonization is key for these types of products and
17 decarbonization overall.

18 Some other metrics. In the U.S., we have a 1.25
19 percent penetration rate on baseline products. In
20 Vermont, we're at 60 percent. That's a 4,700 percent
21 difference.

22 Let's look at air source heat pumps. We were
23 involved with research throughout, you know, the
24 northeast or New England as far as the penetration rates
25 of air source heat pumps.

1 Let's key in on the installation rates in homes.
2 In Vermont, we're at 1.26 percent annual penetration
3 rates of Air Source heat pumps. Let's compare, I'm not
4 picking on Connecticut or New York, but let's compare.
5 We're 1,160 percent over Connecticut and 2,000 percent
6 over New York.

7 And here's the various service delivery models.
8 What's the difference? It's having a strategy. It's
9 having an approach in the marketplace that's going to be
10 effective and working through the supply chain.

11 Zero energy modular. We're very active in this
12 space, at VIC. And we also have a very robust strategy
13 as var as ZEM.

14 And you can see what happens with an effective
15 ZEM strategy. You can transform the construction
16 industry and decarbonization at scale. And you can see
17 some of the other highlights of what happens by having a
18 strong strategy up front.

19 It's important that we recognize, as we go into
20 the supply chains and the channels, and I mentioned in
21 the beginning as far as the technologies, as far as
22 going from manufacturers to end users is essentially the
23 same.

24 So, I want to key in on electrical lighting,
25 wholesalers, the supply channel. Next year, LED

1 standards go into effect and we have a lot of inherent
2 relationships with that aspect of the supply chain.
3 Let's not give up the relationships because of LED
4 standards. And, instead, let's broaden and widen the
5 breadth of our engagement. Electrical distributors are
6 involved with electric vehicle charging stations.
7 They're involved with heat pump technology, ductless
8 mini-splits, and VRS, and VRVs, and heat pump water
9 heaters. Because of their customer base, electricians
10 are demanding that they have this in inventory, so
11 they're supporting it.

12 And then, you combine with connected devices and
13 let's look -- we currently have the 200-amp load center
14 upgrades. So, there's a lot of reasons to combine our
15 strategies with the electrical lighting supply chain
16 with HVAC refrigeration, and with the plumbing supply
17 chain.

18 So, I want to thank you for your time. It's
19 been a pleasure sharing some ideas from the northeast.
20 And at the same time remember, if you have a strong
21 supply chain strategy, you can accelerate
22 decarbonization and also have market transformation with
23 respect to technologies. Thank you and have a good rest
24 of your day.

25 (Applause)

1 MR. COX: Thank you, Howard, that has definitely
2 given us a lot to chew on there and it's great to have
3 your first hand experience in this, and expertise.

4 And speaking of first-hand experience, our next
5 speaker is Sean Armstrong from Redwood Energy. He's the
6 Managing Principal at Redwood Energy, a leading zero
7 carbon, affordable housing design firm.

8 Before cofounding Redwood Energy, Sean spent six
9 years as a design and construction project manager for a
10 top ten affordable housing developer in the U.S., and is
11 professionally trained in construction cost estimation.
12 So, welcome, Sean.

13 MR. ARMSTRONG: Thank you very much. Okay, so,
14 I've been in the industry since 2005. I only work on
15 low-income housing. I've worked on about 250 apartment
16 complexes, serving more than 7,000 low-income
17 households.

18 And what you're seeing here, this is a nice
19 subdivision of 48 homes in Selma, for farmworker
20 families. I do a lot of farmworker families.

21 So, I want to go back in history. 1953, Ronald
22 Regan got hired to head the last
23 electrification/decarbonization program. He promoted
24 clean, nuclear energy. He got to hang out with Marilyn
25 Monroe. He had a top ten television show for eight

1 years. He only got fired because in his first divorce
2 he did a self-dealing financial deal that blew up on him
3 eight years later, so he lost his job. He claimed it
4 was the Tennessee Valley Authority, because he called
5 them communists, but it was actually his divorce.

6 (Laughter)

7 MR. ARMSTRONG: So, they had a fantastic jingle:
8 We're better electrically. And they ran this show once
9 a week, showing people the commercial breaks, which was
10 clean nuclear power. Ronald Regan was big into clean
11 and nuclear power.

12 And then, clean household appliances, which is
13 how they described them, and luxury.

14 So, we don't have to run a program. We can see
15 that in the south, now that 60 percent of all new homes
16 are all-electric. The reason why is because it costs
17 less to build. It's not a decarbonization of any sort.
18 It is savvy developers who can cut \$3,000 to \$25,000 a
19 unit. It depends upon how far the gas line has to go,
20 depends upon the size of the house, it depends on the
21 market, but it is always cheaper.

22 So, what I've heard, but not yet investigated,
23 is that almost 100 percent of apartment complexes in
24 Atlanta, Georgia are being built all-electric now. I'm
25 not saying they're efficient. I'm saying they're all-

1 electric. There is a distinction because we get more
2 efficiency out of California policy than what they'll
3 have in the south.

4 And what you see in California. This is a
5 document, by the way, of market share growth. The
6 market share of all-electric started growing again in
7 1993. It stopped in '73, with the OPEC oil embargo.
8 There had been a nonstop growth since '52. It stops in
9 '73. It picks up in '93. It's been going nonstop since
10 then. You are in the middle of an electrification
11 revolution right now that's been going on for 26 years.

12 Now, in California as well, all-electric has
13 been gaining market share since 2010 in almost every
14 county, with a couple of exceptions.

15 Oops, wrong direction. My bad. Okay, here's
16 the reason why. There's the California studies. So,
17 you have Lawrence Berkeley National Lab saying there's a
18 .3 to .9 percent leak. And all in yellow are the leaks.
19 In green, starting you have a furnace that SoCalGas's
20 Navigant study is saying it's one to three thousand
21 dollars more expensive to put in gas/one to three grand
22 cheaper to do all-electric.

23 And you can see in green, the water heater's the
24 same price, according to SoCalGas. SoCalGas says an
25 electric dryer's going to save you money, an electric

1 stove's going to save you money.

2 PG&E and SoCalGas both point out that you have
3 -- under CPUC proceedings, that they put in two years
4 ago, that there's like \$16,000 in lateral connection and
5 then, you have to do the lateral -- and sorry, the piece
6 of low-pressure distribution in front of the house, in
7 the street, which is a cost that's given to the house.
8 It's not something that's rate-based. That's something
9 you pay to develop, if you're developing. That's 141 to
10 156 dollars per linear foot. So, you're talking six to
11 seven thousand dollars -- seven to eight thousand
12 dollars, pardon me, for 50 linear feet. You might have
13 a lot that's a hundred feet wide, as an example.

14 That cost of 25 to 30 thousand dollars, that's
15 what you pay in California, to the left. Well, I don't
16 have the cost in the \$3.2 million per mile of a high
17 pressure, the storage tanks, the extraction wells. They
18 have prices, but they're not included in. It costs
19 about 25 grand more to put in an all -- a gas/electric
20 hybrid home. You can save that, if you don't.

21 And as I said -- I was introduced as a
22 professional in construction cost estimating. I've had
23 to bid out projects that were 30 percent over budget and
24 I've electrified them as a way to get them on budget.
25 That's how I've saved many affordable housing

1 developments, particularly in rural areas where gas
2 connections cost even more.

3 Nationally, it is cheaper by 30 percent to go
4 all-electric on the utility bills. Not every state.
5 It's a hodgepodge in California with 126 utilities. But
6 nationally, this is what it looks like, 30 percent less
7 expensive to do a high-performance heat pump water
8 heater versus the highest performance gas water heater
9 you can buy. That's how electricity versus gas prices
10 for usage are in the United States.

11 And so, in the majority in the state, in the
12 United States, it's cheaper to go all-electric and
13 efficient.

14 So, I'm going to show you some projects. This
15 is in Oxnard. We've gotten nice work from the Building
16 Industry Association because we've cut costs so
17 significantly that we're able to do this low-income,
18 farmworker family housing development in Oxnard and have
19 it look like that. It's done off the back of the solar
20 array and the utility bills. That's how we brought
21 almost a million dollars of extra money into this
22 development.

23 This one, similarly, it got some extra awards.
24 Farmworker families. It has a gigantic central heat
25 pump water heater that does HVAC, so heating, and

1 cooling, and domestic hot water as a cost-saving measure
2 of about two grand per door.

3 This project got the grand prize, the United
4 Nations World Habitat Award. We had to go to Kuala
5 Lumpur to pick up the award. It was the first time that
6 permanent farmworker family housing had been built in
7 Yolo County. It was done with the cost of \$1.2 million
8 in savings over the 15 years, of a solar array and all-
9 electric. The project is financed off the back of the
10 solar array.

11 Lacking that, we did not have enough money to
12 get this project done. That's why we got an award, both
13 from the Department of Energy and from the United
14 Nations is because it was done off the back of solar
15 plus electric.

16 This is an 11-story, all-electric passive house,
17 500 units of low-income senior housing I'm doing on the
18 Washington, D.C. Beltway. So, it's going to have a
19 five-story tall solar array on the side of the parking
20 garage. And it's being done, once again, to make money.
21 This is a net profit -- this is how we're going to do
22 low-income housing on D.C. Beltway, a very expensive
23 market, is by reducing costs, first.

24 This is an existing project in National City.
25 Utility bills went from \$100 for tenants, down to \$5 a

1 month. The entire thing's electric, 100 percent solar-
2 powered, 326 families that got benefits.

3 These are developments, once again, with the
4 USDA, as farm work -- sorry, low-income families, low-
5 income seniors, low-income families once again, as
6 opposed to farmworker families.

7 All of these are examples of projects where the
8 solar plus the electrification package brought in 300 to
9 a million dollars more. It was an important part of the
10 financing.

11 This is that subdivision I showed in the first
12 picture. Once again, these are attractive homes.
13 There's nothing different about them, really. I mean,
14 you wouldn't know, per se.

15 These are cute little cottages in Fort Bragg.
16 That's how we got this through the entitlement process
17 in Fort Bragg to do low-income seniors. So, 26 little
18 cottages, a hundred percent solar powered. Every low-
19 income tenant gets about \$200 back from PG&E every year.
20 We overestimated the senior citizen's consumption
21 because they don't cook and they don't take showers.

22 (Laughter)

23 MR. ARMSTRONG: That's all of you, by the way.
24 So, yeah, they're like 20 percent over budget and they
25 get 200 bucks back a year. And it's adorable to talk

1 with these people. Three of them have bought electric
2 used cars because it saves them hundreds of dollars a
3 month to have an electric used car that they plug into
4 the free electricity here. So, even if they're paying
5 for it, there would be a savings. But it's an
6 immediate, there's free driving if you get an electric
7 car here.

8 These are 14 all-electric tiny homes that just
9 got put up for homeless Veterans in Santa Rosa. Just so
10 you know, there's 450 homeless Veterans with vouchers
11 and we were able to build 14.

12 So, this is a big, cool thing. And, of course,
13 we save money on every single one of these tiny homes by
14 going all-electric. There's a choice they had to extend
15 the gas or not. We cut the price of the gas out, this
16 thing was still almost a hundred grand over budget, and
17 electrifying was part of the solution.

18 So, this is what it can look like, those tiny
19 homes I just showed you. Now, this is a heat pump --
20 and I just want to get behind -- (off-mic) -- that pulls
21 through the wall. This is the cheapest way you can do
22 HVAC for, say, like a thousand square foot home. So, a
23 one-ton heat pump that's retrofit ready. It goes into a
24 120-volt outlet. It uses half as much electricity as a
25 hairdryer and it heats an entire home. This is the

1 heater that I use for my house, like a one-ton heat
2 pump. Mine looks like the one to the right, but it's
3 all the same guts inside.

4 The reason why this is \$3,000 a zone is because
5 it's all done in the factory. All the work. It's just
6 one box and you hang it on the wall, and you plug it in.
7 As soon as you have to run a refrigerant line, and set a
8 cement pad, and run an electrical line, and go on and
9 on, and on, for split systems prices double.

10 You know, I'm in there also cheaper. That's a
11 packaged one, just like in the beginning. Everything's
12 in the guts of that box. And then, you run ducts off of
13 the top of it. So, not having a systems-split saves
14 thousands of dollars of installation.

15 The next most expensive, about 18 grand, which
16 is what you're going to have for a traditional, like an
17 air conditioner with ducting, or a reversable air
18 conditioning with ducting.

19 So, I've found that the least-cost system that
20 can be installed, period, bar none, no other way to do
21 it cheaper, no matter what your fuel uses are, is a
22 packaged terminal heat pump. That's the low-cost HVAC
23 system, end, stop, the cheapest.

24 Central versus individual tanks. In yellow,
25 that is what an individual heat pump water heater does,

1 the amount of electricity it takes. And electric
2 resistance tank is the one that's overlaid, so you can
3 see the difference between a heat pump and electric
4 resistance. To the right are all different ways of
5 doing central heat pumps. And I want you to see how
6 small the yellow is compared to any efficient way that
7 you do a central heat pump.

8 Individual systems are far more efficient. So,
9 when I'm doing zero net carbon, 6- to 11-story tall
10 construction, I have to look at the domestic hot water
11 as the number one energy use, and then I have to cut it
12 in half so I can go another three stories up. It's
13 important. I have these down corridor hallways as
14 opposed to a big, central system, on an 11-story tall
15 building. Because there's massive energy savings, as
16 well as construction cost savings.

17 This is what a retrofit-ready water heater can
18 look like. Here we go. Two slides left, promise you.
19 So, that looks like an on-demand gas water heater, it
20 holds 30 gallons. Once again, it uses half the energy
21 of a hair dryer and it heats all the water for a house.
22 Ariston owns HTP, HTP's an American company, and they're
23 bringing them over in the next year. So, we can just
24 plug them in to any outlet in a house and run plumbing
25 for it. It's under a thousand bucks. It's got a COP of

1 3.

2 Last, to focus back on this, this -- there are
3 low and reasonably priced electric resistance and
4 induction stoves that are higher quality than any gas
5 stove that's being rated out there. They're affordable.
6 And as a person who's got two cancer survivors in my
7 family, the issue of formaldehyde being the number one
8 source that's coming off of gas stoves, that freaked me
9 out when I learned that, and I stopped letting my kids
10 cook on the gas stoves. I didn't want them huffing gas,
11 like gasified plastic, essentially. Plastic is made out
12 of natural gas. Put it in reverse.

13 So, that's the end of my slide deck. I just
14 want to say this is how we do low-income housing all
15 over California. It always saves money. It's always an
16 important part of how we build it in the first place.
17 If you force us to put gas in, you raise costs and you
18 put less housing out of the State of California. Okay.

19 MR. COX: Great.

20 (Applause)

21 MR. COX: Thanks, Sean. I want to direct my
22 first question to you, actually, and you get to keep
23 going. So, you seem to be doing pretty well with the
24 current regulatory and incentive structure that's out
25 there. I mean, you seem to be doing quite a bit.

1 MR. ARMSTRONG: Doing a lot.

2 MR. COX: And, yet, we have the Build Program,
3 which is there's a 30-percent requirement for low-income
4 housing on there. So, you've been able to all this
5 stuff. What else can we do and build with that funding?

6 MR. ARMSTRONG: Well, I encourage you to focus
7 on retrofits. Is that an option with it?

8 MR. COX: Yeah.

9 MR. ARMSTRONG: Okay, then I --

10 MR. COX: Wait, actually, no, sorry. Sorry,
11 Build, it's not. It's new construction.

12 MR. ARMSTRONG: Okay, it's new construction.
13 I'm a renegade in this field. Like, you know, we use
14 the Title 24 software in ways that are less approved
15 than others. And that is because PG&E has been forcing
16 us, in every single way they could, to make us use gas.
17 So, there are regulatory barriers that most people bump
18 into that we work around. And so, there's work to be
19 done there.

20 And I would say just generally in this State
21 that the practice of all-electric construction -- we're
22 a 90-percent gas-delivered state. Ninety percent of our
23 homes are gas. In the rest of the country, it's 50
24 percent on average. We're one of the worst states in
25 the Union in not having gas. And people are just

1 ignorant. They don't know what's going on outside of
2 California. We're parochial in our understanding. And
3 we look at the south as a bunch of dumb hicks, instead
4 of the leaders of our country in electrification.

5 Like, we are not thinking about the situation
6 correctly, generally, and it's the thinking that gets in
7 the way.

8 So, if you throw a bunch of money at getting
9 people to change their practices, like they should have
10 already for their own benefit, then good. Because it's
11 not easy.

12 MR. COX: Is it a matter of education of the
13 low-income housing building industry, do you think?

14 MR. ARMSTRONG: Yeah.

15 MR. COX: Okay.

16 MR. ARMSTRONG: To put it out there, you know,
17 every year the Tax Credit Authority, under the
18 Treasurer, sets up new policies to incentivize
19 particular types of housing, family housing, efficiency
20 goals. So, they have built a glide path zero to energy
21 and that's why we have the most zero to energy of any
22 housing type is in low-income housing. It's because the
23 policies have been in place since 2005 to support it.

24 So, if you were to push the Treasurer's Office
25 to mandate or additionally incentivize, that would

1 actually be a very powerful way to make low-income
2 housing become all-electric, without any spending money,
3 per se.

4 MR. COX: Uh-hum.

5 MR. ARMSTRONG: And then, if you were to help
6 with the buy-down, perhaps, on a central heat pump water
7 heater. That is the only technology that's usually more
8 expensive and a hard push. Because nowadays, most
9 apartment complexes are built all-electric except for
10 the water heater. People are really freaked out about
11 gas fires in the stoves, because so many low-income
12 senior citizens will like leave it on, and then up goes
13 the apartment.

14 So, there's a lot of safety issues around why
15 we're not putting gas into apartments anymore. It's
16 just the water heater.

17 MR. COX: Uh-hum.

18 MS. BORGESON: And I would just add, I mean,
19 this is a good question generally. Like if it costs
20 less, why do we need the money? And I would say that if
21 we could use half the money and clone you, that might be
22 another solution. But since we can't do that -- I mean,
23 Sean, he shows you all these nice pictures, but he
24 worked really hard to work around every single little
25 wiggle room that he could get to make these pencil. And

1 it can't be that hard for your average developer, it
2 just can't, if you want us to take off.

3 So, part of what we need is this, having many
4 more people have this experience. Many more developers
5 being like, oh, this actually works. And we also have
6 to make sure that it doesn't -- it's not as hard as it
7 has been for Sean to make it work right.

8 So, that's why we need Bill to like kind of kick
9 us off, get the experience more broadly, look at some of
10 the barriers that we do have around building new, all-
11 electric, super-efficient buildings and then, yeah, we
12 won't have to subsidize it forever. That's the good
13 news. But we're not there, yet.

14 MR. COX: The next question is for Howard. How
15 can the TECH Program best balance the need for quick
16 wins, with setting the foundation for long-term success
17 and transformation of the market?

18 MR. MERSON: Thanks Rory. I would say as far as
19 the TECH Program -- let me just make sure that I have my
20 thoughts straight here. First, we need to invest in the
21 supply channel. And it's important that we understand
22 the value proposition. And I went through, earlier,
23 about the 150-percent difference, \$112 per unit.

24 That's just the beginning. There's other
25 technologies we found it's 244-percent, 300-percent

1 difference. So, we need to understand the value
2 proposition as we go into the supply chain.

3 We need to understand the supply chain's profit
4 model. It's based on a formula that we have utilized
5 throughout our involvement across the country. But the
6 one I like is a performance metric and it's RONA, return
7 on net assets.

8 Return on net assets, I went over the top side
9 of it. The formula's net income, divided by accounts
10 receivables, plus inventory, and deduct out the accounts
11 payable. So, the net income I hit a little bit and that
12 was as far as the gross margins, but that translates
13 into net income dollars.

14 But if we go deeper, how do we turn inventory.
15 We can't have inventory just remain idle because it's an
16 investment. So, we turn it by collaborative sales and
17 marketing, product and program training, and ensure that
18 the incentives are properly messaged into the
19 marketplace. And when we do that, the supply chain will
20 buy into the process because their return on net assets,
21 which is a key performance metric as I mentioned
22 earlier, will go up.

23 And so, then that leverages the supply chain and
24 we start having all of these market actors that are
25 involved with the program.

1 Then, we need to be smart. We can't over-ask
2 the amount of questions that are involved. We need to
3 optimize data collection.

4 Our first program that we introduced in Vermont,
5 I said, how many data collection points do we need in
6 order to meet the regulatory requirements. And
7 internally, they said 40. And I said, there's not a
8 chance. I said, you know what, go to the grocery store
9 and check out. And before you check out, just envision
10 everybody being asked 40 questions before they can check
11 out. So, let's go back in and let's relook at this.

12 Then, okay, they came back a week later and it
13 wasn't 30, 20. Fourteen data collection points. So,
14 that's been our standard on a go-forward basis. And we
15 optimized it. I forced our U&B departments hand and
16 they came back with 14 data collection points.

17 So, all in all, I think that this is where we
18 start and then we grow from there. But we build a
19 platform and then we have incremental growth. Thank
20 you.

21 MR. COX: All right, thanks.

22 So, this is just -- you can just pass the
23 microphone around for this one, I'm going to ask it for
24 each of you. What shouldn't we do? What should we de-
25 prioritize? Because as I said that's one of the big --

1 you know, we have lots of ideas of what we should do.
2 But when we're trying to think of, you know, what is
3 best use of those funds right now, and I'm not talking
4 about the long term and I'm not talking about what other
5 actors can do, I'm just talking about our \$50 million a
6 year that we get for these two programs.

7 I have my nomination that I'm going to be a
8 little bit provocative with, which is that, you know,
9 marketing, education and outreach, it takes a lot of
10 money to get the general public aware of things.

11 And yet, what we've heard a few times today, in
12 various forms, is how important the midstream market
13 really is. Which is to say the contractors. I think
14 Panama called it the church of the kitchen table, or
15 something like that.

16 And they are the ones that are really the -- you
17 know, when your water heater goes out, they're the ones
18 that are going to sell you the water heater. You don't
19 generally go to Home Depot and buy it. A contractor
20 comes in and puts it in.

21 So, I'm kind of like thinking, when we think
22 about how to allocate these funds, you know, do we need
23 to educate the public? So, that's one thing that I'm
24 kind of like thinking I don't know. But I wanted to ask
25 you that question, as well as any other things that we

1 maybe need to not spend the funding on.

2 MS. WOOD: Okay, I'll go first. So, I know you
3 asked us what we could deprioritize, but I'm going to
4 push back on you, on your item. So, you know, just what
5 we've found from our consumer awareness studies that we
6 just need to educate customers. And I don't really
7 think it will take that much.

8 I mean, Sean pointed out that, you know, the
9 rest of the country is more like 50 percent. I mean,
10 Europe, they're very used to these. So, there's not
11 anything fundamentally different in Californians' DNA
12 that we don't like electric cooking. I mean, there's
13 just not. So, I think it won't take too much and I
14 don't think it will be that expensive.

15 But I think it's needed for both the Build and
16 the TECH program because I think builders, with the
17 exception of Sean, are reluctant. And why are they
18 reluctant? Because there's a risk. And there shouldn't
19 be, there shouldn't be that perceived risk. So, I would
20 say don't de-prioritize customer communications
21 campaign.

22 I mean, one thing that we can think about doing
23 is, you know, prioritize the low-hanging fruit, like I
24 was talking about earlier, so there's lots of wins. I
25 mean, a win we can do with our existing Energy

1 Efficiency Program is electric resistance to heat pump.
2 That is a no brainer. And we can do that without Build
3 and TECH. We should be doing a lot of that. There's a
4 lot more of those kinds of partnership programs that we
5 can be doing. So, we should get those going and then
6 prioritize the low-hanging fruit.

7 MR. MERSON: I just would say that if we focus
8 on build efforts and low-cost coordination, and then
9 with building codes we just allow the codes and
10 encourage it's all-electric.

11 And then reserve most 1477 funding for TECH.
12 So, that's my thoughts as far as the prioritization and
13 what we do and don't focus on.

14 MR. ARMSTRONG: So, as we saw, the amount of gas
15 that gets used by the domestic hot water and HVAC are
16 the two big line items. But the hardest things to do
17 are the electric fireplaces and the electric stoves.
18 Those are the two items that people resist the most.
19 So, I've spent the most energy trying to find fireplaces
20 that produce steam that's lit by LED lights, so that
21 people will stop -- because I had an affordable housing
22 project in Pasadena, where I got all the electricity --
23 all of the gas out, except for the ceremonial fireplace.
24 And I had to make the pitch like this is low-income
25 housing. Someone's going to complain if you guys make a

1 bonfire in the middle -- in low-income housing and
2 install a \$20,000 gas line to get it there.

3 But this problem I've found is like the
4 symbolic, emotional ties to burning things is the
5 hardest part.

6 (Laughter)

7 MR. ARMSTRONG: It's like I don't care as much
8 about money as I do about my family recipes. Don't take
9 away my gas stove.

10 I don't care about saving money at Christmas
11 time, I'm going to buy \$800 worth of presents and I'd
12 like to open them in front of a fireplace.

13 That is, I've found, to be the challenges.
14 Especially, not in low-income housing, where you can
15 just work with one developer who will make some choices
16 for people. But when you have to worry about everyone
17 else's choices affecting it.

18 So, I would say what we should deemphasize is
19 the things that people don't care about because they're
20 hidden behind closets, and emphasize the things that
21 have the most emotional resonance, so that we don't get
22 hung up on angry arguments over things that people love.

23 MS. BORGESON: I guess, I mean I don't disagree
24 with anything you guys have said. We're going to have
25 to do all of these things.

1 With \$200 million over four years, I don't see
2 the potential for a mass market campaign. And I do
3 worry a lot about people going out and asking for
4 something that's not available.

5 So, to me, it's really about timing. It's not
6 that do we do these things? Yes, we have to figure out
7 the gas fireplace question. Yes, we have to get people
8 to love induction cooking, which we think they will, but
9 they've just never tried it before.

10 Yes, we're going to have to get people to
11 understand -- actually, we should not have to get people
12 to understand a heat pump and how it works. Let's not
13 do that. Let's not have an education campaign that
14 educates people. It's just, like you get hot water and
15 hot air when you need it.

16 So, but I think where we need to start is by
17 having the suppliers, the folks who interact, either the
18 builders, themselves, the low-income developers or the
19 contractors get bought in and have a business model that
20 actually works for them to sell these products. They
21 actually have to know what they are and have to rethink
22 how they do sales, so that then we can have a marketing
23 campaign that really takes off.

24 And I think it's going to take two to four years
25 to get that in place, before we could really have a

1 massive marketing campaign. Not that we don't
2 eventually need to do it.

3 MR. COX: So, I think that we're going to
4 Commissioner questions. Yes, Commissioner Picker?

5 PRESIDENT PICKER: I can talk loud. Don't
6 worry.

7 (Off-mic)

8 PRESIDENT PICKER: To heck with them. So, I
9 think a lot about the certification agencies. Are they
10 staying up to date on this? Are they starting to really
11 track? Again, this comes out of naivete, because I'm
12 from California and I don't see how it's applied in
13 other states.

14 You know, are you finding that the manufacturers
15 are actually applying the standards correctly?

16 MR. ARMSTRONG: What standards do you mean?

17 PRESIDENT PICKER: So, you know, the
18 International Electric Physical Commission, IEEE, sets
19 standards that then you can actual measure the overall
20 effectiveness of a technology. It's similar to EMV,
21 only it happens at the global level.

22 They all started with 60 cycles in North
23 America, and 50 cycles in the U.S., but then they began
24 to apply this across the board. It's why you know your
25 refrigerator is going to work on 60 cycles.

1 So, here, are we certain that when we get an
2 appliance that people are actually going to get the
3 kinds of services that they're buying for that, at the
4 levels that are predicted?

5 MR. ARMSTRONG: If I understand correctly, I'm
6 imagining for instance a product that I'm trying to help
7 bring in for heat pumps.

8 PRESIDENT PICKER: Right.

9 MR. ARMSTRONG: It's a 50hz cycle, 230-vot
10 product over there. So, I'm seeing the having to go
11 through Universal Laboratories and have it -- you know,
12 the entire thing, the energy's rectified and it comes
13 through. And then, it also has to go through the
14 Department of Energy for efficiency.

15 So, my experience so far has been that there's
16 quite a number of thresholds of examination.

17 MS. BORGESON: Yes, I think that's right. And
18 these products are widely available all over the world.

19 And other groups, besides California, like in
20 the northwest, they've been working on product specs for
21 a long time, so we can easily borrow, and we have
22 already borrowed some of their work. So, yeah, I don't
23 think that's a problem.

24 PRESIDENT PICKER: Okay.

25 MS. BORGESON: We've found manufacturers

1 basically say, just like show us that there will be a
2 market here over at least several years, and we can like
3 ship more, but we need to see that there's actually a
4 demand for it.

5 MR. ARMSTRONG: To add to that, I've interviewed
6 the Japanese manufacturers a number of times since they
7 have efficiencies at about 30 to 50 percent greater than
8 American products. And I said, why aren't they here.
9 Daikin, why aren't they here, Mitsubishi. And they say,
10 Americans don't care about efficiency.

11 And I'm like, well, we're in California. And
12 they're like, even Californians just don't care. And
13 that seems to be a big impediment is that we might think
14 we're doing something amazing in California, but we're
15 behind in -- we're not nearly as interested as Japanese
16 people are. Just demonstrative by rebates, and
17 government programs, just go down the list. We're not
18 that awesome.

19 (Laughter)

20 MR. MERSON: I just would say that when we
21 introduced our air source heat pump program in Vermont,
22 we went to the manufacturers, and we went to the C suite
23 level as far as eligibility requirements. And we had a
24 manufacturer at that level sign off. And that's where
25 we started.

1 But I think all of the other points, as far as
2 testing laboratories, there's a significant -- (off-mic)
3 -- I'm about to finish, anyway. But there's a
4 significant amount of testing protocols that are in
5 place, now. But there are several strategies that we
6 could utilize in California.

7 But as I said, when we started out in Vermont,
8 we did not have any testing as far as in laboratories at
9 that time, so we went to the manufacturers and asked for
10 the sign off, and they did.

11 MS. WOOD: I'll just add a somewhat related item
12 that the Building Decarbonization Coalition is
13 conducting a stakeholder engagement around retrofit-
14 ready heat pump water heaters, so that would involve
15 certification and with all the manufacturers. And,
16 again, it's really important to get the manufacturers
17 involved.

18 COMMISSIONER SHIROMA: Okay, thanks. Genevieve
19 Shiroma, CPUC. This question is for Kevin. Perhaps for
20 Obadiah.

21 In the vein that repetition is really import to
22 really understand and get something, this study that's
23 coming out that was cosponsored by Edison, LADWP, and
24 SMUD, what action items do you foresee arising from the
25 release of that study?

1 MS. WOOD: Yeah, mostly -- can you hear me? You
2 know, mostly it points to the areas that we need to
3 focus programs and incentives. So, that's -- you know,
4 it will give us a laser focus on different vintages.

5 So, for example, believe it or not, older
6 vintages of homes have more of an opportunity for
7 savings, for lower those customer's bills. So, that's
8 just one data point that we'd like to focus on, and
9 that's what will come out of this study.

10 We looked at six different climate zones,
11 different utility rates, and vintages of homes. So, it
12 will help us laser focus, kind of to Rory's point
13 earlier, around priorities to get -- you know, to get
14 the most bang for our buck early.

15 COMMISSIONER MCALLISTER: So, let's see. I have
16 a question, I guess, most for Vermont. But, you know,
17 there's been a little bit of a suggestion about the need
18 to integrate various technologies, and I'm talking about
19 new construction, but I want to put a little finer point
20 on it.

21 So, like in Vermont, you know, their shell is
22 king, right. It's cold there and you want to really
23 have a tight, thick wall. You know, that's -- your
24 long-life investment is the physical thing that you're
25 building. And that allows you to potentially downsize

1 your mechanical, if you make a better shell.

2 Then also, when we're talking about gas versus
3 electricity, when you have a really tight shell the
4 differences actually emerge more strongly in terms of
5 indoor air quality.

6 So, I guess, I want to see if sort of that issue
7 has been something that makes all this more saleable in
8 Vermont or, you know, the need to integrate and just
9 have a better three-dimensional thing that people have a
10 higher sense of comfort and performance matters in the
11 marketplace?

12 MR. MERSON: It matters. This is working now,
13 right, after I dropped it?

14 It does matter. Weatherization, and sealing,
15 and tightness of the homes or buildings was a major
16 emphasis when we introduced our air source heat pump
17 program in 2014. Q/A, as far as installs, ensuring that
18 just verifying quality installs was essential as part of
19 our verification process.

20 But you're right, what comes first? Is it the
21 chicken or the egg? Do you sell or do you go in with
22 the technology first? And it really has to be all of
23 the above.

24 We are moving more and more into weatherization
25 and sealing, but it has always been a part of our

1 strategy since we launched our initial ductless mini-
2 slip program in 2014.

3 MR. EARLY: Okay, so -- okay, I think we're
4 going to transition into public comment, but I wanted to
5 ask the Commissioners, first, if any of you wanted to
6 make closing remarks before?

7 VICE CHAIR SCOTT: I think our speakers (off-
8 mic) --

9 MR. EARLY: Yes. Yeah, certainly, I want to
10 thank all of our speakers before we transition to public
11 comment. Let folks know and encourage them to file into
12 the dockets, and the instructions for how to do so are
13 in the notice. Again, this is a joint PUC and CEC
14 workshop and so, if you could file into both dockets, if
15 that's not too burdensome, that would be great to get it
16 on the record, both.

17 COMMISSIONER SHIROMA: Okay. I wanted to echo
18 all of that and to say thank you. And just some people
19 know that I was recently an elected board member on the
20 SMUD Board, up in Sacramento County. I spent 20 years
21 there. Ran for election five times. And one of the
22 things that I experienced at that time, and I'm speaking
23 in particular to our labor friends, okay. I was
24 privileged to serve on a board where everything that we
25 did, okay, we looked at what did it mean for the

1 economy? What did it mean for our customers? What did
2 it mean for our employees? And what did it mean for job
3 creation and job growth?

4 And we looked at, as we were making in changes
5 in technology what would that mean for partnering with
6 our community colleges and the apprenticeship programs
7 for training.

8 So, I imagine that same sort of philosophy will
9 continue on in efforts that the State makes. And I
10 think Senator Stern did speak to that, as well. So,
11 thank you.

12 VICE CHAIR SCOTT: Thanks. I just did want to
13 say thank you so much to all of our excellent speakers
14 today for bringing their expertise, and their energy,
15 and information. And also, to all of our engaged
16 stakeholders.

17 And I do want to make sure that you heard the
18 point that Bryan made. Maybe we can figure out how to
19 pull up the link for you. But we do have an open
20 docket, which gives much more time to provide longer
21 comments, written comments, and we do read those. We've
22 been listening very closely to everything that folks
23 have said to us today, but warmly welcome getting
24 written comments as well.

25 So, I just wanted to say thanks to everyone for

1 a really good day.

2 MS. THAKAR: And before we transition into
3 public comment, which will be public comment both for
4 this panel and the prior panels, if you didn't have a
5 chance to speak, I also want to thank the Los Angeles
6 Clean Tech Incubator for hosting today, in this
7 wonderful space. Matt Peterson and their staff, they
8 worked incredibly hard to accommodate us.

9 And one more housekeeping announcement, please
10 be patient. Once we're done with public comment and
11 you're leaving the parking lot, you may have to wait a
12 little bit to get your car out since there is only one
13 entrance and one exit.

14 MR. EARLY: Great, okay. So, I'm going to start
15 over on this end and maybe make a sweep around the room
16 in terms of public comment. And then, maybe I'll ask
17 Tiffany to see if there are any remaining questions on
18 WebEx that need to get answered.

19 So, remember to keep it to one minute, say your
20 name, and speak directly and loudly into the microphone.
21 So, here we go.

22 MR. PORTILLO: Thank you. My name's Luiz
23 Portillo. I'm with the Inland Empire Economic
24 Partnership.

25 You know, one of the common themes I've heard

1 throughout the day is really a discussion on cost and
2 its impact. I just want us to be cognizant that for all
3 of these programs, as great as they are, they're being
4 paid for by someone. And it's being paid for by
5 customers, by residents, by businesses to fund it.

6 And so, you know, the question was asked, what
7 should we not do? And I guess there's two things that
8 come to mind. Maybe somebody can maybe help me better
9 understand why we should be doing them, which is why are
10 we applying subsidies to those that don't need it? A
11 couple of things that come to mind are, you know, the
12 Energy Commission recently adopted a requirement that
13 all new homes be required to install rooftop solar.

14 Why are we providing affluent individuals, and
15 if you can afford a new home in California, you are
16 affluent, with a subsidy to do what the law already
17 requires you to do? Especially when a lot of that
18 subsidy is being provided by people who are worse off
19 economically? Why are we providing anybody who lives in
20 a home that's valued over a million dollars with any
21 kind of incentive? They can afford it. You mean to
22 tell me you can't do that?

23 So, I would say, you know, if I can get your
24 thoughts as to why we should be -- why shouldn't we be
25 excluding those people from those types of programs?

1 And then, also focusing our efforts on those
2 programs that really are going to give us the most bang
3 for our buck. Right now, about 55 percent of our energy
4 comes from zero net, zero emission sources. So, in my
5 mind, energy efficiency task programs, while you may
6 reduce energy use by 20 percent, would that money have
7 been better spent, say, taking a diesel truck off the
8 road? So.

9 MR. DOCHERTY: I'm just curious. In Vermont, on
10 air source heat pumps there's no requirements for
11 backup? So, you have a ductless mini-split or an
12 outside air source heat pump. I know there was a study
13 done, I believe -- oh, I'm sorry, Douglas Docherty.

14 I know there was a study done to look at the
15 efficiencies of air source heat pumps, I believe in
16 Connecticut. And when they went out to do the study,
17 they couldn't do the study because the air source heat
18 pumps were under six feet of snow.

19 So, I'm just wondering, there's no backup on an
20 air source heat pump in Vermont?

21 MR. MERSON: There's not. But most of the
22 installs in Vermont are retrofit, they're supplemental
23 heat and air to existing systems.

24 MR. DOCKERTY: So, they keep their gas furnace?

25 MR. MERSON: On the existing. Now, with new

1 construction, we're seeing a significant uptake with
2 heat pump only.

3 MR. DOCKERTY: With no backup?

4 MR. MERSON: That's correct.

5 MR. DOCKERTY: Okay, thank you.

6 MR. ARMSTRONG: I'm sure it's understood that no
7 backup, other than electric resistance on those heat
8 pumps.

9 MR. DOCKERTY: Right.

10 MR. ARMSTRONG: Right. Okay, just so you guys
11 are clear, there's all-electric, heat pump-driven homes
12 above the Artic Circle. There's a whole bunch of them.
13 Habitat is an organization that designs and builds all-
14 electric above the Artic Circle in Canada and Alaska.

15 MR. LEE: Hello, Min Lee for L.A. County,
16 speaking on behalf of a local government. I would
17 encourage the Commission to consider approaches similar
18 to what the previous administration, in Washington,
19 D.C., took around trying to incentivize states to take
20 policy action. And in our case here, the State
21 encouraging local governments to take policy actions
22 that may be even more aggressive than Title 24, via like
23 a waist to the top type approach, which has been shown
24 to work very effectively and cost effectively, with
25 limited resources. Thank you.

1 MR. FORTUNATO: Good afternoon. My name is
2 Robert Fortunato. I'm the owner and builder of the
3 Green Idea House. We built one of the first net zero
4 energy, zero carbon case study houses that was built for
5 less cost than standard construction, with standard
6 construction materials and off-the-shelf technologies.

7 And I'd like to thank you, Commissioners,
8 because you're setting the 2020 goal that all new
9 residential construction be net zero energy actually
10 inspired me. So, thank you for that.

11 So, I wanted to let you know, seven years later
12 the house has worked perfectly. We actually carry our
13 utility bill around to show all-electric absolutely
14 worked perfectly. And you're welcome to pass that down.

15 (Laughter)

16 MR. FORTUNATO: No, it's right there. And we
17 had some of the best engineers working on it in the
18 country, for this project. And quite frankly, when I
19 said to them that we wanted to cap off the gas line,
20 they were very nervous. They didn't think we would meet
21 the goal.

22 And after the fact, we actually over-produced by
23 two and a half megawatt hours a year, and so we have two
24 electric cars. It runs the two electric cars, the
25 house, and we're still net zero energy.

1 So, Southern California Edison, the utility,
2 still pays us about \$100 a year back as a result. So,
3 it all works. It all worked seven years ago, it
4 certainly works better today. Thank you.

5 MR. HUNT: Good afternoon. My name is Ken Hunt.
6 I'd like to thank the Commissions for allowing us to
7 even take part in a panel like this, and the panelists,
8 as well.

9 I'm a member of the International Union of
10 Operating Engineers and we represent about 18,000
11 working men and women across the State of California.
12 I'm a union member, but I'm also a Southern California
13 Gas and Southern California Edison ratepayer. And as
14 such, I feel obligated to voice my support for a little
15 more balanced energy solutions.

16 I know that everybody here's been talking about
17 electrification. And, you know, with my educational
18 background, it's hard for me to sit up here and argue
19 with you. I just am not equipped to do that.

20 However, I do get an electric bill and I do get
21 a gas bill. And I can tell you that my electric bill,
22 on a monthly basis, is about two to three times higher
23 than my gas bill.

24 You guys may know why, but I know what I have to
25 pay every month. And so, for me, I have children and I

1 have grandchildren. And as much as I want to support
2 the fight against climate change by reducing greenhouse
3 gases, I have to consider the methods we all decide to
4 support and what impact they'll ultimately have on my
5 family, and my children, and grandchildren.

6 I don't believe that eliminating the use of
7 natural gas is the answer. I do know that, you know, as
8 a ratepayer here we all have to consider not only how we
9 can afford to pay for these things, but what effect it
10 has on our families.

11 I just don't think that limiting our choices of
12 energy sources will be less affordable. I think it will
13 also be less reliable. We're already choiceless when it
14 comes to our electrical energy source. But please,
15 don't empower Southern California Edison and other
16 electrical providers across the State to further limit
17 our choice, reliability and affordability for energy by
18 not considering all energy solutions to achieve carbon
19 neutrality. Thank you.

20 (Applause)

21 MS. LEON GROSSMAN: Hi. My name is Andrea Leon
22 Grossman. I'm also a ratepayer of both SoCalGas and
23 DWP. And I'm a huge advocate for electrification. My
24 SoCalGas bill is usually smaller than my DWP bill, but
25 not always. My DWP bill sometimes is \$4.00 a month.

1 And that's with two electric vehicles, and induction
2 stove, and array of other electric appliances.

3 We do have an existential threat with climate
4 change. Again, it's a matter of death and life. And we
5 do have a choice in terms of who gets solar and solar
6 companies. We do have a choice. And we do have,
7 really, options. We do not need gas. We do not need to
8 be poisoned by the gas. And climate change is here.
9 It's real. It's now. And we need to act quickly.
10 Thank you.

11 (Applause)

12 MR. EARLY: Anyone else on this -- anyone on
13 this side? Oh, did you want to -- I think, since you've
14 already commented -- well, here, we can do a quick one
15 then, any who have already commented.

16 MR. ADER: I'm Harvey Ader, with the Public
17 Solar Power Coalition. One thing I want to incorporate
18 into the record here, this book: The Uninhabitable
19 Earth, Life After Warming, by David Wallace Wells, that
20 came out earlier this year, says basically that the rate
21 of increase of climate change in three reports, the
22 state, the federal, and the international that came out
23 this summer, it's a lot worse than we thought. That we
24 burned over the last 30 years, half of the fossil fuels
25 that we used in the history. And we've done nothing.

1 Okay, we should be looking at district heating
2 and cooling. It's going to get hotter. It's going to
3 get a lot hotter. The fires, you know, the floods, all
4 this, it's not going away. And we've got to look at
5 thermal and the efficiency of thermal is much higher
6 than PV.

7 Okay, we've got to look at them and we've got to
8 look at cost effectiveness, and we've got to look at the
9 equity issues. Every contract that goes out in this
10 state, for solar and renewables, has got to have equity
11 built in it for low- and middle-income people. And
12 that's got to be -- we ought to go to the Legislature
13 right now, when it's committees, and get this stuff
14 done, and jawbone it. And there's a lot of different
15 things we've got to look at.

16 Anyway, I've got my minute. But they had
17 several people from the gas company who had a dozen
18 folks. Anyway.

19 MR. EARLY: Thank you.

20 MR. DINALL: Hi. Ralph Dinall with Goodling's
21 Institute. Since about 2008, we've been working with
22 California on policies related to zero net energy
23 buildings. We track them nationally. We've seen, since
24 2012 -- sorry, 2010, a 700 percent growth rate in ZNE
25 buildings. Those buildings, the vast majority of them

1 are all-electric and they reduce energy use by 50 to 70
2 percent.

3 So, we have a successful program here. In fact,
4 California is a national leader. Half of the buildings
5 we track, there are about 560 buildings nationally, half
6 of them are actually in California.

7 So, what I'd like to encourage is building on
8 the success of that program. Don't leave ZNE by the
9 wayside. It is a decarbonization effort and I think we
10 could build on that success and establish programs and
11 policies building on the shoulders of that.

12 There are a lot of other programs running right
13 now that can be quickly switched to be, basically,
14 decarbonization programs. The Behind-The-Meter Water
15 Heating Savings Program, \$6 million rolling out right
16 now can be a heat pump/water heater program. So, build
17 on the success that we have and the programs we have
18 today to rapidly scale. Thanks.

19 MR. SWITALSKI: Thank you, sir. Jon Switalski,
20 Californian's for Balanced Energy Solutions. Thanks
21 again to the Commission and to the panel. I do just
22 want to take issue with a couple of the insinuations or
23 regional comparisons that were laid out here, as if the
24 southern part of the U.S. is way ahead and that we
25 should be envious of the work that they're doing on

1 electrification, or building decarbonization.

2 The reality of that is not true and I don't
3 think we should be laying out false comparisons. And
4 the fact that California is a leader in electrification
5 and in building decarbonization.

6 The electricity infrastructure exists in the
7 southern part of the U.S. because, as was stated
8 earlier, the infrastructure costs are cheaper.
9 Electricity costs are cheaper because of coal. That's
10 the reality. Not because of renewables, because of
11 coal. I mean, the NRDC is very effective, but not in
12 Alabama, not in Mississippi.

13 And so, we shouldn't be, in a serious debate,
14 setting up these false comparisons and leading people to
15 conclusions that are not borne out in fact.

16 Again, thanks to the Commission. And these
17 equity issues, these cost issues are very real. I would
18 encourage a workshop, multiple workshops specifically on
19 those. So, thank you.

20 MR. ARMSTRONG: Electric resistance as a growth
21 node is not efficient. But if it's powered by hydro, if
22 it's powered by any other renewable fuels, then
23 regardless of its efficiency, it's decarbonized. In the
24 south, if you're using a heat pump, even with a hundred
25 percent coal, and no grid in the United States is a

1 hundred percent fossil fuels. About as bad as it gets
2 is 92 percent. But even in the worst of all the states,
3 if you used heat pumps, you'd have less net carbon
4 emissions than if you were using the best gas.

5 So, electrification on any grid in the United
6 States is an improvement if it's efficient. And if it's
7 not efficient, then it has to be paired with more
8 renewables. And that would be, I think, the more clear
9 statement that I'd like to make.

10 MS. FASTILLA: My name is Anabella Fastilla and
11 I work for a nonprofit organization that represents
12 immigrants, vulnerable communities here in Los Angeles,
13 and as well in the Coachella Valley.

14 I just wanted to share I have been involved for
15 many years trying to protect public spaces, public
16 lands. And I just wanted to say that this is a very
17 complicated topic, I become involved in learning more
18 about energy. And I just wanted to thank the Commission
19 for bringing those forums. But it's not usual that
20 immigrants or the immigrant community is in these
21 spaces.

22 And what I wanted to share with you is that I
23 live in an area where we really care about the
24 environment. But sometimes it's, you know, horrible.
25 And the place where I live, I live in Compton. We

1 cannot see solar panels and all these technologies that
2 we have been discussing. It's not that we don't want
3 it, but we need to be realistic that it's really like a
4 challenge.

5 And as I am discussing -- as I am learning and I
6 am learning from all of you guys, I just wanted to let
7 you know that we are looking into the possibility of
8 having the gas company, the electricity, and as well the
9 different sectors to really work in collaboration so you
10 can get the best solutions for all of us, and take into
11 account the workers, but as well the immigrant
12 communities, and the most vulnerable communities. But
13 sometimes we don't have that spaces where we can express
14 and voice what we want. And appreciate, as well, the
15 fact that the Commission is looking to having those
16 spaces in translation, where we can fully understand and
17 we can fully participate.

18 MR. EARLY: Thank you.

19 (Applause)

20 MR. DE LA CRUZ: Good afternoon. My name is
21 Carlo De La Cruz and I'm with the Sierra Club. I want
22 to thank both Commissions for traveling down to Southern
23 California and visiting us, where a majority of the
24 population of the State lives. That's not a bias. I've
25 spent ten years in the Bay Area, as a resident, and I

1 love it up there as well.

2 But I think the reason why Southern California
3 is so important for these issues is because not only is
4 the innovation happening here, as we can see in this
5 space, but also the air quality issues are what are
6 paramount.

7 I think it's really interesting. I
8 traditionally work on air quality issues and
9 transportation with the Sierra Club and, really, it's
10 really fascinating and a learning experience to come
11 here because the conversation is valuable and necessary
12 and, yet, I don't hear the words "zero emission" enough.
13 And I think that's a really important marker because we
14 really need to not only understand the climate impacts,
15 but the local health impacts of local air quality
16 concerns.

17 And as we've heard from the previous speakers,
18 it is not just about carbon as a lifecycle, but it is
19 also about the end use climate impacts. And I really
20 want to encourage the Commission that as we think about
21 cost and choice that we make sure that it is a level
22 playing field for all-electrification options,
23 especially those that allow for greater indoor quality
24 in terms of our air contaminants.

25 And we need to prioritize technologies that

1 truly bring us zero emission and bring us true air
2 quality benefits indoor and out. Thank you.

3 (Applause)

4 MR. SEVERANCE: Thank you for the presentation
5 today. I just wanted to comment, briefly, that one idea
6 that I've seen that I find inspirational, Holmes Homes
7 presented at RMI this last fall, has to do with
8 inclusive financing. And pilot programs in the south
9 have achieved 40 percent acceptance rates in rental
10 properties and LMI markets. And the basic offer is that
11 the utility's getting green dollars, green bond dollars
12 and walking in with a proposition that they're going to
13 quality the property to go cash positive after about
14 \$10,000 to \$12,000 worth of improvements. And they're
15 not requiring the resident to obtain a loan or sign for
16 anything that would expose them to risk.

17 And the acceptance level goes through the roof
18 when we eliminate risk to the residence.

19 I would just really encourage the Commissioners
20 to take a hard look at that model and look for ways to
21 make that work within the structure and infrastructure
22 challenges that the IOUs have relative to on-tariff
23 billing practices, et cetera.

24 If there's a way to resolve those differences,
25 we would save billions of dollars a year and create

1 rapid transformation, create an incentive for rapid
2 transformation that would not require rebates. It would
3 eliminate the need for rebates and it would pay for
4 itself. It's a win/win for all parties.

5 So, if folks would please be directed to that
6 model and take a close look at it, and look for ways to
7 resolve the differences, thank you.

8 Oh, my name is Bruce Severance, sorry. Yeah.

9 MR. EARLY: Okay, Tiffany, do we have any
10 questions from WebEx who'd like to -- if we have time?

11 MS. MATEO: This question is from Nick Dear, on
12 WebEx. As a building energy professional, one of the
13 barriers we encounter is builders want to build mid- and
14 high-rise all-electric apartment buildings, but are
15 prevented by building code due to nonres, Title 24
16 limitations.

17 Will this impact Build?

18 MS. BORGESON: Hello. Yes, it will impact
19 Build. As Sean has demonstrated, you can get around
20 some of these things but it, right now, is not easy,
21 especially with the modeling software to do multi-family
22 buildings. And this is something the CEC is acutely
23 aware of. I know that they're working on it. So,
24 hopefully, that will be ready in time for the launch of
25 the Build program.

1 MR. ARMSTRONG: Yeah, I want to add to that,
2 that it's heartbreaking to have clients want to do the
3 right thing and then have software, in the State of
4 California where there's Silicon Valley, to have
5 software not work would be the impediment to saving the
6 world. It's just it boggles my mind. And so, if
7 there's an extra million dollars to give to Neal Krus
8 of Big Ladder, which is the software development company
9 for the Energy Commission, we don't have VRFs. We can't
10 do central heat pump water heaters. These are like main
11 technologies that happen in the big cities for all the
12 mid- and high-rises. So, yeah, Nick, I know who you
13 are. You're so on, right on there. Like we need some
14 help with a couple of small/big software issues.

15 I guess the question is are you guys going to
16 put any money towards that, solving the software? It's
17 true.

18 (Laughter)

19 MS. MATEO: The next question from David Kay, on
20 WebEx. SB 1477 funding starts July 1st this year, which
21 is in less than three months. When will the first
22 project using these funds break ground? Who will be
23 reporting back to the CEC once construction starts? And
24 how will the CEC regulate costs, homes treated and
25 carbon savings?

1 MR. COX: TBD. Sorry, we're working as fast as
2 we can on it. I mean, Commissioner, do you want to
3 offer any -- put out any timeline of, you know,
4 anything?

5 PRESIDENT PICKER: I'm sorry, I hate to say it,
6 but the only timeline I know is that the Governor's 60-
7 day plan is going out Friday. I have about 40 pages
8 edit this afternoon, after I get out of this meeting,
9 and two conference calls.

10 COMMISSIONER MCALLISTER: So, this is
11 Commissioner McAllister. So, there is an active two-
12 agency, you know, collaboration going on to try to
13 figure out the deals of this -- the rules, and sort of
14 the overall deal with the implementation of this program
15 that is actively happening. And part of the goal of
16 this workshop is to, you know, get the questions out
17 there and encourage people to submit comments such that
18 it helps us get to the point that you're describing. So
19 that we actually have a program that's very clear,
20 that's, you know, implementable and that the marketplace
21 can run with. So, if you have ideas about how you
22 believe the CPUC and the Energy Commission, you know,
23 ought to craft this program then, by all means, right up
24 on the screen here are the links to submit comments
25 under both of our dockets.

1 MR. COX: Yeah, I just want to underscore I am
2 part of that collaboration and I just wanted to
3 underscore that we are working actively on it. I'm
4 pretty much spending my entire, you know, time on it at
5 work. So, you know, this is a new program, and there's
6 a lot of complicated things. And we had something like
7 30 comments come in from different parties of, you know,
8 10 or more pages each. So, you know, these things take
9 a while to sort of grind through.

10 But we're actively working on it, but we're not
11 ready to, you know, promise any dates right now.

12 COMMISSIONER MCALLISTER: While I'm at it, I
13 actually wanted to respond to some of the requests for
14 bilingual treatment. (Speaking Spanish)

15 (Applause)

16 MR. SCHRAEDER: Hi. My name is Andy Schrader.
17 I work for Los Angeles City Councilmember Paul Koretz,
18 who represents 250,000 people here in Los Angeles.
19 Thank you to both Commissions for having this hearing
20 here today, very important issues.

21 If you haven't evacuated your two-year-old and
22 your four-year-old from one of the fires, then you don't
23 really know climate change up close. I had to evacuate
24 mine from the Woolsey fire back in December -- or, back
25 in November. And so, we know what it's like.

1 We became really interested in methane leaks
2 back in 2015, when the Journal of Atmospheric Chemistry
3 and Physics came out with a study saying that the
4 methane leaks in Los Angeles were 60 -- in the Basin
5 were 61 percent higher than expected.

6 So, number one, we would love to see some of the
7 decarbonization occur within the pipeline system and
8 check out what is causing these leaks.

9 Number two, when the SoCalGas, Aliso Canyon
10 blowout occurred, we found out just how dangerous the
11 methane gas can be.

12 So, we're definitely in favor of more incentives
13 for full electrification as soon as possible. But also,
14 we want to encourage job training for workers, any
15 workers that are displaced or affected. It's very
16 important to take care of this workforce who were, until
17 recently, really heroes for keeping the lights on, and
18 the heaters on, and all of that, so we must take care
19 them as well. Thank you.

20 (Applause)

21 MR. EARLY: Okay, so is there any additional
22 public comment? Okay.

23 MR. SINGLETON: Hi, everybody, Kito Singleton,
24 President UWUA Local 522, SoCalGas. We're the bad guys.

25 I'd like to thank everybody for showing up. And

1 I'd especially like to thank the councilman for bringing
2 up something. I represent a lot of demographics. I
3 live in Compton. I'm less than a mile from the 710
4 Freeway. Less than a mile from the Alameda Corridor.
5 So, I am in the middle of one of the worst areas for
6 pollution. I'm a minority. I'm in a low-income
7 neighborhood, so the environmental disproportionately
8 affects the low-income.

9 My concern today is that I've heard all kinds of
10 programs and incentives for the supply side, for the
11 builders. I heard mentioned that we need to educate the
12 homeowners on programs. We know about the programs, but
13 when you're getting \$10,000 back on solar that's going
14 to cost you 20 grand, and you're hoping your kid gets a
15 scholarship, or your kid is turning down schools because
16 they can't afford to go to college, then a \$10,000
17 rebate isn't anything. I'm going to keep it clean.

18 So, get rid of the rebates. You need to pay for
19 it flat out. And we're not talking about just low-
20 income. It's great, the money for the low-income.
21 Going all-electric, cleaning the environment. Hey, I'm
22 a Green New Deal supporter. Love Bernie, love the ALC.
23 But at the same time, you've got to consider the middle
24 class that's struggling to get by nowadays. They've got
25 to make decisions. And believe me, going all-electric,

1 paying all that money out of pocket just to have a
2 higher electric bill is not on the table for somebody
3 who's trying to figure out how their going to pay their
4 house note, keep their insurance, put their kids in
5 college.

6 Also, you know, again, what are you going to do
7 with the workers? You know, we're union. We make
8 pretty decent living. You're talking about eliminating
9 our livelihood and I haven't heard, until the
10 councilman, anybody mention training. Nobody's
11 mentioning numbers. You know, you're talking about
12 we're going to create good jobs. What are you paying an
13 hour? What are your benefits? You know, are you
14 offering a pension? Some of us are lucky to still have
15 a pension, you know. What are your 401K plans? Give us
16 some numbers.

17 Because I can tell you right now, the people I
18 represent, they're not going for it. What they don't
19 know is that you guys are taking away options. Because
20 everybody I talk to about this, the first thing out of
21 their mouth is they can't do this. And I have to
22 educate them, it's already being done.

23 (Applause)

24 MR. EARLY: Thank you. Any --

25 MS. GANATA: Hi. My name's Jennifer Ganata,

1 from Communities for a Better Environment. I think I
2 wrote a comment earlier.

3 So, one of the things I also did want to bring
4 up is the equity piece, again, because I think a lot of
5 folks in our communities, CBs, out in east Oakland,
6 Richmond. I'm down here in L.A. and Southeast L.A. I
7 work in Wilmington. So, a lot of the communities that
8 you just spoke about.

9 And I just want for the Commissioners to know
10 that like we do need to actually prioritize the low-
11 income communities. I'm hearing a lot of things about
12 building. And while I think that's great, but we have
13 to think about how does that also -- how do we make sure
14 we don't displace people? How do we make sure that
15 communities get to still be the communities that they
16 are and benefit from a lot of this new, different
17 technology?

18 And that's one of those things where I think for
19 a lot of the, maybe low-income communities and
20 communities of color, the environmental justice
21 community is basically the front-line community, is how
22 do you get them at the table? How do you hear from
23 them? Because I think when you benefit those
24 communities, you're going to benefit everybody. It's
25 not a trickle-down situation, right? Like this is a

1 situation where we have to think about that we're making
2 decisions for the future. How do we ensure that people
3 are being heard when we're doing these different
4 programs?

5 (Applause)

6 MR. EARLY: Thank you. Any additional public
7 comment.

8 Yeah, Sean?

9 MR. ARMSTRONG: I'd like to add. So, I don't
10 usually put this in my presentation because it's kind of
11 intense, but my mother-in-law died in the Santa Rosa
12 fires. And so, all the conversations that come forward
13 around who suffers the most, like is it going to be the
14 workers, who is it that needs the most, there are some
15 people who are dead. Like a couple of hundred of them
16 from climate change.

17 Going to the wake, holding my wife while she
18 cried, talking with the grandchildren that now don't
19 have a grandma. You know, if government isn't here to
20 save us from a wildfire that's going to kill us, I'm not
21 sure what the government's here for. Like if it isn't
22 life and death oriented -- thank you for nodding,
23 because you can see like this is really intense when
24 someone dies from climate change.

25 So, I hope you guys work with all due speed.

1 Because on the Maslow's Hierarchy of Needs, not dying in
2 a fire is on the freaking top.

3 MR. EARLY: Thank you. Any additional public
4 comment?

5 Any closing remarks from Commissioners.

6 COMMISSIONER SHIROMA: I just wanted to share
7 that President Picker appointed me to the Low-Income
8 Oversight Board, which advises the Commission on the
9 programs that are available for discounts, and what have
10 you, for our low-income communities. And our next
11 meeting is going to be in Compton on Monday, June 24th.
12 And so, we'll be sure to get the information there for
13 folks who want to join us for that discussion and
14 presentation. All right, thanks.

15 MR. EARLY: Okay. Well, thanks everyone.
16 Again, instructions are posted on how to comment. And
17 we're asking on the Energy Commission side for stuff to
18 be submitted to the docket by April 22nd.

19 So, thank you all for your participation very
20 much and this meeting is adjourned.

21 (Thereupon, the Workshop was adjourned at
22 1:47 p.m.)

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of September, 2019.



MARTHA L. NELSON,
CERT**367

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of May, 2019.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520