

DOCKETED

Docket Number:	19-IEPR-10
Project Title:	Climate Adaptation
TN #:	229831
Document Title:	Transcript of 8-8-2019 IEPR Commissioner Workshop on Climate Adaptation in California's Energy Sector
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/24/2019 10:46:44 AM
Docketed Date:	9/24/2019

CALIFORNIA ENERGY COMMISSION

In the Matter of:) Docket No. 19-IEPR-10
)
2019 Integrated Energy Policy) RE: Climate adaptation
Report) in California's Energy
) Sector
)
_____)

IEPR COMMISSIONER WORKSHOP ON
CLIMATE ADAPTATION IN CALIFORNIA'S ENERGY SECTOR

WARREN-ALQUIST STATE ENERGY BUILDING
ART ROSENFELD HEARING ROOM, FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, AUGUST 8, 2019

10:00 A.M.

Reported by:

Gigi Lastra

APPEARANCES

CALIFORNIA ENERGY COMMISSION

Janea A. Scott, Vice Chair, California Energy Commission

Karen Douglas, Commissioner, California Energy Commission

J. Andrew McAllister, Commissioner, California Energy
Commission

Patty Monahan, Commissioner, California Energy Commission

CALIFORNIA ENERGY COMMISSION STAFF

Heather Raitt, Assistant Executive Director, Policy
Development

Harrison Reynolds, Executive Administrative Assistant

CALIFORNIA PUBLIC UTILITIES COMMISSION

Liane J. Randolph, Commissioner, California Public
Utilities Commission

MONDERATORS

David Erne, California Energy Commission

Guido Franco, California Energy Commission

PANEL 1

Nuin-Tara Key, Governor's Office of Planning and Research

Sylvia Chi, Asian Pacific Environmental Network

Jasneet Sharma, San Mateo County Office of Sustainability

Vipul Gore, Gridscape Solutions

Alfredo A. Martinez-Morales, Southern California Research
Initiative for Solar Energy, University of California,
Riverside

Jess Maxcy, California Manufactured Housing Institute

APPEARANCES

PANEL 2

David Saah, Spatial Informatics Group

Dorian Fougères, California Tahoe Conservancy

Brian D'Agostino, Sand Diego Gas and Electric

Konstantine Georgakakos, Hydrologic Research Center

PUBLIC COMMENT

Jennifer Pezda, SoCalGas

Lauren Cullum, Sierra Club California

Julia Levin

Tom Phillips (via WebEx)

Claire Warshaw (via WebEx)

AGENDA

	<u>Page</u>
Introduction	5
Heather Raitt	
Opening Comments	6
Vice Chair, Janea A. Scott	
Commissioner, Liane J. Randolph	
Commissioner, Patty Monahan	
Commissioner, J. Andrew McAllister	
Commissioner, Karen Douglas	
Panel 1: Fostering Community Resilience through Energy Sector Innovation	9
Panel 2: Collaborative, Actionable Research to Foster Resilient Planning and Management	74
Public Comment	138
Closing Comments	150
Adjourn	150

P R O C E E D I N G S

10:03 A.M.

SACRAMENTO, CALIFORNIA, THURSDAY, AUGUST 8, 2019

MS. RAITT: Welcome to the 2019 IEPR Commissioner Workshop on Climate Adaptation in California's Energy Sector. I'm Heather Raitt, Assistant Executive Director for Policy Development and the Program Director for the IEPR.

I'll go over some housekeeping items. The restrooms are just out the door. And if there's an emergency and we need to exit, please follow Staff through the doors out the hallway and we'll go across the street to the Roosevelt Park.

Please be aware that our workshop today is being broadcast through our WebEx conferencing system and it's being recorded. And so we will post that audio recording and a written transcript in about a month.

And there will be an opportunity for public comments at the end of the day, limited to three minutes per person. And if you'd like to make a comment, go ahead and fill out a blue card and you can give it to me.

1 And if you're on WebEx and would like to
2 make comments, go ahead and use your raise-your-
3 hand feature to let our coordinator know that you
4 would like to comment.

5 And then just a reminder, I want to thank
6 our presenters for being here, our participants.
7 And we do have a very full agenda, so if you
8 could be mindful of your times. And Harrison
9 will give you a little reminder of when you have
10 two minutes and when time's up.

11 And materials for this meeting are at the
12 entrance to the hearing room and posted on our
13 website. And written comments are welcome and
14 they are due on August 22nd.

15 And then just one last reminder. When
16 you're speaking, if you could please just remind
17 us who you are for the folks on WebEx because
18 they can't see, and it's easier to follow along
19 if you just say your name before you start
20 talking.

21 And that's it. I'll turn it over to the
22 Commissioners. Thank you.

23 VICE CHAIR SCOTT: All right. Thank you
24 very much, Heather.

25 Good morning everybody. We do have a

1 very chockful agenda here on an incredibly
2 important topic, as you all know, making sure
3 that we are prepared for climate adaptation
4 within our energy sector and continuing to think
5 through what issues we need to be mindful of.
6 The types of solutions and technologies that we
7 will need to put in place as we work in this
8 globally-warm world is just -- the importance of
9 that discussion can't be understated, so I'm
10 looking forward to hearing from everyone today.

11 I am so glad to be joined by my fellow
12 Commissioner, Patty Monahan, from the Energy
13 Commission. We're expecting a couple other
14 Energy Commissioners.

15 And also, from the Public Utilities
16 Commission, Commissioner Randolph, we're so glad
17 to have you here. Thanks for being here.

18 Would you all like to make any opening
19 remarks?

20 COMMISSIONER RANDOLPH: I'll just be
21 really brief. Thank you very much for convening
22 this and inviting me to participate. You know,
23 the analysis and recommendations in the IEPR feed
24 into our processes and so it's really important
25 for us to participate in these robust discussions

1 and think about the data and the issues that we
2 need to consider as we deal with climate impacts
3 in real time and as we deal with planning for
4 climate impacts going forward.

5 So thanks to all the panelists for
6 participating and I look forward to the
7 discussion.

8 COMMISSIONER MONAHAN: Well, I want to
9 say, first, kudos to Staff and to Vice Chair
10 Scott for putting together a great agenda, really
11 compelling topics. And I think, you know, as we
12 move to electrify more and more of our system,
13 including buildings and transportation, and we
14 face an increasingly higher risk of wildfires, we
15 need to really think through, how do we make sure
16 we have resilient systems so that people who are
17 driving electric cars can get out of dangerous
18 situations and know that there's a fueling
19 infrastructure available for them.

20 So these topics are just really critical
21 to the future of California to make sure, as
22 we're designing clean energy solutions, they are
23 resilient against the changing climate that we're
24 facing.

25 VICE CHAIR SCOTT: All right. So with

1 that, I will turn it over to David to kick off
2 our first panel.

3 MR. ERNE: Good morning, Vice Chair and
4 Commissioners, and good morning, folks in the
5 room and online. I want to invite you to listen
6 to a wonderful panel today that's going to be
7 talking about fostering resiliency in
8 communities.

9 We have diverse perspectives on the
10 panel, but I guess I would generically say that
11 we have like two different focus areas. So the
12 first three panelists will be giving much more of
13 a community perspectives, the challenges
14 associated with communities, particularly those
15 who are most vulnerable to grid outages. And
16 then the second three will be talking about
17 emerging technology solutions that can be applied
18 to support resiliency in community. So that's
19 kind of how the panel shapes up.

20 As you mentioned in your opening remarks,
21 resiliency is a challenge. Technology is
22 developing to make clean-energy options. I will
23 say, back in 2014, the EPIC Program funded seven
24 projects focused on developing clean energy
25 microgrids for critical facilities, such as

1 hospitals, fire stations, emergency shelters, as
2 well as a campus and a community.

3 As a result of that research, with all of
4 it just wrapped up earlier this year, at the time
5 when it was -- when that research started the
6 technologies were expensive, solar, and
7 particularly storage. Controllers were emerging
8 but they were not mature at that point. And so
9 there's a lot of learning that came along with
10 that process, including communities and how to
11 permit those, and utilities and how to do the
12 interconnection.

13 Over the course of that research, I think
14 that with the EPIC Program, we've been able to
15 help advance the controllers to get better
16 integration of the technologies to make that more
17 possible. We had some lessons learned on
18 permitting and interconnections, although those
19 are still areas that need some additional work.
20 And, of course, solar and storage are coming down
21 in price. So those technologies are now becoming
22 much more -- those options are becoming much more
23 available for commercial application.

24 And, as such, we had a solicitation last
25 year to fund nine new microgrids, which their

1 sole intent is to demonstrate their commercial
2 replicability, so I think we're moving in that
3 direction. Microgrids are not the end all-be all
4 solution. In some cases, they're great, some
5 cases, they're not. There are still other
6 options we need to evaluate and assess.

7 And so I think what we're going to hear
8 from the panel today is more of that community
9 perspective, particularly how we can address the
10 challenges in vulnerable communities, providing
11 critical facilities with additional resilience,
12 as well as overcoming the obstacle of what is
13 currently the situation in this resilience, which
14 is firing up diesel generators, not really a good
15 option for critical facilities, not really a good
16 option when you have bad air quality from
17 wildfires. So are there clean energy
18 alternatives that can help support that? So
19 that's kind of what the panel is about today.

20 So I'm going to go through and introduce
21 each of the panelists and let each of them go
22 individually for about five minutes and they'll
23 give their perspectives. And we'll just go in
24 sequence around from my right and your left, all
25 the way around the table. And then we'll open it

1 up to comments after that, and questions. So let
2 me quickly introduce each of the panelists.

3 So the first panelist is Nuin-Tara Key.
4 She's the Climate Resilience Program Director for
5 the Governor's Office of Planning and Research.
6 Next to her is Sylvia Chi, who is the Policy
7 Director for the Asian Pacific Environmental
8 Network. Next to her is Jasneet Sharma, who is
9 from the San Mateo County Office of
10 Sustainability. Just joining us right now is
11 Vipul Gore, who is the President and CEO of
12 Gridscape Solutions. Following him is Alfredo
13 Martinez-Morales, who is the Managing Director
14 and Research Faculty at UC Irvine. And following
15 him is Jess Maxcy, President of the California
16 Manufactured Housing Institute.

17 So those will be our speakers. For those
18 who are interested the bios are available in the
19 materials that came along with the workshop.

20 I'll turn it to Nuin-Tara.

21 MS. KEY: All right. Well, thank you.
22 As was mentioned, I'm Nuin-Tara Key. I'm in the
23 Governor's Office of Planning and Research. And
24 I want to thank the Vice Chair and the
25 Commissioners here for inviting me to join this

1 workshop. It's great to be a part of this
2 conversation today.

3 So I'm going to very briefly highlight
4 how we work to support local climate adaptation
5 and resiliency efforts through our adaptation
6 program at OPR. I'm also going to briefly touch
7 on some of the key observations that we've been
8 seeing coming through some of the recovery work
9 that we've been doing and supporting in Butte
10 County as a follow up to the Campfire last year.

11 So just a quick bit of context and
12 background. At OPR, we have our Adaptation and
13 Resiliency Program that was established through
14 Senate Bill 246. And our charge through that
15 enabling legislation is to better align state and
16 local efforts on climate adaptation and
17 resilience, but really with an eye towards
18 supporting local implementation.

19 There are a couple key components to our
20 program per that enabling legislation. The first
21 is the creation of an adaptation clearinghouse
22 which is intended to support a community of
23 practice across the state, pulling together key
24 resources, guidance, tools, case studies from
25 around the state on how local communities and

1 state agencies are really incorporating climate
2 adaptation and resilience into their work, and
3 implementation on the ground as well.

4 And I do want to say, one of the goals of
5 the clearinghouse is also to highlight key state
6 resources that are available to really help
7 support community practice and decision making.
8 And I just want to acknowledge the tremendous
9 value that Cal-Adapt provides, both in the
10 utility sector, but also for local governments as
11 well. And we are very lucky in this state to be
12 able to have that type of resource and investment
13 through the Energy Commission to support a
14 community of practice. We're very lucky here.

15 So the other component of our Adaptation
16 Program is a Technical Advisory Council. And the
17 Council brings together a very diverse set of
18 stakeholders to help guide OPR in the work that
19 we do around adaptation and resilience and
20 supporting local community implementation.

21 When we convened our Advisory Council in
22 2017 for the first time, one of the first key
23 things that we were advised through our council
24 that we needed to do was set a standard language
25 and understanding of what do we mean by a

1 resilient California? What is it we are working
2 towards? And how do we ensure that we are being
3 guided by consistent principles to make sure that
4 we're getting to that outcome in an equitable and
5 resilient way?

6 And I mention that because I think the
7 way we think about climate resilience at OPR is
8 really a broad view, thinking about our need to
9 invest in built infrastructure, but also our
10 natural systems in communities, as well, and
11 making sure our communities and individuals
12 around the state have the capacity to respond to
13 climate impacts and work towards a resilient
14 future. So we take a very broad kind of systems
15 view and recognizing the importance of working on
16 cross sectors.

17 We also, through this process, created a
18 definition for vulnerable communities. There was
19 a lot of discussion around vulnerable communities
20 but we didn't have a definition for what that
21 means in an adaptation context. And I'm happy to
22 go into some of the details of that definition
23 and how we think about it, but there are three
24 really important pieces that I just want to
25 highlight here that are central to that

1 definition.

2 One is understanding climate risk and
3 recognizing that that risk shows up in
4 communities very differently. And individuals
5 around the state have very different capacity to
6 be able to respond to climate impacts and, also,
7 then build toward more resilient outcomes. And
8 so those are three components to how we think
9 about climate vulnerability and vulnerable
10 communities.

11 So that's kind of a quick overview of our
12 adaptation program and some of that foundational
13 kind of visioning work and some of the
14 definitional pieces and how we're thinking about
15 climate resilience.

16 Now, transitioning very quickly to some
17 of the work that we've been doing in Butte
18 County. So OPR is the lead agency for the
19 Community Planning and Capacity Building Recovery
20 Support Function. That's a lot of words all in a
21 row and can all be shortened to a very long set
22 of acronyms. But our role is really to work with
23 Cal OES on the long-term recovery process in
24 Butte County now, but then, again, thinking long
25 term.

1 And so, you know, I think we'll have
2 time. I can dive in and give some more specific
3 examples during the discussion portion, but some
4 of the key findings or observations we've seen in
5 kind of the energy space in recovery and some of
6 the key challenges have been around needing to
7 align infrastructure investments, both in the
8 energy sector and systems but then also with
9 other utilities, telecoms and other
10 infrastructures. And there's some interesting
11 dynamics going on in Butte right now of kind of
12 some challenges and specifically around
13 communication and coordination. I'm happy to
14 explain that.

15 And then the last two that I'll mention
16 here very quickly are kind of need for education
17 and organizing structures to be able to bring
18 communities together to understand what their
19 long-term goals are and figure out near-term
20 disaster response and recovery efforts are making
21 sure they're building towards those long-term
22 goals and outcomes.

23 And we've heard consistently from
24 communities that, you know, in absence of a space
25 and an organizing structure to actually have

1 those conversations, we're seeing a lot of kind
2 of splintering of decisions and infrastructure
3 investments, response and investments being made
4 that maybe aren't working towards a cohesive
5 goal. And so figuring out how we create that
6 space for, you know, those conversations and
7 long-term goal setting is really important,
8 recognizing the many challenges that David raised
9 and learnings from all the work that you have
10 been doing here.

11 The other is around capacity building and
12 the need to really provide education and
13 understanding of the importance of resilient
14 energy systems in long-term community resilience.

15 So there's a lot more detail I can go
16 into but I'll stop. My time is overdue, so I'll
17 stop and pass it on.

18 MR. ERNE: Sylvia?

19 MS. CHI: Hi. My name is Sylvia Chi.
20 I'm with Asian Pacific Environmental Network,
21 APEN. We're an environmental justice
22 organization and we organize and work with low-
23 income Asian-American immigrant and refugee
24 communities across the state, primarily in
25 Richmond and Oakland/China Town. Those are two

1 like membership bases. And we work on state
2 policy and implementation at the local level, as
3 well as research.

4 And one of our research products that I
5 wanted to discuss today is our recent report
6 about resilience, it's called Mapping Resilience,
7 and that looks at the existing adaptation
8 frameworks, well, mapping frameworks that address
9 like climate adaptation and resilience. And this
10 slide is an illustration of the complexity that
11 is involved in those frameworks.

12 I won't go into all of our key findings,
13 for time right now, but I just wanted to
14 highlight that there are many different
15 adaptation frameworks that already exist. The
16 CEC's Social Vulnerability to Climate Change
17 framework was one of the frameworks that we
18 highlighted as one of the strongest examples of a
19 mapping framework in this area. But we found
20 that it lacks a user-friendly interface and that,
21 although it's developed by a state entity, it's
22 not in broad use for the deployment and
23 prioritization of clean energy investments, which
24 we would like to see.

25 So, you know, our main takeaway from this

1 report is that we need a comprehensive statewide
2 indicator state and assessment framework and
3 easy-to-use platform that connects all the social
4 vulnerability indicators with climate impacts.
5 In our community, those climate impacts include
6 an increased energy burden, which means that
7 there's less capacity to adapt within our
8 communities.

9 You know, environmental justice has
10 historically been concerned with how polluting
11 facilities are frequently sited in or near low-
12 income communities of color. And in the climate
13 adaptation resilience context we know that the
14 climate impacts, such as extreme weather, will
15 become threat multipliers, especially in the
16 health context, for these over-burdened
17 communities. So what we're concerned about in
18 particular is if like toxic waste sites,
19 refineries or other facilities are flooded or
20 damaged in these extreme events, that could
21 result in spills, hazardous substance releases or
22 chemical explosions, which is something our
23 communities have experience within Richmond.

24 And for context, for those who don't know
25 about Richmond, that's a city in Contra Costa

1 County. There's a very large Laotian-American
2 community there, one of the largest in the
3 country. Many are refugees that were resettled
4 there starting in the late '70s. It's a working-
5 class community with high rates of linguistic
6 isolation. And it's also home to the Chevron
7 refinery and a lot of other heavy industry. And
8 in the late '90s there was a major explosion at
9 the refinery.

10 Can we advance to the next slide? Yeah.

11 There's a picture there of the explosion.
12 And after that explosion the emergency
13 information was disseminated only in English, so
14 many of our members were not told how to respond.
15 They didn't know that they had to shelter in
16 place and they experienced a lot of acute health
17 effects, like nausea and vomiting.

18 So the Laotian Organizing Project was the
19 project of APEN, whereas it brought community
20 leaders together to organize and advocate for a
21 multilingual emergency warning system so the
22 community members can now receive emergency
23 information in Lao, Khmu, Mien or Hmong. So we
24 think this is a good illustration of the
25 important of community engagement. The

1 community, in this instance, knew what they
2 needed, which was warnings in language, but no
3 one asked them.

4 So in the context of energy innovation,
5 you know, we're looking at community resiliency
6 hubs as a solution. And that means using
7 microgrids and solar and storage at community
8 sites, like schools or health centers. That
9 would have the benefit of providing disaster
10 relief and shelter. It would also support
11 community cohesion and trust and provide a space
12 for education and organizing. It could displace
13 PM emissions from traditional diesel backup
14 generators and also serve as a cooling center in
15 times of extreme heat. And it also has the
16 benefit of saving money on energy for those, the
17 sites that are hosting it, so that those
18 community organizations can remain rooted in the
19 community and maintain the social fabric.

20 So those are some of the issues and
21 solutions that APEN is working on and be happy to
22 discuss further.

23 MS. SHARMA: Sylvia, I've read that
24 report and I would highly recommend everyone
25 reading the Mapping Resilience Report.

1 Thank you, Commissioners, for the
2 opportunity to be here today. I'm Jasneet Sharma
3 with the San Mateo County Office of
4 Sustainability. And I'd like to specifically
5 speak to three elements that we have found
6 critical to support community resilience in
7 general, just based on the work we do in the
8 county, both with the county and the 20 cities in
9 the county, and also working with our communities
10 to prepare and adapt for a changing climate.
11 These elements that I'm going to be sharing we
12 believe would be easily applicable or replicable
13 to the energy sector as well.

14 So first is stakeholder and community
15 engagement in developing energy programs and kind
16 of the innovation sector. Second is the need to
17 go beyond just technological solutions and I'll
18 point to an example for that. And the third is
19 this need to build community capacity and empower
20 community-driven adaptation planning, some of
21 what Sylvia was saying where no one asked them,
22 so kind of really adding some pieces there.

23 So engaging key stakeholders and
24 community-based organizations we found, in a
25 really robust process, is a core element of any

1 impactful program or investment strategy that you
2 might have. We're currently trying to support
3 our own local CCA (indiscernible) clean energy,
4 identify some site or, actually, some locations
5 for some solar microgrids in the county or on
6 critical facilities across the county. This is,
7 somehow, proving way more challenging than we
8 thought we would encounter.

9 An example being, firstly, it's difficult
10 to get a list of critical facilities. Even as a
11 county agency, we're having challenges getting a
12 list of critical facilities from Red Cross
13 because they don't want to share that information
14 with us.

15 Secondly, the model for how CEC has
16 engaged key stakeholders and local communities
17 and some trusted community-based organizations in
18 identifying these community preparedness
19 strategies and, in this case, the siting
20 microgrids on locations or identifying the
21 locations, that model just does not exist right
22 now.

23 So we are actively reaching out to the
24 CEC and asking them to kind of bring stakeholders
25 together, bring the trusted CBOs to the table, as

1 well, and really empower those existing community
2 networks to help us identify the right locations.
3 So it's going beyond just providing like in-the-
4 moment service to that critical facility but
5 really building community resilience.

6

7 We're also still trying to understand
8 like what neighborhood or community resilience
9 looks like, so a lot of these efforts are very
10 site specific. So I think we do need help
11 understanding, like what does it look like at a
12 larger or a neighborhood scale as well?

13 I mentioned the need to go beyond just
14 technological solutions. The city and county are
15 already working on a number of REACH goals and
16 policies to support infrastructure for electric
17 vehicles and solar deployment. While we found
18 these efforts to be extremely valuable, and much
19 is needed, especially in these traditionally
20 under-represented communities, we found that
21 these programs often do not go far enough in
22 supporting community resilience.

23 An example of that being we've heard from
24 nonprofits that are seeking to bring solar
25 technologies to households that typically may not

1 have access to them. In that process, they find
2 out that they can't do the installation because
3 the roof needs an upgrade first. And the
4 household often does not have that capital or the
5 up-front capital to invest in those home
6 upgrades, as well, so the process really does not
7 go anywhere beyond that.

8 So the key thing I'd like to point out is
9 that the investment pathways and the funding
10 models that you're using moving forward, they
11 really need to evolve to not just remove these
12 barriers but, also, you need to apply a more
13 systems-thinking approach, especially for the
14 socially vulnerable communities, to promote their
15 quality of life, health and well-being as well.

16 The last one I'd like to call out is this
17 community-driven resilience planning framework is
18 that is critical to building and sustaining
19 community resilience within any community or
20 neighborhood. Community-driven resilience
21 planning is essentially defined as a process by
22 which the residents of that vulnerable community
23 or that population define for themselves what
24 their challenges are and what strategies they
25 might need to address those assets and threats

1 they're finding out. The underlying premise is
2 that this kind of community-driven planning is
3 simple but it's, also, the solutions are
4 effective as well.

5 We're finding that, again, this is way
6 more challenging than we thought because it
7 requires a shift in how governance happens as
8 well. So the county is currently piloting two
9 adaptation efforts within our communities in San
10 Mateo County where we're actually building the
11 capacity of two communities for them to actually
12 go and identify their own climate challenges.
13 And they are going to provide input into the
14 decision-making process within their communities
15 on what their risks are and what strategies they
16 might want to put forward as well.

17 We're going to be sharing the lessons
18 from this with our climate collaborative, our
19 Climate Ready SMC collaborative that we have, of
20 which both PG&E and PCE or CCA are partners, as
21 well, so we're hoping we can share this framework
22 with our energy partners at the same time.

23 So, again, thank you once again for the
24 opportunity to share out.

25 MR. ERNE: Thank you.

1 Vipul?

2 MR. GORE: Good morning. My name is
3 Vipul Gore. I am the President and CEO of
4 Gridscape Solutions.

5 First of all, I'm extremely grateful to
6 be here today, and not only for this opportunity
7 to present the wonderful projects we have done
8 with the help of CEC funding, but also talk about
9 the results of one of the projects that we've
10 recently completed and then, you know, moving on
11 to the next one.

12 So, first, you know, maybe a minute on
13 the company itself. We, Gridscape Solutions, is
14 a smart energy solutions provider. We build
15 renewable emergency microgrids for cities, you
16 know, commercial customers, as well as many for
17 multifamily affordable housing projects. We also
18 do electric vehicle charging infrastructure
19 solutions.

20 First of all, I'd like to present the
21 project that's on the slide up there. We are
22 also the proud recipient of two EPIC funding from
23 the CEC. One of them is the EPC-14-050, which
24 allowed us to build microgrids in the City of
25 Fremont in the fire stations. And then there is

1 subsequent funding that we received from the CEC
2 last year to expand what we learned from this
3 project and build microgrids in several different
4 cities in California.

5 So in this particular project, the
6 Fremont Fire Station Microgrid Project, we
7 started this back in 2014. We have three fire
8 stations that are deployed as microgrids in those
9 fire stations, and the project has been completed
10 as of early this year in Q1. And, you know, some
11 of the benefits I can talk about of this project,
12 it has provided, you know, 75 to 80 percent of
13 energy savings to the city and the fire stations.
14 More importantly, it has provided the critical
15 resilience capability that the fire stations were
16 seeking in the state -- or in the city.

17 So, you know, each fire station has a
18 diesel generator backup which, you know, is
19 needed to align that facility in case of a
20 disaster, whether that be a wildfire or
21 earthquake or what have you, what may be. But
22 now, putting a renewable microgrid allows, which
23 is, you know, a solar and a storage combination,
24 I'll talk about specifics in a minute, it allows
25 to make that diesel generator backup of the

1 backup.

2 So in the words of the chief fire -- you
3 know, chief of the -- the fire chief at the City
4 of Fremont, he says that, now, we have got our
5 house in order. We do not have to compete for
6 diesel in case of disaster because we have our
7 own power. So, you know, we basically get our
8 house in order first and we can extend the use of
9 diesel as much as we want, so they're really
10 happy and pleased about it.

11 The city also has benefitted because, you
12 know, the City of Fremont, like many of the
13 cities in California, they have a Climate Action
14 Plan that follows the state mandate for RPS and
15 all of that. And, you know, the city has also
16 benefitted significantly.

17 Each of these microgrids is about 40
18 kilowatts solar system and 110 kilowatt-hour
19 battery. We have done multiple tests onsite as
20 part of the result. We have published that in
21 the report that we submitted to CEC, you know, a
22 few months back. The original goal was to island
23 the facility for about three hours with the
24 renewable power. But we have been successful in
25 doing an islanding in more than 12 hours with

1 renewable power, so we are very pleased with the
2 results.

3 Subsequent to this project -- can you go
4 to the next slide please?

5 Subsequent to this project, you know, we
6 have -- actually, what this project and the
7 funding that we got from CEC has allowed us to
8 put together a good business model for companies
9 like us to replicate these systems across, not
10 only just California but beyond California as
11 well.

12 And now we are building a cluster of
13 microgrids, what we call a virtual wide area
14 microgrid network using other EPIC funding across
15 many cities. So we are deploying this type of
16 systems in city halls in, you know, public sector
17 schools, you know, fire stations, police
18 stations, as well as, you know, industrial
19 customers such as, you know, agricultural
20 customer and what have you where they have 24/7
21 processes and replicating the system and
22 deploying it multiple locations. We believe that,
23 you know, doing this, we will not only save cost,
24 but also provide the critical grid resilience
25 that all of these facilities need in times of,

1 you know, taking this (indiscernible) in the
2 future.

3 In closing, what I will say is we are
4 very thankful to CEC to provide this funding. We
5 also have been able to attract some third-party
6 financing because of the funding that CEC has put
7 into these projects. And we believe that going
8 forward this could become -- serve as a big -- a
9 good model for allowing critical facilities and
10 critical plants to operate with renewable power
11 without any disruption.

12 Thank you.

13 MR. MARTINEZ-MORALES: Good morning, Vice
14 Chair and Commissioners. Good morning.

15 I just want to echo, you know, the
16 sentiment that, as researchers, we truly
17 appreciate the support from the CEC and the EPIC
18 Program.

19 Today, I would like to describe one of
20 the projects that we have and it's working with
21 Native American tribe, the Chemehuevi Indian
22 Tribe. This is a tribe that is located at the
23 end of the transmission line in Havasu Lake. And
24 the members, the tribe is about 600 members.
25 About half of the members live in the community.

1 The majority of the members that live at the
2 tribe, their children and their elderly, and the
3 elderly usually have health-related problems,
4 particularly things like diabetes.

5 The Chemehuevi Tribe is located in the
6 desert and, therefore, experiences a lot of
7 challenges when it comes to power quality,
8 particularly they're driven by the hot
9 environment and some of the, you know, weather,
10 the monsoon season that affects the transmission
11 line.

12 One of the things that we have done, and
13 I really like the comment that was made earlier
14 before, that you have to look beyond
15 technologies; right? So my center, we are
16 researchers but, also, we're part of the
17 university. And part of our mission is to work
18 closely with the community in terms of outreach
19 and education. And I think that when we talk
20 about microgrids, there is a lot of promise in
21 terms of what can be done and some of that
22 promise has been fulfilled. But when you look at
23 some of the emerging technologies that haven't
24 had the opportunity to be fully verified or
25 documented, I think there's quite a bit of risk

1 factor.

2 And when we look at what has transpired
3 at the Chemehuevi Indian Tribe, we have learned
4 many lessons along the way. Some of those
5 lessons have been painful. Some of those have
6 been a little frustrating. But to our fortune
7 the Chemehuevi is, perhaps, one of the most
8 innovative and flexible communities that we have
9 worked with, particularly, they're very
10 openminded to trying new things. And they
11 understand that with trying new things there's
12 always, you know, a certain level of risk.

13 Through our project we have been able to
14 integrate truly innovative technologies which, on
15 its own, creates very practical challenges, from
16 having the ability to interconnect the components
17 and have a coordinated, you know, management of
18 the assets and resources, to actually having to
19 learn just as much as the developers of those
20 technologies ourselves in order to be able to
21 properly manage and to get the most benefit that
22 we can out of those technologies.

23 One of the things that we have seen is
24 that technologies can be engineered, they can be
25 tested in the lab, but when you put them out in

1 the field, they are faced by a series of
2 challenges that sometimes you didn't quite, you
3 know, thought or you didn't quite appreciate at
4 the time. And so we have seen, you know, many
5 instances where developing best practices is very
6 powerful, right, from doing a proper operation
7 and maintenance of the technology to preventing
8 some things by doing, you know, a better design,
9 or even providing some feedback to the companies
10 in terms of, okay, it's great, you have great
11 technology, very promising, it works well, but,
12 you know, let us tell you what we think you
13 should do in your next generation; right?

14 And so I think that the Chemeheuvi
15 Microgrid Project has been very insightful for us
16 as a research group at the University of
17 California, Riverside. It has provided the
18 opportunity for us to work very closely with the
19 community. In fact, one of the things that we're
20 currently working on is developing a plan for the
21 university to still engage beyond the term of the
22 project because it is extremely important that
23 when the project officially ends, the Chemehuevi
24 have the ability to maintain the project.
25 Otherwise, they will be one failure away from

1 having a system that is of no benefit to them.

2 And so I think that right now we are in
3 the demonstration period. We have been able to
4 test some of the functionalities that we intended
5 through the system. And we're also working very
6 hard with them in terms of thinking, okay, what
7 comes next and how can we continue to support the
8 community.

9 Thank you.

10 MR. MAXCY: Good morning. I represent
11 the California Manufactured Housing Institute
12 which represents all five segments of the
13 manufactured housing industry in California.
14 Those segments are the manufacturers, retailers,
15 suppliers, financial services, and community
16 owners and developers. Our people manufacturer
17 manufactured homes in California. And we have
18 members outside the state who ship into the
19 state.

20 I thought I'd give you a brief, brief
21 shot of the differences in manufactured housing
22 so that we clear up some confusion that might
23 exist.

24 There are, in California, there are
25 basically two kinds of houses that are built in

1 factories, one is manufactured homes which are
2 built to the national preemptive HUD construction
3 standards, and there are factory-built houses,
4 which are called modulars in all other parts of
5 the country, and those are built to the
6 California Uniform Building Code.

7 Manufactured homes are also divided.
8 Some people interchangeably use mobile home and
9 manufactured home and those terms really are not
10 interchangeable. There hasn't been a mobile home
11 built in this state since June 15th, 1976. And
12 at that time the HUD Code came into place and it
13 was a complete construction and safety standards
14 change, so the product changed immensely.

15 Currently, there are about 560,000
16 manufactured homes and mobile homes in the state.
17 Of the 560,000, 320,000 are manufactured homes
18 and 1.4 million Californians live in those homes.
19 We think that we provide the most affordable and
20 highest value resource for housing in California
21 going into this -- trying to come out of this
22 crisis that California is in.

23 Roughly 16 percent of our homes are sited
24 as real property outside of land-lease
25 communities. That segment of the industry will

1 probably grow over the next two or three years to
2 35 percent or better. There have been very few
3 manufactured home communities developed. As a
4 matter of fact, I only know of one in the last 15
5 years. There are about 4,500 in the state.

6 I'm here, basically, to answer any
7 questions that you might have about the product
8 and what we have done as an industry to help
9 ensure fire resistance, to make our homes safer
10 every chance we get the opportunity.

11 So that's my story and I'm sticking to
12 it.

13 MR. ERNE: Thank you, Panelists.
14 Appreciate it.

15 Now we'll turn to the dais for questions.

16 VICE CHAIR SCOTT: Yes. Thank you. I
17 just want to also welcome Commissioners Douglas
18 and McAllister, who have since joined us.

19 And so we thought we might, excuse me,
20 start with some questions from up here and see if
21 we get a good dialogue going. David also has a
22 whole set of questions that he's prepared to ask
23 as well.

24 Do we have questions from the dais?

25 COMMISSIONER MCALLISTER: I just have one

1 quick question. It's really a clarifying
2 question for the final speaker.

3 Jess, you talked about the fire
4 resilience.

5 MR. MAXCY: Um-hmm.

6 COMMISSIONER MCALLISTER: And, you know,
7 I think all the different subsets of housing that
8 you mentioned, you know, have unique markets and
9 unique characteristics and, possibility, unique
10 sort of demographics of the folks who use them.

11 I am the Lead Commissioner on Energy
12 Efficiency and, you know, own the energy piece of
13 the building code, you know, as we manage that
14 here at the Energy Commission, Part 6 of Title
15 24.

16 I guess I'm wondering how that aspect of
17 resilience plays out in the manufactured housing
18 space in terms of, you know, really getting --
19 there are no manufacturers here, it's got its own
20 kind of building code approach, and how can we in
21 California ensure that that sector of housing
22 kind of, you know, comports with the rest of our
23 direction, which is highly energy efficient, you
24 know, focused on indoor air quality, focused on
25 our common energy goals, not just at the property

1 but at the grid, all of these issues that we talk
2 about here that are less prevalent at the federal
3 conversation?

4 So I'm just interested in your view of
5 kind of that marketplace in the California
6 context.

7 MR. MAXCY: Well, I'm not exactly sure
8 where you're going with that. As a matter of
9 fact, I don't exactly know exactly what you're
10 looking for.

11 COMMISSIONER MCALLISTER: Well, I think
12 the, you know, energy performance of our new
13 building stock, and this is site, for the most
14 part, it's site-built buildings, whether it's a
15 custom building or a developed, you know,
16 manufactured -- or a production builder
17 environment, has a particular approach that is
18 governed by Title 24 that results in a certain
19 high level of performance to the building. And I
20 think the manufactured housing, you know, is a
21 different approach that, you know, in general, I
22 think it's fair to say the performance, the
23 energy performance, is not at that same level.

24 So I guess I'm wondering sort of that
25 aspect. I consider that to be part of

1 resilience. And so I guess I'm wondering if you
2 have any thoughts about that aspect?

3 MR. MAXCY: Well, first of all,
4 obviously, our houses are built to a specific
5 code for energy efficiency, plus every one of our
6 manufacturers offers higher energy efficient
7 options for their houses. And some make those,
8 part of those, standard. So especially in
9 California, we are probably a bit ahead of the
10 rest of the country in that we already have a
11 solid code to start with and we have energy
12 efficient options that we provide to the
13 customer. The customer makes the decision on
14 whether they want to buy those. And some
15 manufacturers, especially those on the higher end
16 of the product we build, make many of those
17 things standard.

18 As an example, they would -- the standard
19 manufactured got two-by-four walls. Some
20 manufacturers build them with two-by-sixes so
21 there's more room for insulation.

22 So I think we've -- I don't think
23 there -- as a matter of fact, I know, there's not
24 a manufacturer that does not offer ENERGY STAR as
25 an option in its product.

1 COMMISSIONER MCALLISTER: Thanks.

2 Thanks.

3 COMMISSIONER RANDOLPH: I have a follow-
4 up to that.

5 I'm just interested, are you aware of any
6 manufactured home communities around the state
7 that have sort of adopted, you know, much in the
8 way of solar or storage or community solar at
9 all?

10 MR. MAXCY: Yes, ma'am, there are several
11 that have. I don't have that information with me
12 but they have. Especially the parks that are --
13 I can't think of anything newer because we
14 haven't built many parks in a long time, but the
15 better parks in the state have put solar in and
16 they see the value of reducing energy costs, and
17 they're there.

18 We also have some manufacturers who build
19 homes with solar energy shingled roofs. And one
20 dealer in particular pushes that pretty hard and
21 has done a great job with it. So we are into the
22 solar side of it.

23 COMMISSIONER RANDOLPH: And what about
24 electric vehicle charging? Has there been much
25 adoption of installing charging infrastructure in

1 communities around the state?

2 MR. MAXCY: The all-electric homes? Not
3 really. There's been some discussion about
4 whether or not we could change parks over to all
5 electric and just the cost would be absolutely
6 horrendous because we're going to be going in and
7 trying to -- we'd have to change the houses also.
8 And in many cases those houses are owned by
9 senior citizens who are on fixed incomes and the
10 upgrade would just be atrocious.

11 All factories do offer all-electric homes
12 but, especially, Southern California has been a
13 gas-powered section of the country forever, it
14 seems, and it has not been a popular option, but
15 we do have that capability.

16 COMMISSIONER RANDOLPH: Yeah. We, at the
17 Commission, we've been working a lot on safety --

18 MR. MAXCY: Yeah.

19 COMMISSIONER RANDOLPH: -- issues
20 around --

21 MR. MAXCY: Yeah.

22 COMMISSIONER RANDOLPH: -- gas
23 connections.

24 But what about vehicle charging?

25 MR. MAXCY: I don't know the answer to

1 that.

2 COMMISSIONER RANDOLPH: Okay.

3 MR. MAXCY: I believe some of the parks
4 have vehicle charging in now.

5 COMMISSIONER RANDOLPH: Um-hmm. Okay.

6 VICE CHAIR SCOTT: I had a question,
7 well, actually for Sylvia, and that is to make
8 sure that we have a copy of the Mapping
9 Resilience Report in our docket for sure. I was
10 excited to hear about the report and would love
11 to take a deeper look at that.

12 Really, I kind of heard, and it's for any
13 of the panelists who want to answer, but I think
14 Nuin-Tara, you mentioned it, Sylvia mentioned it,
15 Jasneet mentioned it, I think Alfredo mentioned
16 it, as well, which is this similar theme of
17 making sure that the communities really have a
18 meaningful opportunity to weigh in and to
19 identify the types of resiliency that they would
20 like to see built into their communities. And
21 I'd love to hear, maybe more examples from, you
22 know, whether it's from Butte County or the
23 Chemehuevi Tribe or from San Mateo of how that's
24 happening, how you're making that work.

25 And the reason that I ask that is

1 because, you know, as you guys all know, everyone
2 is crazy busy. There's so much going on in lots
3 of folks lives and sort of getting the
4 information to them, getting them excited about
5 what's going on and having the time to come in
6 and engage, I think is really important. And I'd
7 love to know if you've got, you know, tips or
8 tricks of the trade or information that you'd
9 like to share about how that's going, I'd love to
10 hear that. And I sort of threw it out there to
11 all of you but --

12 MS. SHARMA: I can share like two
13 specific examples from the pilot project that I
14 was talking about.

15 I guess the one thing we've learned is we
16 can have all the data and all the assessments
17 under our belt and the minute you step into a
18 community, sometimes you just have to throw that
19 out the door. That's kind of the lesson we've
20 learned so far. We've completed sea level rise
21 vulnerability assessments. Through SB 1, we're
22 doing a lot of climate modeling for heat and
23 wildfire and all these other things.

24 But the minute you step into a community,
25 it has to start from a place of what's your truth

1 and what's your on-the-ground experience. You
2 absolutely just have to start from there. And
3 you cannot tell them what their problems are.
4 You have to just create the space for them to
5 say -- them to identify what their challenges are
6 and what their problems are. And the data can
7 come in to support it, which we already know
8 because we've looked at that, we know what
9 they're speaking to. But you're setting yourself
10 up for failure if you go about it the other way.
11 We've learned the hard way because we've always
12 done it that way in how government kind of works.

13 So as an example, the City of Half Moon
14 Bay is taking on a Climate Action and Adaptation
15 Plan. They're just starting the process for
16 that. And when we give out this funding, they
17 want to flip the process around. So typically a
18 community will identify or a city will identify,
19 here's what's going to go into our CAP, here are
20 the kind of themes we're going to talk about, and
21 then they'll go and solicit input and feedback.

22 The city, as part of this pilot that
23 we're doing, said, wait a minute, we're actually
24 even going to go out and ask people, like what
25 are your concerns? What are your priorities?

1 What needs to even be talked about in the themes
2 that we're going to touch in our CAP? And
3 they're really working with community leaders.

4 So you're absolutely right, people are
5 busy, but you have to find the community leaders
6 for different populations. If they're working
7 with the Latino population, it's a strong youth
8 presence there. There's a strong senior
9 population as well. So they found those CBOs
10 that served as organizations. We brought them in
11 and then they said, well, build our capacity
12 first. We don't know what climate change
13 adaptation is all about, so first build our
14 capacity and we'll go and engage with them. So
15 we're actually developing curriculum, training
16 curriculum for them to understand what climate
17 adaptation is, how to talk about it, so they can
18 then go and do the outreach.

19 And so that's like a quick example of how
20 we're trying to shift the typical way we've done
21 like adaptation planning.

22 MS. KEY: I would add, I think this is
23 kind of a forward-looking opportunity, so I don't
24 necessarily have a great example except, I think,
25 you know, some of the other speakers, beyond what

1 other speakers have highlighted here, but I think
2 there's, as we think about this, there's a
3 tremendous opportunity for alignment and
4 coordination between utility and energy providers
5 and local governments.

6 And I think especially as we're looking
7 to figure out how to really bring future climate
8 projections and developing climate vulnerability
9 assessments into the decision-making process, so
10 local governments are now required to incorporate
11 climate into their general plan and are, you
12 know, working to do that. You know, so there's
13 definitely capacity building and some
14 technological and, you know, science information
15 that it needed to help support that.

16 But there's also, I think, tremendous
17 opportunity as utilities are starting to
18 incorporate future climate risk and projections
19 into their planning and operation and investment
20 decisions, I think there's a lot of opportunity
21 to align those efforts and identify where utility
22 investments can support long-term community goals
23 around energy innovation and resilience outcomes.
24 And, again, trying to think about, you know,
25 opportunities to bring efforts together, think

1 about the alignment and kind of multi-sector,
2 multidisciplinary activities that are needed to
3 really get things -- a system change that's
4 needed on the ground.

5 So just an example, you know, forward
6 looking and something that we're very interested
7 in from our position at OPR and working with
8 local governments, figuring out, where are those
9 opportunities for that alignment and coordination
10 between sectors in communities?

11 MR. MARTINEZ-MORALES: I think because of
12 where the Chemehuevi are located geographically
13 and their environment and how susceptible they
14 are to power quality issues, resiliency is at the
15 heart of the community. The microgrid that was
16 developed at their tribe is at the community
17 center that acts as emergency relief, emergency
18 response, provides services to the community at
19 large, children, the elderly, you know, the
20 entire community and also, you know, as a cooling
21 center, you know, any time they do experience
22 this type of power disruption.

23 I believe that in order for these
24 projects to be successful the community has to be
25 heavily involved. In fact, they may be the

1 drivers of the effort to some extent.

2 In our case, we greatly benefitted from
3 the fact that Grid Alternatives have been doing
4 work with the Chemehuevi for years. Today, I
5 believe about 60 percent of their homes have
6 solar systems through the various systems that
7 Grid manages and oversees. When we approached
8 the Chemehuevi about what we wanted to do they
9 said, well, we already have resiliency at the
10 community center, we do have a diesel backup
11 generator, but we would love to have renewable
12 energy as part of our community.

13 Through the project, even with the
14 challenges that we have experienced, they have
15 continued to express their support and, in fact,
16 they would like to do even more. We have
17 prepared a couple proposals in response to some
18 opportunities with the CEC, and also with the
19 DOE. And the Chemehuevi would like to do more
20 solar, we'd like to do energy storage.

21 They have a new casino that is being
22 built. They want to look at energy management.
23 They want to look at energy management systems.
24 They want to look at electrification of their
25 vehicles that are part of the community.

1 They do want to do more but that's
2 because, first of all, the leadership has done an
3 extremely good job at getting the input from the
4 community, getting the buy-in from everybody, and
5 then the good work of organizations like Grid has
6 allowed, you know, for that strong foundation to
7 take place.

8 And then, you know, the university, we
9 have greatly benefitted from that.

10 And so I think that definitely the
11 community needs to be heavily involved.

12 MS. CHI: Yeah. I just want to echo what
13 the other panelists said about the importance of
14 having community engagement and involvement in
15 the planning process.

16 The example that I discussed earlier
17 about the Laotian Organizing Project, that
18 highlights, you know, the importance of language
19 access. And I just want to add that -- add to
20 that that, you know, in addition to knowing that
21 there are all these different languages within
22 the Laotian-American community, there are also
23 issues about literacy. So there's high rates of
24 -- like among the monolingual or linguistically-
25 isolated households in that community, not all of

1 them can actually read in their native script.
2 So it's important to have not just written
3 materials but to also have, you know, verbal ways
4 of reaching out to people.

5 So that's an example of how there's, you
6 know, there's just so much complexity to how our
7 communities work. And that's why it's so
8 important to hear from them what their needs are.

9 VICE CHAIR SCOTT: Let me see, do I have
10 other questions from the dais? So I know David
11 worked to prepare some good questions as well.

12 COMMISSIONER MONAHAN: I have, I think, a
13 very simple -- well, I hope it's a very simple
14 one for Sylvia, and maybe Jasneet, which is, you
15 know, I think it's -- I'm very new to the
16 Commissioner, so if I say something wrong, I hope
17 people forgive me. But I think, you know, as a
18 government, a state government agency, you know,
19 we're trying to make our materials more
20 accessible. And we recognize that depending on
21 the audience, some will find our materials very
22 accessible if you have a Ph.D. from an elite
23 university and you're ready to dive into our
24 documents. And, you know, we're retooled our
25 website to make it more user friendly. We're

1 trying.

2 But at the same time, often these tools
3 are always meant for somebody who has a pretty
4 sophisticated technical understanding. And I'm
5 wondering if you have just general
6 recommendations for us about, you know, the
7 balance between, on the one hand, trying to
8 communicate better, but on the other hand
9 recognizing that the folks that are going to come
10 onto our website and start using our tools,
11 generally, will have some level of technical
12 understanding. And are there tools out there
13 that you would say, oh, this is a really good
14 model for you as a state agency. You should be
15 really working towards this as a standard?

16 MS. CHI: I don't know. But I think that
17 the system or the framework that we really like
18 to highlight and promote is the CalEnviroScreen
19 tool that is used in other environmental justice
20 areas. We think that is -- that kind of hits
21 that sweet spot of like being able to show the
22 complexity that's needed and also be simple
23 enough that it's pretty accessible. And, you
24 know, there are obviously different accessibility
25 needs for different audiences. We think that, in

1 particularly, there's kind of a paralysis of
2 analysis in this area because there is so much
3 information and policymakers aren't able to kind
4 of sift through it and make decisions. And we
5 think the CalEnviroScreen is an example of how to
6 do that properly.

7 MS. SHARMA: Thank you for asking that
8 question. I don't know if I specifically have an
9 example of a tool. But if I was to build on what
10 Sylvia said is just kind of taking our example,
11 we, as employees or like county employees, to go
12 to these kind of tools to get the information, we
13 have to find ways to make it accessible when we
14 share it out with policymakers or decisionmakers
15 across the cities, or even community leaders, so
16 I think that's what I would encourage.

17 Like I agree, we absolutely need that
18 level of technicality, as well, because that's
19 kind of the realm we live in. But what we've
20 heard over and over again is you should not
21 require a Ph.D. to understand some basic things.
22 And I think that's the kind of lens I would
23 encourage you to think from is there is some
24 basic information and basic pieces that everyone
25 needs to understand so that language should

1 really be accessible.

2 We, ourselves, I remember when we
3 released our Sea Level Rise Vulnerability
4 Assessment, which was like a 500-page document,
5 as expected, did we expect anyone to look at it?
6 Actually, no. No one's going to go and read a
7 500-page document. But then really putting a lot
8 of time and effort in redoing the website in a
9 way -- we actually worked with a social science-
10 specific research organization. And that was
11 such a learning experience on like how do you
12 talk about this issue in a way, in a very
13 solutions-oriented frame?

14 And I think we all tend to have this
15 approach or call out the problem, call out the
16 problem, focus on the program, whereas they come
17 to us and tell us, just call out the problem once
18 and pivot very quickly to the solutions that need
19 to be put into place. And I think just how you
20 communicate and frame things on the website, I
21 think it really helps a lot.

22 COMMISSIONER MCALLISTER: I have just a
23 question. It's a pretty nebulous question and I
24 guess it's qualitative, let's say, but I think
25 it's interesting to just kind of keep it real.

1 You know, I was a Peace Corps volunteer,
2 you know, back in the day. And the kind of work
3 in communities is unglamorous, it's really hard,
4 it's long hours, it's lots of conversation, you
5 know? It's -- I mean, so I guess I'm kind of
6 just wanting to get your informed opinion about
7 what kind of scale of community-based activity
8 are we really talking about in a state with 40
9 million people in it as extensive, large, huge,
10 diverse as Californians, you know, with many,
11 many, many dozens of languages and cultures and,
12 you know, ethnicities and geographies, and just
13 everything? You know, how many people, how often
14 -- like if you do the math, like, okay, you've
15 got to be in front of every person for an hour,
16 you know, in a small group? Like that gets up --
17 that's serious resources over decades.

18 And I guess I'm just wondering sort of
19 how do you match up the scale that we're
20 currently operating at with the real like long-
21 term solution to get every Californian involved
22 in this?

23 MS. SHARMA: I know you were looking at
24 me but I want to be sensitive.

25 COMMISSIONER MCALLISTER: You said last

1 and you're what prompted the question, so --

2 MS. SHARMA: So if anyone else wants
3 to --

4 COMMISSIONER MCALLISTER: -- and it's for
5 everybody. Yeah. Yeah.

6 MS. SHARMA: -- answer that first, I
7 certainly have perspectives but I want to be
8 mindful of giving the opportunity to others as
9 well.

10 COMMISSIONER MCALLISTER: You can think
11 about it and come back to us. But, I mean, I'm
12 not -- this is not a question that means you have
13 to, you know, criticize, oh, we're not doing
14 enough --

15 MS. SHARMA: No.

16 COMMISSIONER MCALLISTER: -- and this
17 kind of stuff.

18 MS. SHARMA: No.

19 COMMISSIONER MCALLISTER: But I just feel
20 like you're all, you know, thinking about this in
21 cutting-edge ways and you're out there as part of
22 the solution and, you know, maybe have a sense of
23 like, okay, I'm moving the needle just this much
24 but I need to move it this much. And, you know,
25 I've got a contract for two years but I need one

1 for, you know, 30 years. I don't know. I'm
2 just, I'm curious as to your sort of sense of
3 what the scope and scale that we really need is?

4 MR. GORE: I can share one incident that
5 the City of Fremont has done.

6 So the Sustainability Commission at the
7 City of Fremont includes a student, you know,
8 commission in that body. And through that they
9 actually have small groups or, you know,
10 workshops with the high school students and as
11 part of their community service that they have to
12 do for their credits. And in that process they
13 have tried to raise some awareness with the
14 students. And then they go to communities with
15 the city to talk about resilience through, you
16 know, energy innovation, as well as, you know,
17 microgrids and solar penetration and all of that,
18 so that thing has been working quite well in the
19 City of Fremont. You know, I have students come
20 around during, you know, the spring breaks and
21 all of that and they talk about, you know, going
22 like even door-to-door sometimes and, you know,
23 give them flyers and discuss what the city has
24 been doing to promote solar, as well as, you
25 know, microgrids in the city.

1 So that's for example.

2 COMMISSIONER RANDOLPH: Can I ask a
3 follow-up to that for Sylvia? Which is the
4 notion of kind of a community-centered sort of
5 resiliency space is -- you know, seems like a
6 good way to do a lot of different things, one of
7 which is pulling people in to have conversations
8 and participate in the discussion because it's
9 really hard to get people to pay attention to an
10 abstract impact that's going to happen to them in
11 the future or what they perceive is going to
12 happen to them in the future. And so getting
13 people together just to even talk about that
14 conversation is a big challenge.

15 So I guess I was -- so my question is:
16 Has, as you, as your organization has talked
17 about this and has worked with communities, do
18 you feel that you have been able to start to
19 engage on these kind of bigger-picture questions
20 of how do you develop these community resilience
21 centers and getting community members interested?
22 Have you had some good experiences around that
23 you could share?

24 MS. CHI: Yeah. We -- so, you know, APEN
25 has been organizing in these communities for 25

1 years now. And, you know, I would say, in terms
2 of getting community engagement, there's no easy
3 trick. There's no shortcut that I know of. It
4 just takes a lot of organizing and a lot of
5 effort, especially in our communities because
6 they are -- they have fewer resources than other
7 communities.

8 So, yeah, I mean, we have been organizing
9 with these communities for a long time and doing
10 political education, including education about
11 the energy system and how it works. So our
12 members are interested, they are. You know,
13 they're excited about solar. They want solar in
14 their communities. They want a microgrid. It's
15 just a matter of getting those resources to them.

16 VICE CHAIR SCOTT: I feel like Alfredo
17 wanted to jump in. No?

18 MR. MARTINEZ-MORALES: Yeah. I was going
19 to say, at the risk of sounding simplistic here,
20 right, and I mean, she said there's no shortcut;
21 right? And that's true, there are no shortcuts,
22 but if we look at the experience that we had at
23 Chemehuevi, I made the comment that leadership
24 has to do a lot with, you know, how well things
25 go; right?

1 And so in our case, we haven't worked
2 directly with the community, right, not the 300
3 members, but we do have the support of the 300
4 members. And that has been done, you know,
5 through the tribal council. It has been done
6 through some of the activities that Grid
7 Alternatives has done in training local members,
8 putting, you know, solar systems in the
9 residential units.

10 So I think that it has to grow from the
11 bottom up; right? So as researchers, we always
12 look at the resources and we always try to
13 leverage resources as much as we can. So I would
14 say, you don't have to -- you do have to build in
15 some capacity. But if you look, there's probably
16 already plenty, you know, building already. It's
17 just a matter of you identifying what that is and
18 working closely and leveraging whatever you have.
19 I mean, there always will be some voids, some
20 vacuums, but I think that you can probably fill
21 those, instead of trying to rebuild what is
22 already there; right?

23 COMMISSIONER MCALLISTER: Have you
24 noticed any change -- oh, I'm sorry, did you want
25 to speak to that? Sorry.

1 MS. KEY: I was just going to very
2 quickly follow on from this.

3 I think, you know, as a state entity, as
4 well, we have this challenge. And I think given
5 the urgency of the issues that we face and the
6 need to implement, but also thinking about the
7 scale at which that needs to happen, is just a
8 tremendous challenge in California. And I think
9 at this point we, you know, in some of the
10 conversations we've been having with our state
11 partners and communities, as well, is recognizing
12 the value of kind of a regional scale and
13 regional approach, as well, because we, you know,
14 top down alone or bottom up alone is not going to
15 get us where we need to go in the timeframe that
16 we need to get there. And so thinking about how
17 do we combine all efforts at once?

18 And one of the things we've been talking
19 about across a number of different areas is the
20 importance of regional-scale efforts and regional
21 coordination and collaboration because we, as the
22 state, can't be in every community. Every
23 community member cannot come to every meeting.
24 And so I think, you know, finding trusted
25 leaders, supporting and funding community-based

1 organizations and network organizations to help
2 be that bridge and convene and, you know, two-way
3 communication is really critical.

4 And so it's something that we are really
5 trying to figure out how we continue to support
6 regional coordination and collaboration to get at
7 that.

8 COMMISSIONER MCALLISTER: That rings
9 totally true with me. I mean, I know in the
10 early days of the solar market and just even in
11 the R&D community, I mean, the local government
12 level, climate action planning, I mean, there are
13 a number of examples that just the fact of
14 convening and getting the people that are leading
15 these other efforts, you know, these efforts in
16 relative silos to come together and say, oh, you
17 know, somebody else is facing this, and they just
18 learn from each other and it's just a huge
19 positive. So if we could get some resources to
20 that, I think that would be great.

21 I guess I wanted to ask, have your
22 organizational efforts in the communities -- or
23 how have they been impacted by the sort of, you
24 know, negative focus on immigrants at the federal
25 level? And is there anything we can do, if

1 that's the case, is there anything we can do to
2 kind of mitigate that problem?

3 MS. CHI: What comes to mind for me right
4 now is thinking about emergency response, like
5 facilities, and making -- you know, and the
6 importance of partnering with trusted partners,
7 like CBOs, because there are going to member of
8 the community who are afraid -- will be afraid to
9 go to a shelter if they think that immigration
10 enforcement will be there.

11 So if, you know, if a trusted partner,
12 like APEN or another CBO, is vouching for, you
13 know, you should come to this shelter in the time
14 of an emergency, then it's safe, you won't be
15 deported, I think that's a better outcome than if
16 we just say everybody come to this government
17 facility. That leaves a lot of questions and
18 anxiety for our members.

19 VICE CHAIR SCOTT: I might just jump in
20 because we have about six minutes. So this panel
21 is fascinating and we could spend all day, I
22 think, talking about all of these topics and our
23 deep thoughts.

24 I am wondering, David, if you had a
25 burning question that you want to, you know, get

1 a minute answer from each panelist in on or if
2 everyone wants, you know, 30 seconds on something
3 that you didn't have a chance to share with us
4 but you want to make sure that we know before
5 this panel wraps up, I'll turn it to you to
6 decide.

7 MR. ERNE: Well, thank you. You actually
8 asked most of the questions. I think we're in
9 sync in terms of the things that we wanted to
10 ask.

11 There was one question I did want to ask
12 for Vipul and Alfredo, which is, so you've talked
13 to a lot of different, I guess, communities at
14 the local government level, either soliciting to
15 get them to participate in your projects or to
16 identify them. And I would like some of your
17 perspectives in those conversations, things you
18 heard back from the communities about either why
19 they didn't want to do something or why they
20 wanted to, and what are those lessons learned,
21 that we can get some of that perspective, since
22 you've talked to so many?

23 MR. GORE: Sure. I can go first. We
24 have spoken to several cities in the state, as
25 well as, you know, outside of the state as well.

1 A lot of focus has been talking to sustainability
2 managers within the city, planning members who
3 basically are, you know, looking at critical
4 facilities and impacts of, you know, the climate
5 change on critical facilities. Overwhelmingly,
6 they basically like the idea. They want to
7 deploy renewable microgrids at those facilities.
8 You know, so, you know, we are treated with open
9 doors when we get good with them.

10 The challenge has been financing because,
11 you know, the cities, as well as some of the
12 industrial customers who are non-municipal, they
13 don't have the up-front capital to put into those
14 projects. So that's where I think, you know,
15 there's a challenge.

16 So we are actually working with third-
17 party financiers. The economics are just working
18 out. They're not there yet. You know, in a pure
19 solar system or a storage-paired solar system,
20 not a microgrid, they are working out. But, you
21 know, when it gets to a microgrid system that can
22 island and work in a grid kind and an off-grid
23 mode, economics is a challenge. I think it could
24 probably take a couple or two or three more years
25 for the innovation to significantly drive the

1 cost down of the parts and components, as well as
2 some, you know, incentives, you know, subsidies
3 or grants are needed to bridge that gap at this
4 point.

5 But, you know, that's the only challenge
6 I see. Otherwise, you know, I think we are ready
7 for that option wide-scale because everybody
8 needs this system for sure.

9 MR. MARTINEZ-MORALES: Yeah. In our
10 case, one of the challenges that UC Riverside has
11 faced is that we are outside of the IOU
12 territory; right? And so our local municipality
13 is, you know, RPU, Riverside Public Utilities.
14 That has forced us to be very strategic in the
15 partners that we choose for our projects. And
16 through our network, we always identify a partner
17 that is already willing to take some risks
18 because all of the projects that we do, they do
19 have some level of risk. And then we incentivize
20 those partners to buy into the project by showing
21 them that even under the worst case condition, we
22 can still provide them enough benefit for them,
23 you know, to make their time and their
24 involvement work.

25 And so I think that, you know, some of

1 the concerns are always, well, who else has done
2 this before; right? Because truly speaking, no
3 one wants to be the first one to do it, but we do
4 need those, you know, forward thinkers or risk
5 takers to be the ones that kind of pave the way
6 for everybody else.

7 And so in our case it has been through a
8 strategic partnership. That's the only way we
9 can make it happen. I mean, we just need to show
10 good results, right, so that other people are
11 willing to buy in and take, you know, that risk
12 on these projects.

13 MR. ERNE: Great.

14 So I can't remember, Heather, are we
15 doing public comment now or waiting until the
16 very end?

17 VICE CHAIR SCOTT: Well, we'll take
18 public comment at the very end.

19 MR. ERNE: Okay.

20 VICE CHAIR SCOTT: You have three
21 minutes, though, so if there was maybe a final
22 thought from each person, a brief final thought
23 from each person that you'd like to share, would
24 love to hear that before we wrap up the panel.

25 MR. ERNE: Do you mind if we go in

1 reverse order?

2 Do you have any comments, no, Jess?

3 Alfredo?

4 MR. MARTINEZ-MORALES: Okay. One comment
5 I would like to make is that one of the benefits
6 of being with the university is that, usually,
7 parties will trust you, right, because we're not
8 trying to sell something. We're not -- we have
9 no vested interest in the technology, we're
10 researchers. Our job is to take the technology,
11 do what we are intending to do, and report on it.
12 If it works, well, great. If it doesn't work,
13 well, it just doesn't work; right?

14 And so I think that that's one of the
15 additional benefits that we have had being part
16 of, you know, the university, especially the
17 University of California; right? We have ten
18 campuses.

19 MR. GORE: And the only comment I'll make
20 is, you know, we're really excited to be part of
21 the Energy Innovation Program through CEC
22 funding. And, you know, we believe that, you
23 know, whatever efforts the CEC has done, plus,
24 you know, all the other cities are looking at,
25 you know, private public partnerships that are

1 evolving, it's just creating a new business model
2 for, you know, lots of companies, a lot of
3 innovation.

4 So we just, you know, are excited and we
5 want to continue doing work along with this
6 partnership with the CEC.

7 MS. SHARMA: Did Jess have any comment?

8 MR. ERNE: No. He passed. Yeah.

9 MS. SHARMA: I wanted to, in closing,
10 maybe respond to what Commissioner McAllister was
11 asking about, like it's a big state and, you
12 know, there's only so much we can do. I think
13 we're finding that no matter what scale you look
14 at, we're all facing similar challenges of -- our
15 learning just has been you just have to have a
16 diversity of skills. There's no other way. So
17 at regional, as Nuin-Tara was saying, even within
18 the county, we have to think countywide. We've
19 got 20 cities, so getting them to think
20 collectively, and then within a city, then going
21 to a neighborhood scale and going to site scale,
22 you just have to take a diversity of approaches.
23 There's no other way around it.

24 But I think the key thing we found is, is
25 who's the messenger? In most of the situations,

1 the county is not the right messenger or the
2 government is not the right messenger. You have
3 to find the right messenger, but -- but resource
4 them, and resource them in terms of like fund
5 their staff time, give them money so that they
6 can give stipends to people to show up at those -
7 - you know, be participating in those processes
8 on a long-term basis. You really have to think
9 through those processes as well.

10 MR. ERNE: Sylvia?

11 MS. CHI: Yeah. I just wanted to say
12 thank you for having me and hearing from us and
13 addressing this important issue.

14 I wanted to just, you know, emphasis that
15 an important impact that is affecting our
16 communities is the increasing energy burden and
17 how that effects their community members' ability
18 to adapt.

19 And related to that, there are kind of
20 two populations that we didn't discuss today, and
21 I just wanted to mention to include in the
22 conversation, and that is like large,
23 multigenerational families with young children
24 and elders can be very vulnerable. And also,
25 overlapping the populations that rely on medical

1 equipment, so like medical baseline customers who
2 are especially vulnerable, especially with like
3 the public safety power shutoffs and there's,
4 yeah, no assistance for them, aside from telling
5 them to make their own plans.

6 So there's a lot of vulnerability in our
7 communities.

8 MS. KEY: Great. I also want to send my
9 thank you, again, for being here.

10 I think the kind of top-line takeaways
11 for me are, one, that we really need to make sure
12 that we're mainstreaming climate risk into our
13 planning and investment decisions today. And
14 there's definitely a lot of capacity building
15 that needs to be done to be able to do that, but
16 that is really critical to making sure we're
17 making wise investments today for our future.

18 The second is the critical need, and I
19 think the whole panel touched on this, but for
20 funding for convening and bringing communities
21 together and that we really need to make sure
22 that there's funding and support for that
23 convening effort.

24 And then, lastly, in kind of our early
25 experience here working in the recovery side

1 more, I think we really need to be thinking about
2 how we bridge from immediate post-disaster needs
3 in communities and making sure those investments
4 are setting us up to meet our long-term goals,
5 and priorities as well.

6 So those are my kind of three takeaways
7 and wrap-up points here. Thank you.

8 MR. ERNE: All I want to say is thank you
9 to all the panel members. I appreciate. I know
10 that it takes a lot of time to put your thoughts
11 and ideas and organize them and then come here
12 and present. And it was great having you on the
13 panel and providing your insights. Thank you so
14 much.

15 VICE CHAIR SCOTT: Thank you very much.

16 (Applause)

17 MS. RAITT: All right. Thank you,
18 Panelists.

19 This is Heather again. And so we're
20 going to move on to our next panel. So if the
21 speakers for the Collaborative Actionable
22 Research to Foster Resilient Planning and
23 Management could come your way to the front
24 tables, that would be great?

25 VICE CHAIR SCOTT: Yes. As Heather just

1 said, we'll do a quick shift to the next panel.
2 So if you are on our second panel, please come on
3 up.

4 In the meantime, while we do that, if
5 you're a member of the public and you'd like to
6 make a comment, please fill out one of these blue
7 cards and make sure you get it to Heather.
8 She'll bring it up to us and that's how we know
9 that you'd like to make your comment.

10 And it will just take another 30 seconds
11 here or so to get our new panel members up.

12 All right. It looks like we have all of
13 our second panel members here at the table.
14 Welcome everybody.

15 And let me turn this over to Guido.

16 MR. FRANCO: Good morning, Commissioners.
17 This morning we have an excellent group of
18 experts and practitioners in the area of climate
19 adaptation for the energy sector.

20 Last week I was in Santiago, Chile,
21 invited by the government in Chile to share our
22 experience on climate adaptation for the energy
23 sector. Chile and other nations are starting to
24 recognize the risks posed by climate change to
25 their energy systems. The examples that I gave

1 them about actions that California has taken --
2 are taking -- is taking include some of the
3 materials that you are going to hear about today.

4 For example, technical experts in Chile
5 are very interested to know more about what Dr.
6 Saah and Brian D'Agostino are going to talk
7 about, about the risks in the science and
8 practice of wildfire protection.

9 I already shared the presentations with
10 our colleagues in Chile. Some of them are
11 listening. That's my understanding. So
12 we -- the collaboration between Chile and
13 California in this specific area of work has
14 already started. They are also very eager to
15 know about the great work that the CPUC is
16 starting with regard to how to mainstream, you
17 know, climate adaptation and all the activities
18 related to utilities, not only energy utilities
19 but telecommunications, water, et cetera, et
20 cetera.

21 Okay, so we have four presentations.
22 Each one, I believe, is about 12 minutes long.
23 They will go to the podium to give the
24 presentations. You have their bios already in
25 your folders.

1 So the first person there is Dr. Saah
2 from the Spatial Informatics Group. He will
3 describe a recently approved research project
4 funded by EPIC, the Electric Program --
5 Investment Charge Program. This project is
6 designed to create a new wildfire model for
7 California to address some of the deficiencies
8 with existing models brought to light by the
9 unexpected behavior of the recent massive
10 wildfires that we experienced in California.

11 So with that, Dr. Saah, please?

12 DR. SAAH: So while you're getting this
13 set up, thank you, Commissioners, for allowing me
14 to speak in front of you. We're very excited
15 about this project and we're very excited about
16 this program. And I've got a timer in front of
17 me, so now I'm nervous.

18 So in addition to being a principal at
19 Spatial Informatics Group, I'm also a professor
20 at the University of San Francisco. And SIG
21 is -- thank you -- is the lead agency for a
22 larger consortium. So what I'm going to talk to
23 you about is being done by a large collaborative
24 consortium.

25 You know, the motivation behind this

1 whole effort is really stuff that we've seen in
2 the news; right? We've seen the whole thing.
3 We've seen a bunch of extreme wildfire events
4 that impact the grid. And as it impacts the grid
5 it impacts all of us. It impacts us in terms of
6 costs. It impacts us in terms of safety. It
7 impacts us in terms of reliability, not only to
8 taxpayers but also to the environment.

9 There's a lot of the science that we
10 understand and we understand it really well.
11 There's a lot of known knowns. There's also a
12 lot of unknown -- known unknowns; right? We
13 know, for example, that our current wildfire
14 models are not really good at predicting what
15 happens with large dead trees. These duff layers
16 that are coming in, we don't -- we're not sure
17 how those actually fit into a lot of our existing
18 wildfire models.

19 And if you guys have watched the news,
20 again, over the past couple years we have had
21 these huge tree outbreaks, tree mortality
22 outbreaks across the state, which are really
23 contributing and exacerbating some of the
24 wildfire hazards that we have. We know we need
25 to dig into that.

1 We also know that our existing fire
2 weather forecasts underestimate really severe or
3 extreme wildfire events. Part of that is due to
4 scaling. Part of that is due to technology.
5 Part of that is due to the way we have our
6 mesonets built. We know we need to deal with
7 that and we have to think about how we actually
8 integrate that.

9 We also know that a lot of our models are
10 really unable to accurately forecast the long-
11 term trajectory of where we're going; right? We
12 have a bunch of base research that gives us ideas
13 of what we're supposed to do. But when you get
14 into an applied sense or an operational sense,
15 there's a gap, and there a known gap and there's
16 a known trajectory of how we could fill that gap,
17 how we could fix that. And all this is really
18 needed by not only the IOUs to be able to predict
19 these overall impacts to the way they operate
20 their systems, but it is also needed by the
21 taxpayer, the resident, the environment that we
22 all have here in California. And that's really
23 the motivation of why we started this whole
24 effort; right?

25 So we've got a bunch of slides here.

1 There's a bunch of words here. There's a bunch
2 of collaborators here that you're going to
3 actually see. What we really start with is we
4 start with the field; right? Let's actually --
5 let's go after those known unknowns in the field.
6 Let's go after the weather stations that we have,
7 the eyes and ears that we have on the ground.
8 Are those weather stations actually in the right
9 spot? Are they picking up the right sort of
10 phenomenon? Are they integrated with other
11 systems that we actually have? You know, those
12 are things that we want to be able to optimize
13 and we want to be able to look at.

14 We already experience a whole series of
15 extreme weather events. What can we learn from
16 those weather events and how can we integrate
17 that with the mesonet network that we actually
18 have? There's a whole process for doing that.
19 There's an opportunity over there that we could
20 actually leverage and take advantage of.

21 And then the going back to the tree
22 mortality component. We know what the tree
23 mortality rates are. We know that the fuel
24 recruitment sizes potentially could be. What's
25 the fire behavior associated with that? And do

1 our existing models actually capture it? And
2 once we actually have that as a local level,
3 right, can we scale that out across the state?
4 Can we actually see this at fine resolution
5 across the state? That's phase one of what we're
6 trying to do.

7 The second component of where we're going
8 to go after is the near-term models, the long-
9 term models. How accurate are our near-term
10 models, the zero-to-seven-day estimators; right?
11 Are we able to forecast really accurate zero or
12 five days out or seven days out of when a
13 wildfire does actually occur, or the same sort of
14 thing with wildfire weather; right? How could we
15 actually dial that in? Do our existing models
16 work just fine, we just need better inputs, or do
17 we need to retool the inputs along the models to
18 get a better understanding of what that actually
19 looks like?

20 Same sort of thing for the long-term
21 models, the mid-century models. This of this as
22 the models that we need for the strategic
23 planning; right? How well do they work? Can we
24 just tweak the inputs to these sorts of things or
25 do we need a whole new class of model, or is it a

1 hybrid approach? And how could those mid-term
2 models integrate or work well with those long-
3 term models in a way that is consistent or
4 workable for the state, operational for the --
5 operational for the state. Excuse me.

6 Next up, what we have to do is that now
7 that we have better field data, right, we have a
8 better network, we have accurate models, what do
9 we actually do with it, the scenario planning;
10 right? And when we think about scenario
11 planning, our state is changing. We have this
12 whole wildland-urban interface that we need to
13 think of. And that wildland-urban interface, or
14 the WUI, is changing. Where it's located, it's
15 growing. And the way fire behavior moves through
16 those communities, again, it's one of these
17 places that we know we need to do better in. How
18 do we integrate that into those scenario plans
19 themselves?

20 And the state, itself, is changing as
21 well. You know, we have a whole shift and change
22 in the way we have land use and land cover and
23 the different uses that we have across the state
24 that we have different sorts of projections with.
25 And so the idea is to run scenarios between those

1 two elements and a variety of climate change
2 scenarios to see what those patterns could
3 actually look like. Again, we want to do this
4 short term as a tactical response if something
5 does occur and long term for a strategic response
6 to be able to harden our overall system to create
7 a more reliable grid.

8 You know, that sounds like there's a lot
9 of specific elements, a lot of small elements;
10 right? How do you pull all this stuff together;
11 right? And as we pull all this stuff together,
12 throughout each of this process, right from the
13 very beginning, it's people; right? We want --
14 we need to have an open dialogue, an open
15 conversation with people and pull them along.
16 It's not okay to build all these models and then
17 just dump them and say, hey, just use this. It's
18 a conversation that starts from the very
19 beginning where we start having workshops in the
20 beginning and we integrate those conversations
21 all the way through this very end.

22 A whole bunch of outcomes that are going
23 to be associated with that as well; right? And
24 so the idea, really, behind what we're trying to
25 do is that, you know, if we have a whole series

1 of defined outputs, we're hoping there are great
2 outcomes. And as we get better outcomes, we can
3 get the impact that we desire across the state.
4 And, you know, what better way to prove that or
5 show that is the list of outcomes that we're
6 really trying to target.

7 The first one is the weather station
8 siting framework; right? Let's get proactive
9 about our observations on the ground.

10 The second component of it is the extreme
11 weather, historical analysis and data archive,
12 not only for this project, but as we learn from
13 this project and we learn from what other
14 community holders or stakeholders could
15 potentially use or need, make those same datasets
16 available and allow folks to use that as well.

17 We're going to be doing a lot of learning
18 in terms of the fire models themselves and the
19 wildfire science itself. We want to be able to
20 encapsulate that into our report, not only for
21 the Commission but for the larger community,
22 again, so this is a larger collaborative learning
23 environment.

24 And then the tree mortality; right?
25 There's been a whole bunch of different tree

1 mortality reports that have been pushed out and
2 there's a variety of different limited datasets
3 that have been pushed out. What we'd like to do
4 is to create the next iteration of that, really
5 focused on fuel recruitment for larger trees, and
6 make those data archives available, both at the
7 plot level and at the state level in terms of
8 earth observations.

9 There's the near-term forecasting models.
10 Again, if you look at what we're trying to do
11 here, the outputs that we're really trying to
12 create is not only the modeling framework but to
13 add the data archive that we actually create
14 around it, along with the decision tools that
15 we're building around it. Do the same sort of
16 thing for the long-term risk analysis. Open up
17 the modeling approaches so everyone can see what
18 we're actually doing. And then connect a cost-
19 benefit analysis to it because there might be a
20 solution that makes a lot of sense but what is
21 the overall cost or how much is this going to
22 actually cost us and what are those cost types
23 that we need to think about?

24 And then last component is really the
25 integration, the integration of the things that

1 you need to make a tactical response and the
2 things that you need to make a strategic system.
3 And we want to be able to integrate those
4 together and to push into a real-use case
5 scenarios. For example, make them available to
6 the IOUs. Work with the IOUs along this whole
7 process and allow them to grab the parts that they
8 need in order for them to be able to make better
9 decisions. At the same time, take all those same
10 learnings and, from the very beginning, think
11 about how we want to integrate it into the next
12 climate change assessment.

13 And the last part is my favorite part, is
14 the open source code for all the different
15 models. Let's open this thing wide open; right?
16 The more critics that we can get hammering away
17 at it the more learning we could actually get.
18 And so that's a process that we've done in other
19 programs. It's something that we were hoping to
20 bring to this effort as well.

21 In terms of the research collaborators,
22 we have a wide group. These are the folks that
23 are in our research consortium internal to
24 building out the specific elements of the project
25 and program. You'll notice that we try to create

1 a diverse spectrum of, I guess, opinions or
2 approaches. We have academia really locked in.
3 We really want to leverage the academic network
4 that we have in the state. We have a private
5 industry because they have a specific perspective
6 on how this stuff actually works. We wanted to
7 make sure that their voice is at the table
8 internally. We have both small companies and
9 large companies, as well as some government
10 agencies integrated.

11 And I stopped earlier, so you're welcome.
12 This is all I have. I'm hoping that we could
13 have a chance to actually have a conversation
14 afterwards, if you guys have time. And if you
15 are interested in learning more about what we're
16 doing, Shane Romsos, please raise your hand for a
17 second. He's our project lead, project manager
18 for this program. We're eager to start a
19 conversation.

20 Thank you for your time.

21 Stop. Done.

22 MR. FRANCO: Thank you very much.

23 So the next presentation is by Dorian
24 Fougères with Tahoe Conservancy. Dorian will
25 describe to us an excellent collaborative process

1 that is going on between the utility and a local
2 community to reduce wildfire risks posed by power
3 lines.

4 MR. FOUGERES: Thank you. Good morning.
5 Oops. Is this on? Yeah?

6 Good morning, Madam Chair, Vice
7 Chairwoman, and Members of the Commission.
8 Dorian Fougères, California Tahoe Conservancy.
9 Thank you for the invitation to join you today.

10 Before going any further, I'll just say,
11 this, actually, is a partnership effort. I'm
12 presenting what is a partnership with the U.S.
13 Forest Service, Liberty Utilities, California
14 State Parks, and also the Tahoe Fire and Fuels
15 Team which is a group of about 20 fire districts,
16 land managers and regulatory agencies.

17 Very briefly, California Tahoe
18 Conservancy, we own and manage about 6,500 acres
19 in the Tahoe Basin, including large properties,
20 like the Upper Truckee Marsh, six public beaches
21 that are pretty popular.

22 We also have about 4,500 undeveloped
23 lots, typically small, quarter-acre parcels right
24 where people live. There are about 13,000 of
25 these in the basin if you add federal and private

1 lands altogether. All of these are managed
2 according to a multijurisdictional fuel strategy.

3 And then they have neighborhood-scale
4 Committee Wildfire Protection Plans.

5 So we do a lot of work on a day-to-day
6 basis with the Forest Service and Liberty
7 Utilities, particularly around hazard tree
8 removals.

9 In terms of the basin's fire context,
10 iconic fire, 2007, was the Angora Fire. You see
11 a photo there that really galvanized and
12 catalyzed a lot of work going on, including the
13 creation of the Tahoe Fire and Fuels Team, 400
14 ignitions since then.

15 If you go a little bit further, recent
16 year, the King Fire in 2014. And then this is
17 just an overlay to give you a sense of scale,
18 Camp Fire, around 150,000 acres. If you add all
19 the forested acres in the basin, it's around
20 210,000. So this idea of just one fire, not even
21 a megafire, compared to some of the recent ones,
22 gives you a sense of the threat.

23 So basin power lines, the basics here,
24 Liberty Utilities is our partner, an investor-
25 owned utility regulated by the Public Utilities

1 Commission. Their service area covers the entire
2 California side of the basin, about 40,000
3 customers. They're about 77 miles of non-
4 residential transmission and distribution power
5 lines that cross public and private lands.

6 It gives you a quick sense of what it
7 looks like in the basin. And so this is the
8 fundamental concept I'll introduce here. It's
9 this idea of power line resilience corridors.
10 This is the only piece I'll read, so you can see
11 the definition there. So forested areas around
12 power lines is really where we're combining three
13 things that are typically somewhat separate,
14 ignition hazards, fuels reduction and forest
15 health treatments. So you're putting all of
16 these in the same place by partnerships.

17 Some of the benefits, you create several
18 efficiencies, I'll explain a bit more later, but
19 this is a key to unlocking, at least in Tahoe,
20 that crux of pace and scale, increasing the pace
21 and scale of our work and, as I'll explain a bit
22 more in a moment, really protecting the general
23 forest and communities at the same time.

24 This is the only semi-technical diagram
25 I'll show. I know it can't be read, it's quite

1 small, but you can see at the top, roughly,
2 that's what some of these landscapes look like
3 right now in that top row. Then the middle row
4 shows after treatment, when you have this power
5 line resilience corridor. And then that the very
6 bottom, you can see, that's roughly to scale. So
7 let me walk you at a very high level through
8 those zones.

9 You can see Zone 1, that's the orange
10 zone, that's where Liberty Utilities has the sole
11 financial responsibility for their work, so
12 that's what they're already required to do, where
13 they make sure there's no vegetation within four
14 feet of conductors at any given time. And they
15 also remove any surface fuels within ten feet of
16 the poles.

17 That blue area, the bright blue, that's
18 Zone 2, so that's where we really focus on
19 removing any dead, dying, diseased, defective
20 trees within felling distance of the power lines.
21 Also in Zone 2 a pretty importance piece is
22 general mitigation or fuels reduction. What
23 we're putting an emphasis on in the basin is
24 using those byproducts, like biomass, so not just
25 leaving them on site.

1 And then Zone 3 is really this broader
2 corridor that goes out to a total of about 1,000
3 feet. Again, it's a focus on fuels, but also
4 forest health, including restoration byproducts.

5 Going a little back to context, so that
6 was the crux of the idea as a power line
7 resilience corridor, let me just give you a bit
8 of context of why we're doing this and why it
9 matters.

10 So in terms of the impetus for change,
11 we've had 100 years of fire suppression after
12 clear cutting and we're being outpaced by climate
13 change. We have overly dense forests, degraded
14 watersheds, declining keystone species. It's
15 essential there that we match the scale of our
16 management activities to the scale of the
17 ecological processes that historically created
18 and maintained these landscapes. That's
19 particularly fire. The Sierra mixed-conifer
20 forests are fire-adapted forests.

21 So really what we've been looking at in
22 the basin is treating the general forest in
23 conjunction with communities so it's defensible
24 space, and also the wildland-urban interface.

25 If you look at fire modeling, you can see

1 that by treating the general forest, you can
2 actually reduce or minimize or dampen fire
3 behavior, even before it enters the wildland-
4 urban interface, and that's particularly
5 important in this age of the new abnormal. We
6 had, actually, an amendment to the 2017 -- 2014
7 fuel strategy, amended it a couple years later to
8 call this out, this integration of treating the
9 landscape and communities at the same time.

10 Large effort to integrate this or
11 operationalize this started in 2016. It's called
12 Lake Tahoe West Partnership. It stretches from
13 Emerald Bay in the south all the way up to Squaw
14 Valley. It's one single geography that covers
15 all jurisdictions moving, as you can see on the
16 left side, lots of great work, lots of projects,
17 but really to one landscape. So instead of piece
18 by piece or my work and your work, it's really
19 all the people at the table planning for all the
20 resources and landscape at one time.

21 I'm going to skip this slide, it's just a
22 bit more on the partnership, and go to the next
23 one.

24 This is the framework for that whole
25 planning effort, what we're calling the forest

1 landscape management cycle. Steps three through
2 seven are conventional, you know, planning all
3 the way through implementation monitoring. But
4 one thing that we had learned through a lot of
5 practice is really putting, number one, this
6 landscape assessment, number two, landscape
7 strategy at the beginning.

8 I guess I wasn't truthful. This is the
9 second technical diagram. I will walk you
10 through in detail. Ha-ha. Just kidding. But
11 this second technical diagram, what I wanted to
12 say, what was innovative about this was this
13 Quantitative Landscape Resilience Assessment.

14 Everyone talks about resilience but to
15 really quantify it, we had 19 different
16 indicators covering all the forest aspects, the
17 watershed aspects, and community aspects,
18 including cultural landscapes with the Washoe
19 Tribe, partnered a lot there with the U.S. Forest
20 Service. Scott Conway with their Remote Sensing
21 Lab, he took the LiDAR data and created what are
22 called eco objects which are the smallest
23 ecologically meaningful units, typically
24 individual trees or clumps of trees or gaps, as a
25 way to help us really map that out.

1 So this idea of heterogeneity, that's
2 kind of the underpinnings or the hallmark
3 innovation in this process to quantify that. Put
4 in simpler terms, it's basically just the
5 variation and the vertical structure of
6 vegetation. So you can think about the canopy at
7 the highest level, the midlevel of trees, and
8 then down towards the bottom, towards the forest
9 floor. So that's this idea of vertical
10 heterogeneity. And then you also have horizontal
11 heterogeneity, similar to what I mentioned
12 before, how are individual trees or clumps or
13 gaps spread across the landscape? So a
14 particularly important indicator of resilience
15 and landscape because it affects disturbance
16 behavior, like fire, it affects vegetative
17 regeneration, snow retention, and habitat
18 quality.

19 So through our quantitative assessment,
20 this is just what it looks like, again, I'm not
21 going to walk you through details, but basically
22 on the left side, the vertical heterogeneity, you
23 can see that they're -- well, you can't see but
24 I'll just interpret it for you, basically too
25 much forest near the forest floor. We don't have

1 that kind of canopy structure you'd expect in a
2 mature or an old-growth forest in the Sierra
3 Nevada. And on the right side for horizontal,
4 basically, too many clumps. We don't have enough
5 gaps on the landscape.

6 The second part of the process, as I
7 mentioned, was the landscape restoration
8 strategy. There's six different goals. It goes
9 through forests and floodplains and communities.
10 I won't go there. But the main point I wanted to
11 call out here is really this approach of working
12 at the landscape was to create these efficiencies
13 in planning and permitting, operations,
14 contracting, the actual costs associated with it,
15 and infrastructure.

16 Also important for the environmental
17 component is the ability to spread impacts over
18 space and time, whether that's sensitive
19 environmental species or that's watershed
20 effects, whatever it might be. We're aiming
21 really for one large project to cover that whole
22 landscape, including the general forest.

23 So as a recap, that hopefully gives a bit
24 of context now. Just to repeat this purposely at
25 the basin, the context for the power lines in the

1 basin in the landscape, you can see the
2 definition. Again, like I mentioned, that's why
3 it's now exciting to put all three pieces
4 together, the ignition hazards that Liberty would
5 typically manage plus fuels reduction plus forest
6 health, this idea of heterogeneity, to create
7 those efficiencies to get to pace and scale and
8 protect the landscape and communities at the same
9 time.

10 Just the zones again. So wrapping up
11 here, what's distinctive, this is a quote from
12 one of our partners, I just didn't get a chance
13 to get their names so I put them as anonymous,
14 but basically saying, "We used to view this as
15 separate pieces, you know? Liberty was doing the
16 trees that would hit the power lines and we would
17 manage the vegetation. We're actually talking
18 together at the same table now and doing the work
19 at the same time as we go through
20 implementation."

21 So we have about 17,000 acres that we
22 need to treat over the next several years. We
23 actually had a proposal in for about 7,000 by
24 2023, so we're on that path. And in terms of
25 status, great news, Liberty included this in

1 their Wildfire Mitigation Plan that was approved
2 at the end of May by the Public Utilities
3 Commission, so they're already starting some of
4 the work in that area.

5 We're trying to catch up. The Forest
6 Service has committed money to planning and
7 serving and site prep. They're going to look for
8 their implementation money this year. And we
9 also applied for a California Climate Investments
10 Grant. We weren't so lucky as to obtain that
11 this year but we'll reapply. And, also, we're
12 looking at other funding sources, so we can
13 really get that efficiency of being out on the
14 landscape at the same time. It's not all going to
15 be done in a year, so we're not worried, but
16 certainly, there's an urgency.

17 In terms of the bigger cost, everyone
18 wants to know about cost, this is part of a
19 larger forest action plan for the Tahoe Basin
20 that will be announced on August 20th. We have
21 an annual summit with governors and senators.
22 Governor Newsom is the keynote and Senator
23 Feinstein is the host. It's roughly about \$2
24 million a year for the first five years to
25 implement this project, and then about \$1 million

1 afterwards to get through and have all these
2 miles treated.

3 I just will say to be clear, because the
4 question always comes up, this does not include
5 Liberty Utilities costs. They are paying for
6 their own work. They are mandated, required to
7 do that. This is just the public land's
8 component from the Forest Service, State Parks,
9 California Tahoe Conservancy.

10 In terms of bigger desired outcomes,
11 these are the last two slides, we're very
12 excited. Again, thank you for the opportunity to
13 be here today to popularize this concept among
14 utilities and land managers and regulators. And
15 what we're also looking towards is really scaling
16 up this idea even larger through the Tahoe
17 Central Sierra Initiative. It's 2.4 million
18 acres, two state conservancies, three national
19 forests that includes, in the little green there,
20 that's that Lake Tahoe West project I mentioned,
21 some other work in the basin in the Upper Truckee
22 River Watershed, and then six other landscape
23 collaboratives.

24 So it's similar to what Nuin-Tara
25 mentioned earlier this morning. What we're

1 really looking to do is Tahoe as an anchor, or
2 one of the components, and move from projects to
3 landscapes to entire regions.

4 Thank you.

5 MR. FRANCO: Thank you very much, Dorian.

6 Our next speaker is Brian D'Agostino. I
7 think he has been in all our climate adaptation
8 workshops. He's the star of the show, in part
9 because San Diego Gas and Electric has done so
10 much. And I'm excited to let you know that what
11 we'll hear now from him is the latest of the
12 latest of what they have done since last year's
13 wildfires.

14 MR. D'AGOSTINO: Thank you very much,
15 Guido. I appreciate that. And thank you for the
16 opportunity to be here. Again, my name is Brian
17 D'Agostino. I'm the Director of Fire Science and
18 Climate Adaptation for San Diego Gas and
19 Electric. And a big part of what I want to share
20 today is what we've been working on.

21 I know the whole organization has really
22 been heads down, trying to enhance our fire
23 science and enhance our ability to deal with this
24 threat across the state of California. And a lot
25 of it is implementing our new Wildfire Mitigation

1 Plans and really making sure that we push those
2 forward.

3 So a couple areas I'm going to talk
4 about.

5 New weather technology. What are some of
6 the new tools that we're looking at? How are we
7 enhancing the science that we're bringing into
8 how we operate the grid in San Diego right now?

9 We're also going to talk about hardening
10 programs. I mean, as we look at climate
11 adaptation we focus on some of the physical
12 hardening of the infrastructure. So I'm going to
13 talk about kind of the new initiatives we're
14 doing there and the logic behind it and how we're
15 thinking about it. And then part of adaptation
16 right now is that we cannot do enough for our
17 communities in San Diego that we serve. So I
18 want to share the approach that we're taking to
19 do community outreach and try to get as much
20 information from the communities as we possibly
21 can moving forward.

22 First, I wanted to focus on weather
23 technology and enhancements we have. The whole
24 overall theme is artificial intelligence,
25 integrating big data, how do we take the latest

1 data science techniques and integrate it into how
2 we operate the system?

3 The first thing we're doing is rebuilding
4 our weather network. It's now ten years since we
5 started building what became the largest utility
6 weather network in the world. Now we're seeing
7 that expand. The other utilities in the state of
8 California are now building larger networks.
9 We're at 177 weather stations now. But part of
10 what we see from the Cal-Adapt work that we
11 integrate, we're really focused on that wildland-
12 urban interface. So as we expand our weather
13 network we're expecting to be at 225 weather
14 stations by the end of next year.

15 And it's not just where we find the
16 windiest areas or where this weather information
17 will best improve our fire models, but a big part
18 of it is we have to work with the electric
19 engineers on this system for PSPS events and,
20 say, a weather station located here will enable
21 us to operate and start to minimize the impact
22 that we could potentially have in a public safety
23 power shutoff. So the weather stations are
24 located not just for weather purposes but, also,
25 how does it fit into the public safety campaigns

1 and our ability to safely execute a public safety
2 power shutoff?

3 Another thing we look at, and we're
4 putting a lot of time and energy into expanding
5 the fire behavior models, there is a lot of room
6 for improvement, as we've heard. So we're
7 looking closely, one, at continuing to
8 collaborate with the ongoing statewide projects.
9 It's so exciting to see the open source
10 availability of this and I really look forward to
11 working together on this and collaborating moving
12 forward, but we're really syncing in census data,
13 building data.

14 We're at the point now where we're taking
15 our entire tree database of 465,000 trees and
16 putting them into the fire behavior modeling
17 systems so we can do risk assessments of every
18 tree that has the ability of hitting the power
19 lines.

20 And that's where this is continuing to
21 migrate. We're still simulating over 10 million
22 virtual fires every day. But now, based off
23 that, we can say, what risk does our entire tree
24 database pose every day moving forward.

25 Our fire potential index, that's our

1 seven-day outlook, that we're also integrating
2 updated fuels levels. We're doing higher
3 resolution on the models that are generating
4 that, so we continue to enhance them and refine
5 them every year moving forward.

6 A totally new index that we're looking at
7 this year, and we're just going to be
8 operationalizing it, is our vegetation risk
9 index. We don't feel like we can do enough
10 focusing on this area.

11 So what we did is we took our team of
12 arborists, our team of meteorologists, system
13 operators, and we all got together and said,
14 okay, we first did a spatial analysis and said
15 based off all our circuits, exactly how many
16 trees do we have? We did impact analysis on each
17 tree, saying there's a high potential that this
18 tree, it's made of a soft wood, it grows really
19 tall, and it has a higher potential of hitting
20 our system, so we started rating that higher. We
21 looked number of trees, how tall they were, and
22 did an index to say, this is a very high risk
23 portion of line for us.

24 So now what we can do is we can
25 prioritize this with our arborists to go in, do

1 higher frequency of inspections, we'll do larger
2 trim rates on that area. And if we get into a
3 really high risk event, maybe we don't operate
4 the system to the same high levels that we would
5 in other areas because we know there's this
6 external threat to the system there. So this is
7 an important upgrade that will be operationalized
8 this upcoming year.

9 And part of that is updating all the
10 tools that we use and the dashboards to integrate
11 this new technology. So in our Emergency
12 Operations Center this year, we have all
13 facelifts of all of our dashboards and
14 operational tools that our operators are using
15 that can start to flag these things. Whereas,
16 one of the examples, if we're coming into a high-
17 risk extreme weather event and we're monitoring a
18 circuit to try to decide whether we could
19 deenergize that if it poses an immediate threat
20 to that community, now we have the vegetation
21 information for that whole area right in front of
22 the decision maker.

23 But when we also have all of the
24 historical weather information. So we now have
25 ten years' worth of weather data for all of these

1 areas so we could say right now you're
2 approaching the 99th percentile of what this
3 circuit is used to seeing. And alarms go off and
4 it really helps us stay ahead of these extreme
5 weather events.

6 The hardening of the infrastructure, a
7 couple things that we looked at.

8 One is the pole risk mitigation and
9 engineering. One thing about building the
10 largest utility weather network that existed
11 anywhere in the world and running it for ten
12 years is you start to learn how windy it really
13 is, rather, how windy we thought it was. So that
14 requires us to go back and look at every single
15 pole out there, but now do it with an
16 understanding of what the winds are, not what we
17 had to build to in the code, if that makes sense.
18 So where something that may have been built
19 originally to 56 miles an hour, now we've
20 realized, it blows 80 miles an hour in that
21 canyon.

22 So now we go back with this new
23 knowledge. And we've replaced 375 poles in this
24 program so far this year. We'll do 700 by the
25 end of the year. We anticipate another 1,700 by

1 next year. But all of this is being prioritized
2 based off the windiest locations, so the highest
3 risk areas.

4 We're also looking at the Wire Safety
5 Enhancement Program. This is about the coastal
6 canyons. I mean, some of what we're seeing from
7 Cal-Adapt, you know, showing where the fire
8 threat is going, we're focusing on these areas,
9 targeting some of the older wire, starting to
10 harden the system, not only in the highest risk
11 areas on the top of the tallest mountain, but
12 also down in the coastal canyons as well. We're
13 focused on these areas.

14 And then as we look at outreach to our
15 customers, this is a critically important piece
16 of what we've been doing recently. And I think a
17 lot of it is more -- it's not just outreach, it's
18 trying to understand how the communities are
19 looking to receive help from the IOU.

20 So we took a different approach this year
21 and we started doing open houses. And we'd go
22 out to the high-impacted communities. And this
23 whole program is now run by a new community
24 resilience advisor who lives in the backcountry,
25 has a solid relationship with a lot of the

1 community members, and has gone out. And we've
2 done open houses and we've just brought booths,
3 this is how you update your contact information,
4 this is how you learn about what we're doing.
5 But then we've asked them for -- to fill out a
6 survey and say, what do you really need from us?
7 And then that helped us shape these wildfire
8 resiliency fairs. And the first one is actually
9 on Saturday.

10 But notice the community partners. So
11 this is where we started getting that input that,
12 you know, Feeding San Diego, the Fire Safe
13 Councils, the Humane Society, the food bank,
14 Community Emergency Response Teams, the Red
15 Cross, like these, this is what they were saying,
16 you know, we have to deal with food, and at the
17 same time, so we'll work with the food bank and
18 we'll do this big fair. So we've got three of
19 those scheduled, two are coming up weekends later
20 this month, and one in September. But it's going
21 to be that real chance for us to get out there
22 into the community.

23 Yesterday was also our first inaugural
24 Operation Fire Safe Day where we did a full
25 stand-down of the 4,100 employees that we have.

1 And we went in and said, everybody, it's time to
2 make a plan, build a kit, and stay informed, and
3 went through every -- went through all of those
4 with our entire organization, did media campaigns
5 with local television, got our local elected
6 officials involved. We did a declaration of
7 Operation Fire Safe Day. And we're just trying
8 to take an example in the community that we all
9 have to be ready. We gave away some backpacks
10 for preparedness. And we're actually going to
11 give away 1,000 of them to our backcountry during
12 the fairs that are coming up this week.

13 But our ability to communicate with our
14 customers is still critically important, so we
15 will be enhancing our ability to do customer
16 notifications because, in some cases, we're
17 reaching beyond just our customers and we're
18 reaching just to community member and those with
19 access and functional needs across our
20 populations. So we've updated our websites.
21 We'll be communicating in eight languages as we
22 head into this upcoming wildfire season.

23 And with that, I just appreciate the
24 opportunity to give this update and look forward
25 to any dialogue that follows it.

1 Thank you.

2 MR. FRANCO: Thank you, Brian. I think
3 you will be back next year.

4 Okay, our next speaker is Dr. Konsta
5 Georgakakos. He will give us an example of the
6 implementation of attractive adaptation option
7 that we kind of envisioned a long, long time ago.
8 In the early 2000s, I saw a presentation by
9 Konsta. I was highly impressed. At that time, I
10 was in charge of the Climate Change Program in
11 the research division. Well, the program was
12 only one person. That was easy to do. So the --
13 but to make it brief, it took more than 15 years
14 to -- of successful research projects to actually
15 start becoming operational. So that's the story
16 that Konsta is going to tell us.

17 DR. GEORGAKAKOS: Thank you, Guido. And
18 thank you very much for the invitation to present
19 the INFORM Project. So the INFORM Project is
20 about integrated reservoir management and the use
21 of probabilistic forecasts to enhance the
22 resilience of energy and water resources at the
23 regional level.

24 This is a collaborative work between two
25 organizations and several state and federal

1 agencies. The two organizations are the
2 Hydrologic Research Center and the Georgia Water
3 Resources Institute, both research technology
4 transfer science cooperation and training
5 organizations, and the first one with emphasis
6 and lead in hydroclimatic modeling prediction and
7 characterization of uncertainties, and the second
8 one with risk-based decision support.

9 So how does that turn on? Okay. Here we
10 go.

11 So the INFORM Project focuses on the
12 Sacramento River Drainage and the large
13 reservoirs that are present there. A system of
14 reservoirs such as those modulates, essentially,
15 the climate and weather variability to support a
16 range of socioeconomic and environmental
17 services, such as flood damage reduction,
18 hydroelectric power generation, water supply
19 conservation, ecosystem management and others.
20 The effectiveness of these reservoir systems
21 depends substantially on climatic variability and
22 trends, on sectoral demands variability and
23 trends, and interactions of resources and uses.

24 The challenge in the management is
25 highlighted with the 2006 and 2008 total water

1 deliveries from the system. In 2006, a wet year,
2 we had about 6 million acre feet of deliveries.
3 It was about half that in 2008, a fairly dry
4 year. And that makes it difficult to plan
5 downstream.

6 So the vision for the INFORM Project was
7 to improve multi-objective reservoir system
8 management in Northern California using climate-
9 hydrologic decision science to support inclusive
10 stakeholder decision processes.

11 So this is an example of research to
12 demonstration to operations. Research has
13 started a long time ago in the early '90s. And
14 the emphasis of research was in this issue of
15 coupled climate, weather and hydrology forecasts
16 and the generation of reliable uncertainty
17 measures after this coupling, and with seamless
18 predictions from lead times of six hours to nine
19 months, an emphasis on the available operational
20 data from agencies, such as the National Weather
21 Service and others.

22 The decision models also had a strong
23 research component. And the idea was to develop
24 reservoir system management templates with
25 explicit account of forecast uncertainty and with

1 multiple decisional horizons that match the
2 decisional horizons of six hours to nine months
3 that I mentioned.

4 Given our initial results for particular
5 parts of this system, several agencies decided to
6 proceed with a demonstration project, as Guido
7 mentioned, in the early 2000s. And the idea
8 there was to implement a virtual system and
9 compare, over several years, the performance of
10 that virtual system to the actual system of
11 operating this system of reservoirs.

12 Of course, during this period, we had
13 reciprocal training between forecasters, managers
14 from several agencies, and the developing
15 organizations. And I think it was due to that
16 training that we were able to demonstrate the
17 utility at the end of this demonstration period.

18 After the end of the demonstration period
19 the decision was made then to begin the
20 installation of the operational software in the
21 California Department of Water Resources
22 Sacramento Operational Facility, which was
23 completed, the first phase was completed last
24 year. And that facility now generates
25 information in terms of hydrology forecasts,

1 risk-based performance tradeoffs, and associated
2 decision policies to agency forecasters and
3 managers.

4 The funding for this work came from
5 research from the U.S. National Science
6 Foundation, NOAA, and USGS, as well as the
7 California Energy Commission, particularly as
8 regards to the impacts of climate and climate
9 variability and trends. The demonstration was
10 supported by NOAA, by CALFED, and by the
11 California Energy Commission over that period of
12 demonstration that lasted about 10 to 12 years.

13 Operations up to present have been
14 supported by the California Department of Water
15 Resources. You can see, at least of the
16 collaborating agencies, representatives of these
17 agencies served in the Oversight and
18 Implementation Committee and participated in
19 several workshops that led to the finalization of
20 the demonstration, of the shape, of the type of
21 system that we wanted to build and so on.

22 So the picture there at the bottom
23 indicates the idea in the demonstration where we
24 compared the actual system outputs driven by
25 operation rules and having the same input and

1 same system characteristics as the INFORM, with
2 the INFORM risk-based trade-off decisions that
3 were made by decisionmakers over a number of
4 years.

5 Very quickly, the INFORM system
6 components are a forecast component and a
7 management component. What I want to highlight
8 is that both components are very strongly linked
9 to operations and operational forecasts and take
10 these forecasts and develop assessments and
11 characterizations of the uncertainty in these
12 forecasts to generate ensemble inflow predictions
13 to all of the reservoirs in Northern California
14 at the approximately hydrologic scales.

15 The decision model takes these ensemble
16 predictions and generates risk-based tradeoffs
17 for reservoir managers who then look at these
18 tradeoffs and make decisions about what releases
19 to realize for the system. And then the
20 assessment system built basically quantifies
21 benefits post facto.

22 These are some examples that I put in
23 there. The first one looks at the projections
24 over a period of time, starting March 1, 2012, a
25 typical INFORM run. These projections are

1 compared to the historical averages. The
2 projections are for the mean stream flow
3 forecasts in this case. And you can see that the
4 projections depart substantially from the
5 historical inflows for this year. And, also, the
6 departure pattern is not consistent. In various
7 reservoir inflows the pattern changes.

8 We can also see down at the bottom that
9 in 2012, we've had, in terms of forecasts,
10 essentially, a year similar to 2008, which was a
11 dry year.

12 Another outcome for managers is this
13 associated mean trade-offs. So for a given water
14 delivery the system is optimized and maximizing
15 benefits to all reservoir system objectives in
16 terms of, shown here, carryover storage and
17 energy production and then compared to the
18 climatological mean trade-offs from the same
19 system.

20 So 2012 appears to be a drier year with
21 the shown impacts in terms of the maximized
22 trade-off points for carryover storage and
23 energy.

24 Going away from mean flows, the
25 availability of ensemble predictions that are

1 reliable allows us to take these predictions and
2 convert them to trade-off likelihood
3 probabilities for carryover storage, in this
4 case, and other system outputs. And decisions
5 then can be made as to how this compares to
6 historical information and whether the
7 uncertainty that is generated is narrow enough to
8 allow decisions to be made for a particular
9 trade-off curve.

10 For each trade-off curve the likelihood
11 of meeting various targets and constraints is
12 examined. We're looking at the environmental
13 constraints here at the base salinity interface,
14 the saline front that is mandated to be less
15 than -- thank you -- mandated to be less than 80
16 kilometers from the Golden Gate, and also the
17 water temperature at Jelly's Ferry in terms of
18 the ensemble prediction.

19 It also allows for the -- for those cases
20 that it -- some of the constraints the targets
21 have violated, it also allows for the
22 quantification of the probability of that
23 violation for each case.

24 An example of a final outcome from all
25 these demonstrations projects compares the actual

1 benefits. The actual system benefits with the
2 INFORM system benefits and the energy and
3 deliverables -- and deliveries that I show
4 indicate a more uniform performance by INFORM,
5 rather than by the actual system. So the
6 modulation of INFORM is a little more stable than
7 the actual system.

8 It also shows that the INFORM has higher
9 carryover storage, especially in the drier years,
10 and that helps with multi-year drought.

11 We incorporated INFORM within a climate
12 change analysis framework. And this was funded
13 by the California Energy Commission. And the
14 results indicate that the adaptive management
15 that INFORM implements fosters resilience to a
16 changing climate more than the actual management,
17 current management.

18 So in summary, essentially, I will skip
19 this, the promising future steps is to integrate
20 the INFORM with energy system management tools
21 for more efficient utilization of water and
22 energy resources in both sectors, we're thinking
23 of the hydropower ancillary services and
24 renewable resources and make for a more resilient
25 energy system operation as far as the reservoir

1 systems are concerned. And then the completion
2 of the real-time implementation at the Department
3 of Water Resources and extension to other river
4 basins.

5 Thank you.

6 MR. FRANCO: Thank you very much.

7 So with this, we'll be opening now for
8 questions from the dais.

9 VICE CHAIR SCOTT: Great. I have a whole
10 list but let me turn to my fellow Commissioners
11 and see.

12 I see Commissioner Randolph. Please go
13 ahead.

14 COMMISSIONER RANDOLPH: I have two questions,
15 if that's okay?

16 First, on the INFORM, you know, we're
17 highly dependent on or we're becoming more
18 dependent on northwest hydro imports. Is there
19 any move to potentially look at taking INFORM out
20 of state, as well as other locations in state?

21 DR. GEORGAKAKOS: (Off mic) Not that I
22 know of at this point.

23 COMMISSIONER RANDOLPH: Okay. Darn.

24 DR. GEORGAKAKOS: (Off mic) -

25 (Indiscernible.)

1 COMMISSIONER RANDOLPH: All right. Thank
2 you.

3 And then for Tahoe Conservancy, have
4 you -- how has the sort of community engagement
5 and conversation around your work been?

6 One of, to me, one of the benefits of
7 taking this partnership approach is that it's not
8 just the utility because they get criticized a
9 lot for vegetation management. And so I just
10 kind of wanted to hear what the response from the
11 community has been because a lot of people don't
12 like to see physical changes in their, you know,
13 tree landscape, but it's kind of critical and
14 kind of important. So I would love to hear how
15 the engagement has been on that level.

16 MR. FOUGERES: Sure. Thank you,
17 Commissioner.

18 Most of that work is done through the
19 Tahoe Fire and Fuels Team, which we're a part of,
20 along with the Forest Service. So it's the fire
21 districts which really are, I think it was one of
22 the previous speakers mentioning, they're the
23 trusted messenger. And so they have, just like
24 every other part of the state, these regular
25 campaigns on an annual basis, there's a whole

1 fire-adapted communities learning network.
2 University of California Cooperative Extension,
3 University of Nevada, Reno Cooperative Extension
4 are heavily involved as well. There's a whole
5 public information team. So there is a lot of
6 engagement.

7 The Angora Fire was so close and the
8 basin is isolated in the sense of the limited
9 evacuation egress routes. So it really got
10 people onboard about the need for treating fuels
11 in the forest.

12 So very much to your point, you know, if
13 you actually take out the tree next to my house,
14 you'd get lots of complaints. But in general,
15 for the work that's going on and the campaigns
16 and that larger scale and increased effort,
17 there's a lot of responsiveness for it.

18 Liberty also does their own parallel
19 public information campaigns with their mailers
20 and so forth. So it's been pretty well received.
21 I don't think people are tracking yet really on -
22 - so much on the general forest or power lines.
23 It's a little bit more wonkish. But in terms of
24 the overall commitment to that, what the agencies
25 have done, it's been well received. But like I

1 said, it still can provoke certain people.

2 COMMISSIONER MCALLISTER: One comment,
3 then a question.

4 So I was really happy that Guido could go
5 to Chile. And just noting, for everybody's
6 benefit, the next Council of Parties is actually
7 happening in Santiago in December. And so our
8 existing collaboration with Chile is going to
9 provide, I think, a nice basis for extending that
10 bilateral work, but also form, I think, a team
11 approach for how we engage with some of the
12 topics more broadly at the COP. So COP 25 in
13 December, that will be fun. So I was happy Guido
14 could go help set the stage for that.

15 So I have a question, more for Mr.
16 D'Agostino. Well, really, it's for all of you.
17 We do forecasting here at the Energy Commission.
18 And so we have to look at least ten years out and
19 help our energy systems plan for that, and our
20 utilities, et cetera. And scenario modeling is
21 becoming increasingly important as changes happen
22 more quickly than anticipated. And I'm
23 wondering, you know, in the case of, for example,
24 energy -- electricity demand, you know, well,
25 it's going to look different if we're modeling

1 for a couple of degrees warmer, you know,
2 projected to the future versus just sort of the
3 average of the last few years or using the last
4 few years of temperature data to model our energy
5 systems.

6 And I guess I'm wondering how -- what
7 kinds of tools or how explicitly you, in your
8 work, are actually not just sort of trying to get
9 a handle on what's happening today and, you know,
10 look at ranges and sort of, you know,
11 characterize that with some precision, but how
12 much projection forward you're actually doing,
13 say in the case of SDG&E, for your investments
14 and your systems? Are you actually investing or
15 using the data to project forward to invest in,
16 you know, in T&D for those future conditions?
17 And I guess, you know, your equivalents for the
18 other speakers, maybe, as well.

19 MR. D'AGOSTINO: Yeah. From my
20 perspective as the -- kind of the head of the
21 meteorology, the role I take with the load
22 forecasters is really looking at how does our
23 peak load change? The prioritization of the
24 funding, I would have to -- I'd have to circle
25 back to know exactly what projects are being done

1 as a result.

2 But as we look at the meteorology,
3 there's a couple things we're doing differently.
4 Whereas, we used to be looking at a very long
5 time horizon and now, of course, we're just
6 looking at the last few to several years to give
7 us an indication of what to expect.

8 But the other big change when we look at
9 load, I mean, especially speaking for San Diego,
10 is historically our peak load used to be Santa
11 Ana winds. I mean, it was hot, dry winds that
12 would come out and we'd have these daily peaks,
13 but that has changed over the last ten years. And
14 now we're looking at hot, humid air masses coming
15 up from the south with warmer water temperatures.

16 Last year we didn't set a new load but
17 our water temperature off San Diego is supposed
18 to be about 68, 69 degrees, and it was close to
19 80 for almost three weeks in a row, which kept --
20 our nighttime temperatures weren't even coming
21 down to what our normal daytime high was. And
22 that went on for weeks last summer and caused a
23 lot of challenges in operating the electric
24 system.

25 So what we're looking at now is a new

1 type of load. And we are working with the Cal-
2 Adapt Team closely and we are working with our
3 load forecasting teams as well. I mean, in this
4 room today is representatives from our Load
5 Forecasting Team as we continue to move forward
6 with this.

7 DR. SAAH: Just to build on that, so when
8 we talk about doing the long-term forecasting
9 (indiscernible).

10 VICE CHAIR SCOTT: Can you get just a
11 little closer to your mike?

12 DR. SAAH: How's that? There we go.

13 As part of the program that we're just
14 starting to implement right now, we're
15 collaborating with the Cal-Adapt Team to build
16 those scenarios that, you know, we're all
17 thinking about and talking about into those long-
18 term projections. So, you know, your instinct is
19 right on the money in terms of like what's going
20 to happen, how things are going to change over
21 time? And I think there are still some gaps in
22 that understanding that still need a little bit
23 of investigation.

24 MR. FOUGERES: Well, I had a tiny bit
25 more on David. This is Dorian Fougères with the

1 Tahoe Conservancy again.

2 For the landscape-level effort that I
3 mentioned, the Lake Tahoe West Restoration
4 Partnership, we started with scenario planning
5 for that very purpose. Altogether, that's about
6 five lead agencies and about 20 or so stakeholder
7 partners from a range of different backgrounds.

8 That then led into a landscape-level
9 modeling effort with a model called LANDIS 2.
10 Some of our partners, a lot of the work with the
11 Forest Service. That goes the whole -- it's
12 large scale, basically. It easily covers 60,000
13 acres, goes out 100 years into time. And so it's
14 nice because you can look at decadal changes in
15 vegetation, tree mortality and fire that has
16 weaknesses, but those are some of the strengths.
17 So that piece was really the crux to developing
18 and the landscape restoration strategy was the
19 modeling effort that went into it.

20 At the same time we're recognizing,
21 things change so fast. And so we actually
22 have -- we're working and finishing up this year
23 a basin-wide Integrated Vulnerability Assessment
24 and Action Plan for Climate Adaptation, which
25 includes, again, the forest, the actual lake, and

1 then the communities. As part of that we
2 recognize the need that we basically need more
3 robust climate scenarios. That was great to do
4 forest planning. But when you look at tourist
5 patterns, you look at emergency issues, you look
6 at public health and mental health, there's so
7 much more that goes beyond that that - I'm not
8 saying we're going to do scenario planning every
9 three years, you know, but certainly, you know,
10 every six seven years, there are just different
11 angles that we feel like we need to refresh if
12 we're really going to be putting these pieces
13 together.

14 VICE CHAIR SCOTT: I've got a question
15 for you about the magnitude of the resources.
16 And you put some dollar numbers up in terms of
17 people may be needed for that type of forest
18 management that you're talking about. I think
19 that that was really interesting. It seems very
20 cutting edge to me.

21 And then I'm wondering, also, is this
22 replicable; right? Like how do we take what
23 you're doing in the Tahoe Conservancy and apply
24 that to other forests all around California or
25 all around the west?

1 MR. FOUGERES: Yeah. The short answer is
2 that it was a big investment, partly because of
3 the economy there. It's \$6 billion, roughly, and
4 so recreation dependent that, in particular the
5 Forest Service was like, we've got to do
6 something. And they've been an anchor in the
7 partnership.

8 For that Lake Tahoe West, for the
9 restoration partnership effort with all the
10 modeling, not counting staff time, but it's
11 probably approaching -- well, basically, all the
12 planning, all the stakeholder engagement
13 facilitation services, probably about \$2 million.

14 For the power line resilience corridors,
15 as I mentioned, it's about \$15 million over a
16 decade. You do shift from initial treatments
17 then to maintenance at a point, so it definitely
18 decreases. But to your point, the take-home is,
19 yeah, we're not interested in doing this as a
20 one-off and doing this every time.

21 In fact, there was -- you couldn't see
22 it, but in the map there is the Upper Truckee
23 River Partnership, which is down to the south
24 now, so it's south of the project I mentioned.
25 We think we can do the assessment and strategy

1 for that within a year because we've built the
2 framework for the assessment. Yes, we need to
3 tweak some pieces, some indicators. We need to
4 add a little bit more because there was a more of
5 a watershed focus there. But it's purposely not
6 two-and-a-half years of planning to get there.

7 And by the same extension, that's the
8 same approach we're taking with the Tahoe Central
9 Sierra Initiative. There are lot of great
10 landscape collaboratives or groups there that are
11 pushing out these pieces. There's a lot of
12 regular exchange and so forth.

13 So very much to your point, we're willing
14 to make that initial investment. But to go
15 basin-wide and have that, it can't take so long
16 again.

17 VICE CHAIR SCOTT: Also, you mentioned
18 during your presentation the Quantitative
19 Landscape Resilience Assessment. Will you please
20 make sure we have that in our docket? I think
21 that would be really helpful for us.

22 I had a question, also, for Dr. Saah. At
23 the beginning, you mentioned that you're looking
24 for some constructive feedback on the modeling.
25 Do you have kind of an outreach plan? Are you

1 going to let people know when the model is ready
2 or what are the best times to engage to really
3 get that information in? Because I think that's
4 incredibly important. And the modeling effort to
5 try to look into the future and understand these
6 trends and changes that used to be, you know,
7 unique and outside of our skill but actually are
8 now more kind of the scale of the typical things
9 we're starting to see is really important. So
10 I'm just wondering how you're going to get that
11 additional information in?

12 DR. SAAH: So we just signed off our
13 kickoff meeting paperwork yesterday, so we're
14 very excited to get started.

15 One of the first things we're really
16 working on is getting a Technical Advisory
17 Committee. And I see some folks on this table
18 that I'm hoping will be able to participate in
19 that. And then attached to that, we actually do
20 have an outreach and stakeholder engagement
21 process that we will release to you. And
22 hopefully you could help us publicize it as soon
23 as we get the details in place, but there is a
24 plan in place to do it. The details and the
25 dates, I don't have yet, but it's going to be

1 statewide process.

2 VICE CHAIR SCOTT: And just, I have one
3 more, and then I'm going to turn it over to
4 Commissioner Monahan because she has kind of a
5 macro question that I think will take us up to
6 12:30.

7 But I wanted to get -- maybe my question
8 is a little bit of a macro question, too, so
9 maybe brief answers to it.

10 Many of you have mentioned, and I think
11 we all know this, climate change is going a lot
12 faster than our ability to keep up with it;
13 right? So we've got forest management we need to
14 do. We're looking at the reservoirs. We have
15 planning that we're trying to do. We have models
16 that we're trying to put together. And I would
17 love your take on how do we go faster? What kind
18 of things do we need to do in this space to make
19 sure that we're doing our best to keep up or even
20 get out ahead of things? And so if you have some
21 good ideas here, I think that would be great.

22 And I just wanted, also, to make a
23 comment about the science that you all have
24 presented and have talked to us about. To me,
25 it's really impactful and it's meaningful science

1 and it matters. And it helps us inform
2 decisions. And so I'm just excited that we've
3 had this discussion and workshop today. I wanted
4 to make that comment as well.

5 But if you have thoughts about how we can
6 do this faster; right?

7 So, Dorian, you mentioned that instead of
8 taking two-and-a-half years to plan the next one
9 will probably only take a year. And getting the
10 modeling, getting the information, I would love
11 to maybe just really brief comments on that and
12 then I'll turn it to Commissioner Monahan for the
13 last question.

14 DR. SAAH: I'll take the first crack at
15 it. I mean, we're entering this world into this
16 no analog scenario. We have no idea how this
17 thing is going to work. And if you look at the
18 way our infrastructure has been built for a long
19 time, our scientific infrastructure, it's been
20 built around competitive science. I think that
21 era is over. I think we really need to get into
22 collaborative science and the place where we
23 learn from each other as quickly as we can, we
24 change things as quickly as we can, and we're
25 open to those conversations.

1 I know the project that we're starting,
2 that's built in place. I know the collaboration
3 that we've had with Brian's group before with
4 some of the CPUC mapping efforts that we've done
5 beforehand, a similar sort of approach has
6 worked, and I think that's going to be the way
7 that we can solve this sort of thing in the
8 future.

9 MR. D'AGOSTINO: I'm just going to second
10 that, that our ability to work with each other at
11 this point is really going to help us move
12 faster.

13 COMMISSIONER MONAHAN: Well, I'm
14 sensitive to -- oh, do you want to respond,
15 Dorian?

16 MR. FOUGERES: Sure. I'll just say
17 briefly, I mean, you know, we're finally shifting
18 from assessment to planning. If you look at the
19 literature on how much goes into assessments and
20 the trends, I think we're finally getting there.
21 So we are taking a careful look at actually how
22 we do planning. Part of that is just by reading
23 and staying current with the literature around
24 decision windows or maladaptation.

25 But really, one of the big things that

1 we've looked at there is coupling forecasting
2 with really integrating observed conditions in
3 the field because it changes so fast. So really
4 to have that on, you know, a one- or two-year
5 basis versus saying, oh, well, that wasn't
6 supposed to happen for 15 years, we want to have
7 both.

8 And then the last piece I'll say is that
9 we know, like it's not like we can do the action
10 plan or the vulnerability assessment when we're
11 done. So we really kind of view it as an ongoing
12 reiterative, whatever, interactive process to get
13 through that, so not giving up on the commitment.

14 DR. GEORGAKAKOS: I wanted to second that
15 last thought in that the demonstration project,
16 INFORM, has shown that adaptive management where
17 you're taking into consideration the latest
18 information and the latest projections on many
19 scales, not just one, short or long, on many
20 scales really provides a very effective
21 management support. And I hope that it's, for
22 reservoir management, systems of reservoirs, it
23 is something that has to be developed in
24 collaboration with the operating agencies and
25 management agencies, that what is done, and

1 INFORM shows that it's feasible to be done, to
2 move to operations.

3 I think we may have a good tool to be
4 able to anticipate some of the fast or slow
5 changes that are coming up in terms of many
6 system objectives, so at least that has been our
7 experience.

8 VICE CHAIR SCOTT: So I do want to be
9 mindful of time. It is 12:30. But if folks want
10 to indulge us with maybe about four more minutes,
11 maybe you can ask your question and we could get
12 real high-level thoughts from each one of you on
13 that, that would be terrific.

14 COMMISSIONER MONAHAN: Now I'm afraid to
15 ask the question because everybody's hungry.
16 That's never good.

17 Well, you know, this was a great panel.
18 And I was actually very curious, because you all
19 are in the weeds doing this analysis that's
20 critically important to decision making. And I
21 was curious if you had burning question for each
22 other? My worry is that we do not have time for
23 scientists to respond to questions.

24 So I'll leave it just if there -- if you
25 did have a thought, just that you would want to

1 share with your fellow researchers in terms of
2 where you saw opportunity or where you thought,
3 hmm, this might pose a risk or a challenge, are
4 there -- is there anything burning that you would
5 like to say to each other?

6 MR. FOUGERES: I don't have burning
7 questions or anything like that. But I will say,
8 it was fun to meet David in person because we've
9 overlapped a little bit. And so we've already
10 talked and agreed to share some of the work that
11 we've done at Lake Tahoe West. It's just a very
12 similar effort, so kind of putting those together
13 to reduce, not to avoid duplication but really to
14 find the complementary aspects, because I'm very
15 excited to hear about the work that they're
16 embarking upon.

17 The only other thing I'll say is, you
18 know, listening to Brian and thinking about our
19 Liberty Utility partners, I'm just wondering
20 about some opportunity for exchange among the
21 utilities? Because in the Tahoe Central Sierra
22 Initiative landscape, the 2.4 million acres,
23 that's PG&E as the utility provider there. So
24 just even being able to take what Brian put on
25 his slides and be able to share that with my

1 Liberty partners, to have some of that peer-to-
2 peer exchange, it's not the Tahoe Conservancy as
3 a state agency but the utilities, it would really
4 help what we're doing in the basin.

5 MR. D'AGOSTINO: Just as a brief final
6 thought, you know, there's a lot of potential
7 collaboration here and we have been working a
8 lot, utility to utility. I think there is this
9 new environment that we've talked about where
10 kind of all these walls are down. Everybody's
11 sharing everything and it's just for the good of
12 our communities now at this point. I think that
13 everybody has the same purpose in this space
14 right now, so I think that's going to continue to
15 drive the ongoing collaboration.

16 DR. SAAH: Yeah. I'm just looking
17 forward to the sidebar conversations that I'm
18 hoping we can start during lunch.

19 VICE CHAIR SCOTT: Last word? No? Okay.
20 All right.

21 Well, this was another excellent panel.
22 Thank you so much for lending your expertise and
23 spending time with us today. Thank you. Please
24 do send all/any additional thoughts into our
25 docket so we can make sure we get a really great

1 chapter written out of this fantastic
2 conversation. We appreciate you being here.
3 Thank you so much.

4 And thank you for moderating it, Guido.

5 (Applause)

6 VICE CHAIR SCOTT: Okay, we're now going
7 to transition into our public comment period. I
8 only have two blue cards. If you're in the room
9 and want to make a comment, please do fill out a
10 blue card, get it to Heather, she'll get it to
11 me. And then my understanding is we have a
12 couple of things that Heather will read to us
13 from the WebEx as well.

14 So our first come is Jennifer Pezda.

15 COMMISSIONER RANDOLPH: And this is
16 Commissioner Randolph. I just wanted to
17 apologize. I have to run back to San Francisco
18 for a meeting, so I'm sorry I'm missing public
19 comment, which is always, you know, something I
20 look forward to, but I'll read it later.

21 VICE CHAIR SCOTT: Thank you so much for
22 being here with us. It was great to have you
23 hear.

24 Jennifer, please go ahead. Yes. Make
25 sure it's on.

1 MS. PEZDA: Hello? Does it seem on? Oh,
2 it is on. Cool.

3 Hi. My name is Jennifer Pezda. I'm here
4 on behalf of SoCalGas.

5 As we all know, the state is likely to
6 face increasing frequency and severity of climate
7 change disasters, including wildfires, floods and
8 other calamities. As stated at least year's
9 workshop, SoCalGas is committed to continually
10 enhancing the suitability of the natural gas
11 system to preserve the availability of balanced
12 forms of energy that have proven integral in
13 helping communities be more resilient in the face
14 of climate change.

15 Last year we shared a set of case studies
16 highlighting the resilience of the natural gas
17 sector to four climate related disasters. And
18 this year we've expanded on this work and added
19 two additional events which include impacts from
20 Hurricane Michael and the 2018 Woolsey and Hill
21 Fires. They've expanded these studies,
22 summarized the damages and disruptions
23 experienced, the resilience successes, and the
24 lessons learned about opportunities to increase
25 resilience across the energy sector.

1 The primary takeaway has showed that,
2 one, the resiliency of the natural gas system
3 enabled thousands of residents to have heat and
4 hot water at their homes when the electric grid
5 was down, especially for days to weeks at a time.
6 Two, the natural gas system provides lifesaving
7 backup generation for critical resources and
8 uses, like hospitals and relief centers, through
9 the use of fuel cells or combined heat and power
10 system. And three, the transit buses, garbage
11 trucks and other vehicles servicing critical
12 infrastructure needs that run on CNG or LNG can
13 keep cities running during emergency response
14 situations.

15 Oh, sure. Sorry.

16 These findings emphasize that the serious
17 consequences that can occur from relying on only
18 a single energy resource, especially one that is
19 highly exposed and vulnerable to service
20 disruptions caused by fires, hurricanes and other
21 natural disasters.

22 SoCalGas continues to actively engage
23 with the resiliency and adaptation efforts of all
24 the cities and counties we serve, which includes
25 working closely with local governments to assist

1 them in their planning efforts for climate
2 adaptation and hazard mitigation. In addition,
3 we are now taking applications for our second
4 Climate Adaptation and Resiliency Planning Grant
5 Program which awards \$100,000 to local
6 governments for local climate adaptation and
7 resilience planning efforts as required by Senate
8 Bill 379.

9 With that said, we appreciate the
10 research the CEC and the CPUC is doing around
11 climate change adaptation and resiliency. We
12 hope that both agencies recognize that the
13 natural gas grid should not be overlooked when
14 addressing climate change mitigation and
15 adaptation strategies. The natural gas grid is a
16 valuable asset that provides reliable, affordable
17 energy and is less vulnerable to disruptions
18 caused from wildfires and other natural
19 disasters.

20 We will be providing comments or
21 additional comments that we will elaborate on
22 regarding how natural gas and renewable natural
23 gas can help improve resiliency in communities
24 vulnerable to climate-related natural disasters
25 and plan to share these case studies that I

1 referenced earlier as soon as we have them
2 finalized.

3 Thank you for your time.

4 VICE CHAIR SCOTT: Thank you.

5 I have Lauren Cullum please.

6 MS. CULLUM: Hello. So I'm Lauren Cullum
7 on behalf of Sierra Club California. Thank you
8 for the opportunity to comment today and for
9 hosting this workshop on climate adaptation.

10 We agree with a lot of what was said,
11 especially concerning community resilience. We
12 agree that it is incredibly important to work
13 closely with community members through education,
14 outreach and other engagement efforts. This can
15 help ensure that determinations of what a
16 particular community faces in terms of climate
17 risks and what those communities need to help
18 build up resilience is coming from the residents
19 themselves. Each community across our state is
20 faced with different climate risks, has different
21 challenges and barriers, and has a different set
22 of needs and capabilities.

23 And in facilitating this community-driven
24 resilience, we need to make sure that we don't
25 lose sight of our clean energy goals and

1 encourage an infrastructure that supports our
2 need to get off of gas, whether that means more
3 microgrids in rural communities, more EV charging
4 stations evenly dispersed throughout the state,
5 stop having dangerous pipelines that are in
6 vulnerable communities, more electric homes, et
7 cetera, and anything else that can help in our
8 state's transition to clean -- relying on clean
9 renewable energy.

10 Thank you.

11 VICE CHAIR SCOTT: Thank you.

12 I have Julia Levin.

13 MS. LEVIN: Good afternoon, Vice Chair
14 and Commissioners. It's great to see you all
15 here. Thank you for doing this. This is
16 incredibly important and timely.

17 I wanted just to bring up a couple of
18 things that, really, I don't think have been
19 addressed this morning or today, starting with SB
20 1383 and the state's Short-Lived Climate
21 Pollutant Strategy.

22 Commissioner Scott, you asked, how do we
23 accelerate all of this? How do we go more
24 quickly? And I think one of the most obvious
25 ways to go more quickly is to take climate

1 actions that both reduce emissions and provide
2 adaptation benefits.

3 And in the Short-Lived Climate Pollutant
4 Strategy the vast majority of the strategy is
5 relying on bioenergy to address all of our
6 organic waste that would otherwise go to a
7 landfill, or dairies that are releasing methane,
8 as well as forest and agricultural waste that,
9 when it's burned, produces black carbon, by far
10 the most damaging climate pollutant.

11 More than a third of the state's entire
12 climate scoping plan for 2030 to meet the
13 requirements of SB 32, more than a third of all
14 the emissions reductions have to come from the
15 reductions of short-lived climate pollutants.

16 So what does that have to do with what
17 you're talking about today with climate
18 adaptation? All of that organic waste that has
19 to be diverted away from landfills now under SB
20 1383, it's 15 million tons a year that has to go
21 bioenergy and compost production instead of going
22 to landfills, plus all the forest waste that the
23 Tahoe Conservancy and others are talking about is
24 now required by state law. Last year we enacted
25 SB 901. It requires a doubling of forest fuel

1 removal. And then we have all the other
2 vegetation removal. All of that can be used to
3 produce local energy supplies and provide climate
4 resilience.

5 And especially in rural communities where
6 we have all of this forest waste and other
7 vegetation that needs to be removed, that can be
8 used locally to provide energy security. And
9 these are some of the communities around the
10 state that are most vulnerable to public safety
11 power shutoffs. They will have a local energy
12 supply if that forest and agricultural waste,
13 other vegetation removed for wildfire reduction,
14 is used to produce local energy supplies. So we
15 really need to concentrate on that.

16 But even in urban areas, we have over 500
17 wastewater treatment facilities in California,
18 over 300 landfills. We're going to have all this
19 diverted organic waste. That can also provide
20 local energy supplies in urban areas so that
21 instead of going to diesel backup generators and
22 other fossil fuels, particularly for emergency
23 services, our wastewater treatment facilities,
24 our hospitals, they're all investing in diesel
25 backup generators right now because they're

1 terrified of the impacts of public safety power
2 shutoffs. They could be running on biogas
3 instead. And if we put that biogas into a fuel
4 cell, then we have no combustion at any point in
5 the process. And so we have enormous climate
6 benefits and air quality benefits that will
7 provide more grid resilience.

8 I think I'm going to leave it at that.
9 Thank you very much.

10 VICE CHAIR SCOTT: Thank you.

11 And then I don't have any other blue
12 cards.

13 So let me turn to Heather. I believe she
14 had a few comments to read from the WebEx.

15 MS. RAITT: Okay. Great. So first is
16 from Tom Phillips. It says,

17 "FYI, the recent update to CHPS" -- can you
18 not hear me? Okay. Sorry -- "CHPS.net
19 rating criteria includes climate adaptation
20 and resilience credits for sustainable
21 healthy schools in California and other
22 states. This includes low carbon backup
23 power for schools and planning as community
24 emergency shelters, as well as lifecycle
25 long-term energy and thermal health

1 performance under climate change.”

2 Okay. And then there’s a few comments
3 from Claire Warshaw that I will read.

4 COMMISSIONER MCALLISTER: Hey, Heather,
5 can I just --

6 MS. RAITT: Yes?

7 COMMISSIONER MCALLISTER: So the C-H-P-S,
8 CHPS, is the Collaborative for High-Performance
9 Schools. I think that’s what that was about --

10 MS. RAITT: Okay.

11 COMMISSIONER MCALLISTER: -- just to be
12 clear for the record.

13 MS. RAITT: Okay. Thank you.

14 Next, from Clair Warshaw.

15 “Envoy Electric Car Share has shared options
16 for multiunit complexes which might be worth
17 sharing with manufactured home parks.”

18 She also says,

19 “I agree, literacy is a huge issue. And
20 wanting to read is a huge issue. There is so
21 much need to read and understand what is best
22 for the community, for a community.”

23 Next,

24 “Perhaps using social media more to share
25 various programs reaches out to a broad

1 audience. You can link your more
2 sophisticated websites to the social media
3 posts. It is cheap advertisement for your
4 programs. Commissioner McAllister is correct
5 in how hard it is to address the various
6 community groups who can be so extremely --
7 have such extremely different ideologies."

8 So bear with me. Let's see.

9 "Is anyone doing risk assessments of wireless
10 energy fields in terms of fire behavior? I
11 know this much be an unpopular research
12 choice. It seems fire danger and drought
13 changed drastically in 2016 when our new
14 president was elected. California has had a
15 huge defense industry for a while. SpaceX
16 sent up another satellite, according to the
17 news yesterday, possibly shooting another
18 hole in our ozone. No one regulates that
19 fancy stuff it seems.

20 "Is there any way to figure out if
21 satellites, and their connections to earth
22 and panel meters, cell phone connections are
23 playing a role in spreading wildfires? Would
24 one not want to make wireless communication
25 shut down, except for certain emergency

1 phones during wind events, for example?

2 "The other thing is California has had a long
3 history of drought periods. See the book
4 Cadillac Desert. Despite that, urban
5 wildfires with professionals nearby to fight
6 make little sense. Arson-angry professionals
7 may play roles.

8 I think there's one last one from Claire.

9 "There could be social media posts about how
10 landowners are responsible for their own
11 vegetation management and information on how
12 these small clearances, five to ten feet,
13 make little difference in a big dry windstorm
14 if there are dry trees and vegetation.

15 Taking care of trees matters. They do not
16 burn as much as certain kinds of vegetation
17 has a higher oil content true, for example,
18 oleander and eucalyptus burns even without
19 dry leaves from what I have understood."

20 And that's all I have. Thanks.

21 VICE CHAIR SCOTT: And do we have any
22 other comment on the WebEx?

23 MS. RAITT: We do.

24 VICE CHAIR SCOTT: Okay.

25 MS. RAITT: Tom Levin, we'll go ahead and

1 open up your line.

2 MR. PHILLIPS: Hi. This is Tom Phillips.

3 Am I on?

4 MS. RAITT: Oh, yes. Go ahead please.

5 MR. PHILLIPS: Hi. Yeah. Two quick
6 questions, one in terms of demonstration
7 projects.

8 Do we have a listing anywhere or a
9 network of (indiscernible) buildings and schools
10 and other things, as well as fire departments,
11 that are doing not only the short-term resilient
12 design but also long-term adaptation?

13 And then the second question is in terms
14 of the increasing rate of climate change and more
15 and more potential tipping points that we're
16 discovering, are the utilities or others looking
17 at some of these really extreme events, such as
18 the megadroughts or the atmospheric rivers which
19 produce, you know, huge wind speeds and severe
20 heat impacts and so on?

21 Thank you.

22 VICE CHAIR SCOTT: Thank you. We
23 will -- one place to look, I think, would be on
24 the -- and this is Energy Commission centric, so
25 it's not a, you know, clearinghouse of

1 everything, but take a look at the Energy
2 Commission web page under EPIC, E-P-I-C. It has
3 a lot of interesting information about the
4 projects that we've funded in that space. And
5 there's also an energy innovations area that you
6 can look at as well.

7 Do we have any other comment on the
8 WebEx?

9 MS. RAITT: I don't think so.

10 VICE CHAIR SCOTT: Okay. So that is all
11 of our public comment. I want to thank again all
12 of our panelists and moderators. This was a
13 really interesting and robust discussion. I feel
14 like we all learned a lot today. And also to the
15 engaged participation from our audience.

16 So we are adjourned.

17 (The workshop adjourned at 12:48 p.m.)

18

19

20

21

22

23

24

25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 24th day of September, 2019.



Eduwiges Lastra
CER-915

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 24th day of September, 2019.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852