

**DOCKETED**

<b>Docket Number:</b>	19-IEPR-03
<b>Project Title:</b>	Electricity and Natural Gas Demand Forecast
<b>TN #:</b>	230332
<b>Document Title:</b>	Transcript of the August 15, 2019 IEPR Commissioner Workshop
<b>Description:</b>	IEPR COMMISSIONER WORKSHOP ON THE 2019 CALIFORNIA ENERGY DEMAND PRELIMINARY ELECTRICITY AND NATURAL GAS DEMAND FORECAST
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	10/24/2019 9:11:08 AM
<b>Docketed Date:</b>	10/24/2019

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the matter of: ) Docket No. 19-IEPR-03  
)  
2019 Integrated Energy Policy ) RE: Electricity and  
Report ) Natural Gas Demand  
) Forecast  
\_\_\_\_\_)

IEPR COMMISSIONER WORKSHOP ON THE  
2019 CALIFORNIA ENERGY DEMAND PRELIMINARY  
ELECTRICITY AND NATURAL GAS DEMAND FORECAST

WARREN-ALQUIST STATE ENERGY BUILDING  
1516 NINTH STREET  
1ST FLOOR, ARTHUR ROSENFELD HEARING ROOM  
SACRAMENTO, CALIFORNIA 95814

THURSDAY, AUGUST 15, 2019

10:53 A.M.

Reported By:

Lucien Newell

## APPEARANCES

California Energy Commissioners and Advisors

J. Andrew McAllister, Commissioner

Rhetta deMesa, Advisor to Vice Chair Scott

California Energy Commission Staff

Nick Fugate

Ingrid Neumann

Cary Garcia

Mark Palmere

Sudhakar Konala

Chris Kavalec

Other Presenters

Kevin McCabe, National Renewable Energy Laboratory

Also Present

Ken Schiermeyer, San Diego Gas & Electric

Ben Kolnowski, Pacific Gas & Electric

Sean Hernandez, Southern California Edison

Bingbing Zhang, Los Angeles Department of Water and Power

## INDEX

	Page
Introduction - Nick Fugate	
Opening Comments	
J. Andrew McAllister, Commissioner, California Energy Commission	6
1. Preliminary Forecast Scope - Nick Fugate, California Energy Commission	10
2. Additional Achievable Energy Efficiency Scenarios - Ingrid Neumann, California Energy Commission	15
3. Forecast Methods and Statewide Results Gary Garcia, California Energy Commission	33
4. Electric Vehicle Forecast - Mark Palmere, California Energy Commission	56
5. Self-Generation Forecast - Sudhakar Konala, California Energy Commission	67
6. dGen Model and Preliminary Projections Kevin McCabe, National Renewable Energy Laboratory	88
7. Hourly Modeling Results - Chris Kavalec, California Energy Commission	108
8. Individual Utility Planning Area Forecasts	
San Diego Gas & Electric Energy Commission staff presentation - Cary Garcia	132
Comments from San Diego Gas & Electric Ken Schiermeyer	137
Pacific Gas & Electric Energy Commission staff presentation - Cary Garcia	138
Comments from Pacific Gas & Electric Ben Kolnowski	142

## INDEX (CONT.)

	Page
8. Individual Utility Planning Area Forecasts (Cont.)	
Southern California Edison	
Energy Commission staff presentation - Cary Garcia	144
Comments from Southern California Edison Sean Hernandez	149
Sacramento Municipal Utility District	
Energy Commission staff presentation - Cary Garcia	151
Comments from Sacramento Municipal Utility District -	
Los Angeles Department of Water and Power	
Energy Commission staff presentation - Cary Garcia	161
Comments from Los Angeles Department of Water and Power - Bingbing Zhang	165
Public Comments	
Closing Remarks	168
Adjournment	169
Reporter's Certificate	170
Transcriber's Certificate	171

1 P R O C E E D I N G S

2 AUGUST 15, 2019 10:00 A.M.

3 MR. FUGATE: Okay, thank you, everyone. Again,  
4 sorry for the delay. Appreciate your patience. We're  
5 going to go ahead and get started.

6 Welcome to today's 2019 IEPR Commissioner  
7 Workshop on the Preliminary Energy -- California Energy  
8 Demand Forecast.

9 I'm Nick Fugate with the Energy Commission's  
10 Assessments Division. And I'm going to run through a  
11 few housekeeping items real quick.

12 Restrooms are in the atrium, out the door and to  
13 your left. If there's an emergency and we need to  
14 evacuate, please follow staff to Roosevelt Park. It's  
15 directly across the 9th and P intersection.

16 The workshop is being broadcast through our  
17 WebEx conferencing system, so just be aware that  
18 everything is being recorded today. We'll post the  
19 audio recording to the Energy Commission's website in  
20 about a week, and the written transcript in a month.

21 At the end of the workshop, there will be an  
22 opportunity for public comments. We're asking parties  
23 to limit their comments to three minutes. For those in  
24 the room who would like to make comments, please fill  
25 out a blue card and give it to me. And when it's your

1 turn to speak, please come up to the center lectern and  
2 speak directly into the microphone. It's also helpful  
3 if you can identify your name and affiliation for the  
4 record. And if you have a business card, please leave  
5 it with our court reporter.

6 For WebEx participants, you can use the raise  
7 hand feature and we will call on you during the comment  
8 period.

9 Materials for this meeting are available on the  
10 website and hardcopies are on the table, at the  
11 entrance.

12 Written comments on today's topics are due in  
13 two weeks. That's Thursday, August 29th. The workshop  
14 notice explains the process for submitting written  
15 comments.

16 And, finally, I'd like to thank everyone for  
17 being here today. I'll remind everyone, one last time,  
18 if you're speaking, please identify yourself for the  
19 record.

20 And with that, before we begin our  
21 presentations, I'll turn it over to the dais for any  
22 comments.

23 COMMISSIONER MCALLISTER: All right. Thank you,  
24 Nick, appreciate it. Again, really appreciate  
25 everybody's patience. It's a very rare occurrence,

1 actually, that we start late. Usually, we're right on  
2 time. So, apologize for that.

3 My name's Andrew McAllister. I'm the Lead  
4 Commissioner on energy efficiency and energy  
5 assessments, and looking at, and leading the forecasting  
6 work this year.

7 And a lot is going on with the forecasting. I'm  
8 going to be brief, actually, so we can kind of make up a  
9 little bit of time. One thing I wanted to say, we still  
10 will stop at 11:45 and we still will pick up at 1:15. I  
11 have to be in the capitol building from noon to one.  
12 So, that we'll just go as far as we can until 11:45, and  
13 then pick up at 1:15.

14 So, obviously, the forecasting is bread and  
15 butter for the Energy Commission. At the same time --  
16 you know, we've been doing it for a long time, but at  
17 the same time there is a lot of innovation happening in  
18 this space. We're firmly in the digital age. We have  
19 access to a lot more data than we ever have. And we  
20 also need a lot more information than we ever have  
21 needed to be able to do forecasting in this new, complex  
22 energy environment that we're in today. With  
23 distributed energy, with all the great technologies,  
24 with really looking to a much diverse set of resources,  
25 most of which are distributed or many of which are

1 distributed. And looking at how we can anticipate  
2 what's coming in a much more robust, and localized, and  
3 increasingly temporal way.

4           So, our forecasting kind of to-do list gets  
5 bigger, even as we have all these tools to help us  
6 answer a lot of these questions.

7           So, you are all part of this discussion and we  
8 need your creativity and vision, as well, to inform what  
9 we're doing. And, you know, we realize there's an  
10 audience for this forecast that has to digest it and use  
11 it, and including across the other agencies, the PUC,  
12 and the ISO, and many other folks outside of this  
13 building.

14           So, it really is a big lift, with lots of  
15 participation. At the same time, it's a little bit, you  
16 know, for the uninitiated, a little bit obtuse and a  
17 little bit of a foreign language. So, our effort with  
18 these workshops is to not have it be insider baseball as  
19 much as possible. And really, try to have a  
20 conversation that is informed by as many stakeholders,  
21 as many knowledgeable stakeholders as possible, so we  
22 can have a product that really stands up over time.

23           And so, there's the forecast itself and then  
24 there's the methodology. And at the same time, we're  
25 doing the forecast this year, we're also thinking about

1 the methodology and how that's going to evolve going  
2 forward. And so, there are multiple sort of layers to  
3 this. I think probably more so this year than perhaps  
4 in the past.

5 We have a great team on this, who will, in their  
6 turn speak, and I have a lot of confidence in the work  
7 that they're doing. And, hopefully, that will come  
8 across in the presentations.

9 And your comments, coming in to help inform the  
10 next steps, are equally critical. So, really appreciate  
11 everyone coming today, both here in the room and online.  
12 And really looking forward to comments and insights  
13 along the way as we proceed through this year's forecast  
14 development.

15 And I want to thank Nick and the team. I see  
16 Cary, and Chris, and the whole team here with us, and  
17 you'll hear from them in turn.

18 And then, in the afternoon, the utilities and  
19 their individual presentations and contributions.

20 So, I'm grateful to be joined by Rhetta deMesa,  
21 Commissioner Janea Scott's Advisor, who is -- I think  
22 Janea is the Lead Commissioner on the IEPR overall this  
23 year, and couldn't be with us today. But we have Rhetta  
24 in her stead. So, Rhetta, do you want to make any  
25 comments.

1           Okay. All right, well, I think we're ready to  
2 back to you, Nick.

3           MR. FUGATE: Okay, thank you. I'm going to kick  
4 things off with a short presentation on just the purpose  
5 of the forecast and the preliminary forecast.

6           So, the forecast lays the foundation for a  
7 number of State-sponsored planning activities. At the  
8 CPUC, it feeds into the integrated resource planning  
9 process, distributed resource planning, and also informs  
10 the Resource Adequacy Program.

11           At the ISO, it informs transmission planning and  
12 flexibility studies. And, importantly, it provides  
13 important information for setting and tracking progress  
14 toward the State's energy and climate goals.

15           So, the reason we do a preliminary, you know,  
16 it's a sort of check in with stakeholders. It's a first  
17 look at the impacts resulting from a new set of inputs,  
18 assumptions, and modeling changes. It also gives us an  
19 opportunity to compare our forecast against the most  
20 recent utility forecasts that we have, that are  
21 submitted through our IEPR Demand Forms every two years.

22           You know, the forecast feeds into other Energy  
23 Commission assessments of electricity and natural gas  
24 systems. So, it's important for us to produce this  
25 preliminary forecast so that the results from those

1 dependent processes can feed back into our revised  
2 forecast in the form of, for example, new rate  
3 projections.

4           And we leave enough time between the preliminary  
5 and the revised forecast such that we can make changes  
6 for the revised based on discussions internally, and  
7 with stakeholders.

8           So, we do produce a forecast of natural gas end-  
9 user consumption. Our focus today, though, will be on  
10 the electricity demand forecast, and user consumption,  
11 retail sales, annual and monthly peaks, and hourly  
12 demand. Our base here for both sales and peak will be  
13 2018. And the forecast period extends through 2030.

14           We're presenting here, today, only our baseline  
15 forecasts or forecasts that account for committed  
16 standards and program impacts. We have some discussion  
17 today of additional achievable efficiency, AAEE, but  
18 that will be focused on our process for developing those  
19 scenarios, rather than on actual results.

20           I will note that there are a few components of  
21 what had previously been considered additional  
22 achievable that are now part of our committed  
23 assessments of efficiency.

24           Some program impacts in federal appliance  
25 standards, but perhaps most notably, the 2019 Title 24

1 Building Standards are now on the books. And so, for  
2 this cycle, we won't be developing any AAPV scenarios.  
3 those compliance-driven, system adoptions are now going  
4 to be part of the baseline.

5 To develop the 2019 preliminary forecast, we  
6 conducted a full set of model runs. We refreshed our  
7 rate projections and economic drivers. We've  
8 incorporated another year's worth of historical load  
9 data, system interconnection data, and forecast data  
10 provided by load-serving entities. Which, among other  
11 things, give us further insight into the CCA landscape  
12 over the next two years.

13 We've developed new projections for important  
14 load modifiers, such as electric vehicles, self-  
15 generation, and committed efficiency.

16 And we've begun incorporating results from our  
17 load-shape project with ADM. Our hourly model, for  
18 example, now incorporates new electric vehicle charging  
19 profiles.

20 And as part of our effort to provide more  
21 localized forecasts, we incorporate information that may  
22 have a significant impact on future load for smaller  
23 LSEs. For the preliminary, this includes our forecast  
24 for Valley Electric Association, which we adjusted to  
25 account for sizeable planned cultivation facilities that

1 are not captured in our previous forecast.

2 For the revised, we'll be refreshing our drivers  
3 again, make sure that we have the latest economic  
4 projections. DOF, the Department of Finance, will  
5 providing a new household forecast and we'll update our  
6 rate projects again.

7 By the start of October, we'll have recorded our  
8 summer peak for 2019, so we'll create a new weather-  
9 normalized starting for our peak forecast.

10 Over the next couple of months, our efficiency  
11 team will be developing AAEE scenarios. And so, by the  
12 revised, we'll have a new set of managed forecasts.

13 Expanding on a 2017 staff analysis of potential  
14 energy impacts from cannabis cultivation, we plan to  
15 include projected impacts in our 2019 revised forecast.

16 And there will be some modeling enhancements.  
17 Some, as our presenters today will discuss, are the  
18 results of ongoing work. But others may arise in  
19 response to stakeholder comments and discussions  
20 following this workshop.

21 And, lastly, I want to acknowledge that some  
22 stakeholders have expressed an interest in including  
23 impacts of fuel substitution in the forecast, perhaps by  
24 utilizing our additional achievable framework. This is  
25 clearly a reasonable and likely necessary objective,

1 given State goals around building decarbonization. But  
2 there's a great deal of uncertainty around the range the  
3 potential decarbonization strategies that could play  
4 out.

5 AAFS would be a particularly complex piece of  
6 analysis, one that would have to be reconciled with our  
7 efficiency impact analysis with our hourly modeling  
8 work, and with our end-use models.

9 Similar to AAEE, we would have to translate AAFS  
10 impacts to specific loads buses, though right now we  
11 have no data on the schedule and location of potential  
12 retrofits.

13 And so, for these reasons, we will not be  
14 developing AAFS for Commission adoption as part of the  
15 2019 IEPR cycle. Instead, we're proposing to present,  
16 alongside our revised forecast, a preliminary analysis  
17 of potential AAFS impacts. Importantly, this analysis  
18 would outline additional data and analytic issues that  
19 need to be overcome before AAFS is ready to be adopted.

20 At the revised forecast workshop later this  
21 year, will likely be a venue for this discussion.

22 Which brings me to my last slide here, some  
23 important dates. These are the anchor points for the  
24 remaining forecast schedule. August 29, written  
25 comments are due in response to this workshop.

1 September 26 is a workshop we have planned for emerging  
2 topics related to forecasting. December 2nd is another  
3 workshop where we will present and discuss our revised  
4 forecast. And January 2020 is, whatever the business  
5 meeting date ends up being for that January will be when  
6 we're planning to present the forecast for adoption.

7           And so, unless there are comments from the  
8 Commissioner, I'll invite our second speaker, Ingrid  
9 Neumann, to discuss additional achievable energy  
10 efficiency.

11           MS. NEUMANN: Hi. I am Ingrid Neumann and I  
12 will be presenting on additional achievable energy  
13 efficiency, specifically on the process, like Nick  
14 mentioned, as we are then designing the scenarios and  
15 we'll have some numbers in October, and the final  
16 numbers in November. So, more about that at the end,  
17 but let's talk about the process, first.

18           So, for those of you who don't know, additional  
19 achievable energy is an hourly load modifier to the  
20 baseline forecast, so that's the context here for the  
21 demand forecast.

22           So, before I go into that process, I wanted to  
23 mention what the difference is between SB 350 and AAEE,  
24 because we do use a lot of the same data streams, but  
25 they have very different goals.

1           So, like you can see on the slide, SB 350  
2 projections are used to identify whether the potential  
3 of programmatic targets achieve the doubling goal that  
4 was set by the Energy Commission. So, that's the goal  
5 to double the energy efficiency from 2015 by January 1st  
6 of 2030.

7           Now, AAEE projections are actually incremental  
8 baseline -- or, incremental to the baseline demand  
9 forecast and serve for resource planning and procurement  
10 needs. So, this is always forward looking and it's  
11 specific to modifying the demand forecast.

12           So, SB 350 is fixed to a 2015 base year and  
13 you're always measuring with respect to that. Whereas,  
14 the AAEE, as I mentioned, is always forward looking, so  
15 it has a rolling base year that rolls forward each IEPR  
16 cycle.

17           For the uncertainty, SB 350, the first time it  
18 was measured was in 2017 and there was only one scenario  
19 for it. So, there was only one item there. But for  
20 2019, we've added some capability of having different  
21 options or different scenarios, if you will, for SB 350  
22 projections. So, you'll see that in a separate  
23 proceeding.

24           So, AAEE, as you know, does have a very  
25 elaborate process of scenario design, which condenses

1 the uncertainty of specific elements into scenarios that  
2 range from being conservative to much more optimistic.

3           So, some agencies use SB 350 as a proxy for a  
4 very high-efficiency scenario. But for AAEE, we  
5 actually have explicit agreements to use specific  
6 scenarios for resource planning and transmission  
7 planning studies. So, there's an end consumer at the  
8 end.

9           So, the implications of falling short of the  
10 targets, that's something that only applies to SB 350,  
11 because we want to see how we're doing with energy  
12 efficiency with respect to the goals that were set for  
13 SB 350.

14           So, now, let's put our lens completely on AAEE  
15 for that process. And I wanted to -- before I show you  
16 the flow chart for that, I want to highlight some  
17 process improvements that we've made from the 2017 IEPR  
18 cycle to the 2019 IEPR cycle.

19           So, we've improved the analysis of decay and re-  
20 participation. This is for all of the data streams that  
21 are being used. We are using cumulative results from  
22 the IOU/PG study for IOU program savings. So, we have  
23 the -- we retain the same decay and replaced rates that  
24 are used in the PG study there.

25           Similarly, for the POU model, we retain those

1 decay and replace rates. And what we've done for this  
2 cycle is we've actually added some more capability to  
3 having not just the one scenario that's reported in the  
4 CMUA report, but have more conservative options, so we  
5 can actually have variation in the scenarios. Also, for  
6 the POU programs. We didn't have that before.

7           Then, we've updated and expanded the Beyond  
8 Utility Program workbooks that were originally developed  
9 in the last SB 350 cycle. And the workbooks are  
10 embedded in a new tool that assigns end-use level decay  
11 based on EUL. We have a total of 20 workbooks, now,  
12 including fuel substitution. It's very limited for new  
13 construction, so I wanted to say that in context with  
14 what Nick had spoken about previously.

15           Then, conservation voltage reduction and we  
16 added workbooks for the agricultural and industrial  
17 sectors. So, we're capturing more areas of savings.

18           And then, we have improved attribution to sector  
19 and end use. This is very important because as we  
20 developed the new hourly tool for AAEE, because it is an  
21 8760 hourly load modifier to the baseline forecast, we  
22 want to have, by the specific end uses, the correct or  
23 the most correct mapping to the new load profiles that  
24 we have available to us.

25           So, we are creating 8760 hourly projects from

1 annual AAEE savings for the 10-year forecast period.

2           And last, but not least, we are improving the  
3 natural gas demand analysis because building  
4 decarbonization is an emergency --? Well, an emerging  
5 is what I'm trying to say, but there are those that, you  
6 know, we need to think about building decarbonization.  
7 So, it is a policy emphasis and that would have us  
8 refine our gas demand analysis.

9           All right, so here is the beginning of our flow  
10 chart. We have three main data sources. The first  
11 being for the CMUA PG study, for the POU projections.  
12 And these are for their program projections.

13           And the second being the IOU program  
14 projections, found in the CPUC's PG study that was  
15 recently, or release this year.

16           And then, lastly, the Beyond Utility Programs,  
17 which are captured in these workbooks in-house.

18           So, all of those projections need to be created  
19 into AAEE scenarios. Right, there's not just one number  
20 there that we'll have. So, we need to look at the POU  
21 projections, and we've created to have a capability of  
22 having some variation there, so that we can build those  
23 scenarios being conservative to optimistic.

24           And, similarly, as we did in 2017, we will do  
25 the same thing for the IOU program projections.

1           So, within the tool that we have created, that  
2 handles the workbooks, there is also a capability of  
3 designing AAEE scenarios for the Beyond Utility  
4 Programs, so that's in here. So, everything becomes the  
5 six AAEE scenarios that we will have.

6           And there's some added intricacy as far as codes  
7 and standards. So, codes and standards we get -- so,  
8 this is Title 20 appliance, the federal appliance  
9 standards, and Title 24. We get contributions from the  
10 PG study, from the IOU PG study, as well as future code  
11 cycles that are not captured there in our Beyond Utility  
12 workbooks. So, that's what that up and down arrow is  
13 showing us. That we need to make sure that we capture  
14 everything once, you know, and that there is some  
15 interaction.

16           So, you know, it could be three data streams or  
17 four data streams that all need to come together as six  
18 scenarios for each piece, for each of those elements,  
19 and that goes into this master scenario. And that's the  
20 scenario design.

21           So, this is all by utility, by sector, by end  
22 use, and then for each of the six scenarios. And, also,  
23 it's for electricity demand, as well as natural gas  
24 demand. And this is on an annual basis.

25           Now, the electricity demand is then further fed

1 through this hourly tool that we've developed and will  
2 give us also by sector, or end use, and by scenario 8760  
3 results for each hour in that ten-year forecast.

4 All right. So, since we have completed one  
5 cycle in 2017 recently, right, we are really repeating  
6 the same type of process with the added refinements that  
7 I mentioned in my first slide. So, I wanted to show you  
8 what a complete grid might look like with all of the  
9 scenarios developed.

10 So, we're starting here with the final 2018 CPUC  
11 PG study. So, these are the five scenarios that were  
12 presented in the PG study from the last cycle. Now, one  
13 of those is adopted by the CPUC as the goals for the  
14 IOUs. And that's the scenario that we use in the middle  
15 and build our scenarios around.

16 So, we would take that grid and fill in more  
17 conservation options using all of those levers in that  
18 colored bar. Right, we have, you know, building stock,  
19 retail prices, you know, different program assumptions  
20 that we would work with the IOUs and the CPUC with in  
21 order to determine what variation is feasible there.  
22 And then, as well as cost-effectiveness threshold that  
23 can be made more lenient or more stringent, depending on  
24 if we want a more conservative or optimistic scenario.

25 So, this was how it was filled in for the last

1 IEPR cycle, for the IOU contributions. So, that's for  
2 the programs. But then, you might be able to see, I  
3 don't know it's very small, and the details are  
4 dreadfully important for today's discussion because  
5 these are from last time. But the bottom bar shows us  
6 that we need to eliminate any duplication with the  
7 baseline forecast. Right, because we are trying to  
8 modify the baseline forecast, so we don't want to count  
9 anything twice.

10           So, if you're looking at, you know, some of the  
11 shading, it's not quite as nice here, right, we would  
12 need to subtract that out so that we count everything  
13 only once. Okay.

14           So, then, the bottom bar of the scenarios here  
15 are the codes and standards that are captured in the  
16 Potential and Goals study. So, we look at those. We  
17 can have different compliance rate reductions. We can  
18 have enhancements to that. We can include various code  
19 cycle vintages, or not include them, depending on what's  
20 appropriate for each scenario.

21           So, we do take those IOU attributable savings  
22 and they are scaled up to total savings. And then, we  
23 additionally, because we don't just want savings for the  
24 IOU territories, but for the entire State of California,  
25 we then scale to statewide savings and allocate the

1 shares based on electricity sales to the POU's, and POU  
2 groupings. This is actually very important for the  
3 small POU's that reside inside the CAISO SERFs or the  
4 CAISO planning area, which is important for, you know,  
5 resource adequacy and planning needs from that source.

6 So, this one bar here, you might not have seen  
7 before because this is the one POU AAEE scenario that  
8 was used last time. So, the POU's, for their program  
9 potential savings, they submit in the CMUA report one  
10 option. So, we didn't build around that option, we just  
11 used that one option for each of our six scenarios.

12 This time, we have the capability of building  
13 around that, similarly to how we did that for the IOU  
14 programs.

15 So, then, we move on to Beyond Utility. That  
16 could stack down, but then it just gets even larger.  
17 So, I promise there is a slide in a couple of slides  
18 ahead that has everything in its full glory.

19 So, for the Beyond Utility workbooks, we do kind  
20 of tend to separate those into Beyond Utility Programs,  
21 and then the actual codes and standards savings. So,  
22 this top bar is the codes and standards savings. We  
23 want to consider only codes and standards future  
24 ratchets that are not already captured in the PG study  
25 and, of course, that aren't the baseline forecast.

1 Right, it's all about capturing it exactly once.

2 So, everything is scaled to statewide and  
3 allocated to the utility territories. And again, you're  
4 careful to eliminate any other duplication.

5 So, now we are here for the 2019 IEPR cycle and  
6 we propose to do very much -- use a similar framework.  
7 So, this is, what's filled in is that mid-scenario,  
8 which is the scenario that the CPUC is looking at for  
9 IOU goals. Right, so we would build around that, make  
10 more conservative estimates, as well as make more  
11 optimistic estimates. So, we haven't filled that in,  
12 yet. So, you have opportunity to comment on that, if  
13 you like.

14 So, we have the same types of levers that we can  
15 tweak, right, for the programs, for the cost  
16 effectiveness, for the econ demo models, and such.

17 Again, we're looking at the codes and standards,  
18 taking a portion of that from the PG study, and scaling  
19 it up so that you get total savings for each of the  
20 territories, be the IOU or POU.

21 And, then, we have the POU scenarios, which are  
22 new this time. We are able to build around that one  
23 reference. I mean, there aren't as many levers for this  
24 as there are for the IOU scenarios, but there are some  
25 levers where we have an expanded measure list. We can

1 increase and decrease incentive levels. And, you know,  
2 decide on what's appropriate for the retirement of  
3 programs and that sort of thing. So, there are some  
4 variations that we can build scenarios around.

5           And then, lastly, for our in-house effort, we've  
6 had a very large contractual effort for the Beyond  
7 Utility workbooks this cycle. The workbooks were  
8 originally developed for SB 350 purposes because we were  
9 trying to capture all energy efficiency savings  
10 possible.

11           Right, but in doing so, we realized that some of  
12 this is appropriate to include in the demand forecast,  
13 as well, as AAEE modifies the baseline. So, that's what  
14 we will be looking at doing more of.

15           Right now, the inputs are loaded to the maximum  
16 savings potential, so they're very optimistic because  
17 they are to measure progress towards the SB 350 savings  
18 goals.

19           And then, as a reminder, if you did look at the  
20 2017 IEPR cycle, for the Beyond Utility that was  
21 included in 2017, only Prop. 39 was included in the  
22 first five scenarios. Only in the last, in the sixth  
23 scenario, the high plus scenario, were some of the other  
24 program workbooks included, and at discounted rates.  
25 So, they were scaled down from that maximum savings

1 potential for inclusion in AAEE.

2           So, we would be looking at what -- you know, how  
3 do we include or how much do we include for each of  
4 these programs, in each of the scenarios based on how  
5 conservative or optimistic that scenario's intended to  
6 be.

7           So, the workbooks do vary in level of  
8 sophistication, but they all have various savings  
9 parameters that can be adjusted. So, we do have quite a  
10 bit of flexibility using low, mid and high IEPR econ  
11 demo drivers. There are conservative reference,  
12 aggressive and aggressive savings estimates defined for  
13 each program, and individual workbooks. And then, we  
14 can have an individual weight assigned to the program  
15 workbooks included here.

16           So, those program workbooks, the 20, right, are  
17 listed here. The codes and standards work a little bit  
18 differently. They have a little special line. But it  
19 gives us an idea of what kind of flexibility we might  
20 have. So, I'm giving you a visual representation of how  
21 one might pull some of those levers here.

22           So, for Title 24, for example, you can decide at  
23 which year, so which code cycle you end the inclusion  
24 at. So, you could include only through 2022, or you  
25 could include through 2025. You know, which of those

1 code cycles do you include up to?

2           Then, you can do this differently for new  
3 construction, as well as for additions and alterations.  
4 And then, of course, for the residential and commercial  
5 building sector you can have those levers be different.  
6 So, similarly, you can do this for Title 20 and the  
7 federal appliance standards.

8           All right, so here it is in its full glory. We  
9 do have both the IOU potential program savings and the  
10 codes and standards savings for the blue and the pink  
11 bars are coming from the PG study. And then, there are  
12 additional codes and savings in the Beyond Utility  
13 Program Savings as part of those three workbooks that  
14 exist in there. And then, we have the POU potential  
15 program savings.

16           So, this is what we would fill in for our final  
17 scenario definitions, when we have the six AAEE  
18 scenarios for this code cycle.

19           So, all of that, in that box, goes over to the  
20 right-hand box that's boxed in orange. And so, that's  
21 our whole scenario design process and then we could run  
22 all of that through the hourly tool.

23           So, a little bit more on the hourly tool. We've  
24 mapped the 48 named end uses to the new ADM load shape  
25 profiles, and we've supplemented that with Navigant load

1 shape profiles using the 2017 forecast, where needed.

2 The input menu for this tool allows selection of  
3 forecast start and end year, so it's somewhat future  
4 proofed in that way because, of course, there's a  
5 rolling date for those ten years.

6 And then, the utility IOUs, the main POUs, and  
7 then for the small POUs we have them in north and south  
8 groupings. So, put output out by utility and then you  
9 and select, if you wanted, just at the sector level or  
10 if you want full sector end use level, 8760 for  
11 electricity, for all ten years of the forecast.

12 And you can also include or omit transmission  
13 and distribution losses. And as I mentioned, the  
14 outputs are 8760 hourly results for each scenario, for  
15 each forecast year.

16 So, our schedule is aggressive, right. We're  
17 working very hard. Formal comments, as Nick mentioned,  
18 are due on the 29th, but the sooner you get them to us,  
19 it is appreciated, right, as we are working.

20 The September 26th, there's another IEPR  
21 workshop on emerging issues. And we'll put our AEEE  
22 scenario designs as a portion of that. So, that's the  
23 first time we will be able to present those scenario  
24 designs and take comments on those. But if you have  
25 comments on how you might think that we ought to do it,

1 that's also helpful at this point.

2           And then we, the first time we'll have hourly  
3 results internally will be October 1st. And then, we're  
4 giving ourselves a month to clean those up, take your  
5 comments into consideration further, and have those to  
6 the forecasting unit to modify that baseline demand  
7 forecast.

8           So, questions or comments?

9           COMMISSIONER MCALLISTER: Thanks, Ingrid, that  
10 was great. So, you know, we do briefings regularly on  
11 this, so I don't have a lot of questions. I do want to  
12 talk about a couple things, though.

13           So, you know, Nick talked about how, you know,  
14 we're not quite ready to do AAFS in fuel substitution.  
15 You know, we're gathering tools and data, and I think  
16 that's a reasonable thing going forward. I think  
17 stakeholders are really going to want to talk about that  
18 and, rightly so, you know, it's kind of a hot topic and  
19 it's necessary going forward.

20           And I guess I'm wondering sort of in that realm,  
21 you know, there's a bunch of things. There's a lot  
22 going on at the PUC, in particular, about this. And on  
23 the one hand, you know, the portfolio, sort of I think  
24 there's a staff paper out right now that sets goals  
25 going forward for the new portfolio that will get

1 discussion. A little bit of shifting between programs  
2 and codes and standards savings.

3           And then, there's also the recent decision on  
4 the three-prong test. And so, there's a lot of  
5 discussion about how the portfolio funds will -- you  
6 know, the traditionally considered, you know, energy-  
7 efficiency portfolio funds might be migrating in a  
8 significant way over to fuel substitution, because the  
9 three-prong test is getting easier.

10           So, where does that kind of migration fall into  
11 the AAEE? How much of that is likely to be -- if we're  
12 really looking at the portfolio and trying to figure out  
13 what the impacts are, you know, how much of that is sort  
14 of fuel substitution and how much of that is efficiency  
15 portfolio in terms of, you know, modeling what's likely  
16 to happen going forward?

17           Is that a discussion we're going to have or is  
18 that something there are already some thoughts about?

19           MS. NEUMANN: I suppose it will be a discussion  
20 that we will have, right. I don't think we're ready to  
21 do this at this point. There's just still too much  
22 uncertainty.

23           COMMISSIONER MCALLISTER: I mean, that makes  
24 sense. I guess I would sort of ask all the stakeholders  
25 to weigh in on this --

1 MS. NEUMANN: Uh-hum.

2 COMMISSIONER MCALLISTER: -- because I think  
3 there's a lot of uncertainty about how much the industry  
4 is actually ready to actually do that. And as projects  
5 get proposed, as the PUC's third-party process -- you  
6 know, they're going to bid out programs to third  
7 parties, for the most, this portfolio. When those  
8 proposals come in and some of them, many of them,  
9 possibly, are for fuel substitution, that's going to  
10 really impact, potentially, the near term of what  
11 happens out there in the world that we need to capture.  
12 We need to capture it somewhere in the future load  
13 shapes, you know, in the future, different wedges that  
14 we're putting together. Whether it's the codes are on  
15 the DR side or, you know, the EE side or, you know,  
16 other parts of the forecast so -- or, other components  
17 of the forecast.

18 So, I think that's a complexity that, really,  
19 we're not going to be able to avoid -- well, not that we  
20 want to avoid it. But just we're going to have to  
21 engage with that, I think, pretty clearly.

22 I had a specific question about the load shapes.  
23 So, the hourly work, are we using the data from mainly  
24 PG&E, but perhaps other utilities that have leveraged  
25 the NMEC, the Normalized Meter Energy Consumption data

1 to look hourly impacts of efficiency measures from the  
2 programs? There are some interesting experiences that  
3 have actually shown load shapes of savings, you know,  
4 sort of the hourly savings shapes for different end  
5 uses, for specific programs.

6 And PG&E was kind of the pioneer on that, but it  
7 seems to be taking hold and I think will in this  
8 portfolio going forward.

9 MS. NEUMANN: We're using the ADM load shapes  
10 that were developed as part of that contract.

11 COMMISSIONER MCALLISTER: Okay, okay, so that --

12 MS. NEUMANN: Yeah, but this is interesting,  
13 yeah.

14 COMMISSIONER MCALLISTER: Yeah, there's some  
15 really interesting work being done with the metered  
16 energy data, hourly data, sort of, you know, gathering  
17 up participants and programs to figure out the hourly  
18 profile of savings. It seems like Chris may be aware of  
19 that.

20 And that's likely, I think, to promulgate more  
21 throughout the programs. So, Chris, maybe you've been  
22 talking to them about that?

23 MR. KAVALEC: I just wanted to mention that ADM  
24 is developing load shapes, plus an hourly load model,  
25 which houses all those different load shapes.

1 COMMISSIONER MCALLISTER: Uh-hum.

2 MR. KAVALEC: And the idea is that ADM provided  
3 us load shapes based on the best information they could  
4 gather at the time. But the model is set up to  
5 introduce new load shapes as we get new information.

6 So, certainly, if we get better information on  
7 efficiency load shapes, then that would replace what ADM  
8 has included.

9 COMMISSIONER MCALLISTER: Okay, great. So, you  
10 know, the CalTRACK tool over at -- that PG&E developed,  
11 and it's getting some good traction.

12 MR. KAVALEC: Yeah.

13 COMMISSIONER MCALLISTER: I think that's got a  
14 lot of data in it that will be useful for us.

15 MR. KAVALEC: Yeah.

16 MS. NEUMANN: Yeah, the AAEE hourly load model  
17 will also accept any load shapes in it, fully  
18 calendarized as well. So, that's a possibility.

19 COMMISSIONER MCALLISTER: That's great. Thanks  
20 a lot, that's all the questions I have.

21 MS. NEUMANN: Thank you.

22 MR. FUGATE: Okay, our next presenter is Cary  
23 Garcia to review the CED -- no, I'm sorry -- yeah, the  
24 preliminary forecast results.

25 MR. GARCIA: All right. I made a last-minute

1 adjustment to my slides, so I'm just making sure I'm  
2 looking at the right one. I was also trying to slow  
3 down for this presentation, but it looks like I might  
4 have to speed up a little bit. Eleven-forty-five is the  
5 time, right?

6 COMMISSIONER MCALLISTER: Yeah, we have until  
7 11:45, so if you can bang it out without losing content,  
8 that would be great.

9 MR. GARCIA: Okay. I'll probably breeze through  
10 some of the earlier stuff, though. I just wanted to  
11 give a quick overview -- oh, I should introduce myself.  
12 I'm Cary Garcia, I'm attempting to be the lead  
13 forecaster for the Demand Forecasting Office.

14 And so, I just wanted to give an overview of our  
15 demand model system and I'll get into the statewide  
16 results that we have developed for the preliminary  
17 forecast this year.

18 So, I'm going to start off with the demand model  
19 systems. And so, as we kind of talked about earlier  
20 today, we have some of the modeling inputs at the top  
21 here. And so, as we mentioned, we have the economic and  
22 demographic information, so that's largely going to come  
23 from Department of Finance and Moody's Analytics.

24 We have our efficiency information and demand  
25 response that will go into the models, as well. As well

1 as the electricity and natural gas consumption data we  
2 collect through our QFER, which is our Quarterly Fuels  
3 and Energy Reporting system.

4 And so, this year, I should also mention, we did  
5 an update. So, in the previous forecast, the Energy  
6 Update 2018, we were using 2017 history. And so, now,  
7 we've included 2018 history for electricity consumption,  
8 which is a combination of the measure -- or, estimated  
9 electricity generation from self-generation, like PV for  
10 example, as well as the actual utility sales that are  
11 reported to us.

12 And so, that information, those three items at  
13 the top feeds into our three buckets of models. So, one  
14 being the transportation and energy demand models. Mark  
15 will talk about the light-duty electric vehicle forecast  
16 a little bit later, that's within that.

17 We have our sector models that are broken out by  
18 specific sectors. So, residential, commercial, AG,  
19 industrial, mining. Let's see, TCU, which is  
20 telecommunications, utilities, as well as like street  
21 lighting in there.

22 And then, we have our self-generation model that  
23 does our forecast of PV capacity and generation impacts,  
24 as well as other self-generating, like combined heat and  
25 power, for example.

1           And as I mentioned, some of that information  
2 coming out of the self-gen model is going to feed back  
3 into that electricity and natural gas consumption data  
4 to recreate what consumption would be. Which, as I  
5 mentioned, is the aggregation of what the sales was and  
6 then what we estimate the generation from our  
7 consumption from self-generation would be.

8           And so, the output from those three buckets  
9 there feeds into our summary model, where we do various  
10 calibration and adjustments for weather, for example.  
11 And then, from that summary model, that's going to feed  
12 into our peak demand and hourly model that we'll talk  
13 about later today.

14           And then, right at the very bottom, we get to a  
15 preliminary and later this year a revised forecast.

16           And so, just breaking down the demand scenarios  
17 that we use. So, we have three primary demand  
18 scenarios, the high demand scenario, which generally has  
19 higher economic and demographic information. It also  
20 has climate change, that I'll talk about a little bit  
21 later, and electric vehicle forecasts. And those will  
22 be high impacts for all of those.

23           Counter to that, we have lower electricity rates  
24 and self-generation, as well. The idea being that with  
25 those lower rates, at least to create a nice balance in

1 that high scenario, you would expect higher electricity  
2 usage. Then if you have those lower rates, it would  
3 also make self-generation less economic. And so, you'd  
4 have less self-generation adoption.

5 In the low demand case, it's the antithesis of  
6 that for the economic and demographic information, as  
7 well as electric vehicles. But as I said, now we have  
8 higher rates, which is going to do the inverse of what I  
9 mentioned before for the high demand case. So, now, you  
10 would have higher rates and, therefore, higher self-  
11 generation in the low demand case. Therefore, lowering  
12 that demand case.

13 And in the low demand case, we don't have  
14 climate change, either.

15 Now, in the mid demand case, that's essentially  
16 in between, obviously, our high and our low cases. But  
17 we also include a moderate amount of climate change in  
18 that and I'll talk about that a little bit more.

19 And so, this is just a quick break out of our  
20 electricity planning areas in the State. We have about  
21 eight planning areas, including Valley Electric  
22 Association that we talked about. Those bold items are  
23 highlighted because that's -- you'll probably see in the  
24 agenda those are the items that I'm going to focus on  
25 later today, when I discuss the planning area forecasts.

1           So, just a little bit about statewide drivers.  
2 As I mentioned, we use Moody's Analytics primarily for  
3 our economic and demographic information. But for  
4 population and household information, we use Department  
5 of Finance information for those.

6           Although, we do modify the household forecast to  
7 use Moody's projection of that to give us a better  
8 spread in our high case scenario.

9           But otherwise, you can see in the bottom there  
10 the population estimates are the same as last year. A  
11 slight change in the household projects, but you'll  
12 notice the mid and the low are the same, as I mentioned.

13           And then, we do have some reductions in the  
14 personal income, which is going to drive your  
15 residential forecast. Usually, we use personal income  
16 per capita. So, given the population's the same, we're  
17 going to have a lower income per capita there.

18           And then, also, manufacturing output which is  
19 going to affect our industrial and mining sectors.  
20 That's been reduced a little bit in comparison to last  
21 year.

22           But our commercial employment is about the same.  
23 Some of these numbers are rounded, so there is a small  
24 decline, but relatively close to the same as last cycle.

25           But the overall picture here is that

1 manufacturing output goes down a little bit, as I said,  
2 which affects those industrial sectors. And then, with  
3 the personal income decline relative to the previous  
4 forecast is going to bring down your residential  
5 forecast a tad bit.

6 Now, I'm going to get into some of the other key  
7 components that we include in the forecast. So, as we  
8 talked about -- sorry, Nick talked about earlier this  
9 morning, we did roll over program savings that otherwise  
10 was not included last year. Now, we've moved forward to  
11 2019, and so we're going to include the new program  
12 savings that was previously a part of the AAEF analysis.

13 So, ultimately, this shakes out to -- it  
14 basically peaks in 2019. That's when these new programs  
15 are going to start, and then they're going to decay off.  
16 And then, you would have AA would get developed, again,  
17 and you would see some new program savings added on into  
18 the forecast. But for right now, we're not including  
19 any AA scenarios in our baseline forecasts.

20 But, ultimately, this is about 19,500 gigawatt  
21 hours in 2019. And as I said, that starts to decay as  
22 program savings declines. And about 4,500 gigawatts are  
23 going to come from the POUs in our forecast.

24 And so, we get this information primarily from  
25 the CEDARS database, from the CPUC. Since we're trying

1 to educate a little bit more, that actual acronym is the  
2 California Energy Data and Reporting System.

3 And then, we get the POU information from SB  
4 1037 reports for the POUS.

5 And in addition to the committed savings from  
6 programs, we also included new codes and standards  
7 savings, so that will be the Title 24 savings for  
8 residential buildings and commercial sector.

9 We also included some more federal appliance  
10 standards, as well. And so, that will be added into  
11 this baseline forecast. And that will cause a  
12 difference compared to last year. We have these new  
13 standards that will come in, so that's going to increase  
14 that savings relative to the last cycle.

15 Here's the climate change scenarios that I was  
16 mentioning. So, as I mentioned, we don't have a low  
17 scenario for that. So, the low scenario will assume no  
18 climate change impacts. But we do include a high  
19 scenario of climate change in the respective high  
20 scenario and, likewise, in the mid scenario.

21 And so, these impacts are primarily going to  
22 happen in your heating and cooling sectors, where  
23 they're the most temperature responsive. So, obviously,  
24 residential and commercial sectors are going to get  
25 adjusted by this.

1           And so, what we do is we develop an econometric  
2 model that basically teases out what that temperature  
3 response is going to be. Scripps Institute of  
4 Oceanography develops these scenarios for us.  
5 Essentially, a higher change in temperature and then a  
6 moderate change in temperature. And so, given that we  
7 have a temperature response, we simply apply the trend  
8 for that high scenario to get us what that -- to  
9 determine what that impact would be in terms of gigawatt  
10 hours or therms, for example, in a gas consumption gas.

11           I'll pause here real quickly, if there are any  
12 questions along the way from your guys. All right.  
13 this stuff is pretty routine here. We're getting to the  
14 more interesting stuff.

15           So, I don't want to take some of Mark's thunder  
16 right now, but this is just a brief overview of the  
17 light duty electric vehicle consumption. So, 15,000  
18 gigawatt hours by 2030. You can see the red line up  
19 there is our previous forecast and our blue line is the  
20 new mid case from the preliminary forecast.

21           You'll definitely see the distinction there.  
22 It's slightly lower. And that's going to be the result  
23 of an allocation of more residential electric vehicles  
24 versus commercial. And then, when you do that, it's  
25 basically residential vehicles are going to have a lower

1 VMT relative to commercial. And so, that will drive  
2 down your electricity consumption impacts from the  
3 overall light duty vehicle forecast.

4 And I should also note that the growth rates are  
5 mainly the same. I think it's growing, right here in my  
6 notes, roughly 13 percent on average from 2019 to 2030.  
7 So, in comparison to like the residential or commercial  
8 sector overall, it's a tremendous amount of growth in  
9 those, in vehicles. And this is roughly three and a  
10 half million vehicles statewide.

11 PV energy Impacts. Once again, I'll be brief  
12 because Sudhakar is going to go over this today, this  
13 afternoon. But the one thing to note is that you'll see  
14 the distinction between our -- the red line there, once  
15 again, the mid case from last year and the new mid case.  
16 Roughly, a 5,000 gigawatt hour difference in 2030.

17 And one reason is that the overall PV forecast,  
18 in terms of capacity went up a little bit. But there's  
19 also, if you remember our last baseline, we included --  
20 in our last forecast, we have our baseline forecast and  
21 then we included AAPV for the Title 24. And so, now,  
22 that's been wrapped up into our baseline forecast, and  
23 so that's going to bump things up a little bit when you  
24 look at this type of comparison.

25 This is an overview of the baseline consumption

1 forecast on a statewide basis. It's just comparing our  
2 mid cases, over there on the left side, the preliminary  
3 on the top and then the update on the bottom there. And  
4 you can see, as I mentioned, the residential consumption  
5 forecast. Once again, this is the combination of self-  
6 generation and sales as to what your total consumption  
7 would be for that sector. It's dropped down a little  
8 bit, as I said, from that reduction in personal income  
9 growth and relatively slow housing growth.

10           The commercial sector is growing a little bit  
11 and that's primarily from the continued growth in  
12 commercial floor space.

13           And industrial and mining, as I mentioned, the  
14 manufacturing output information that we received from  
15 Moody's showed a decline there. And you can see that  
16 reflected here in these growth rates.

17           Agricultural is about the same. And then, TCU  
18 has a slight reduction.

19           Looking at our baseline consumption in this  
20 graph --

21           COMMISSIONER MCALLISTER: Hey, Cary, can I jump  
22 in real quick? I'm going to have to go. I actually  
23 have to walk over to the Capitol. But how far in are  
24 you?

25           MR. GARCIA: I can probably --

1 COMMISSIONER MCALLISTER: There's a bit more.

2 MR. GARCIA: If you come back, I can probably  
3 wrap it up pretty quickly and we can move on.

4 COMMISSIONER MCALLISTER: Yeah, I've got to walk  
5 over. I can't keep the Legislature waiting, mostly.  
6 But I think probably the best thing to do is to give a  
7 little hiatus and come back at 1:15, if that's okay with  
8 everybody. I do want to catch this.

9 MR. GARCIA: Okay.

10 COMMISSIONER MCALLISTER: So, okay. So, let's  
11 see, so, Nick, is there anything else to say? Anything  
12 else to say to folks, where the good restaurants are or  
13 whatever?

14 MR. FUGATE: Yeah, sure. So, anyone looking for  
15 food who's in the building, you know, we have a new  
16 market. If you just walk a couple blocks up to 9th  
17 Street -- I get turned around which direction it is. Up  
18 9th Street. And then, you now, there is also a food  
19 truck, I think right outside. If you walk out the front  
20 of the building and take a left.

21 So, we will reconvene at 1:15. Thank you,  
22 everyone.

23 (Off the record at 11:47 a.m.)

24 (On the record at 1:18 p.m.)

25 COMMISSIONER MCALLISTER: All right. Well,

1 thanks for sticking around. There's a little bit  
2 sparser audience than there was this morning. I guess,  
3 maybe, lunch was really good and they're lingering.

4 MR. FUGATE: Or they melted.

5 COMMISSIONER MCALLISTER: Yeah, or they went  
6 outside and melted, yeah. But thanks for adjusting the  
7 schedule. I appreciate that for giving us a little more  
8 time between the morning and the afternoon.

9 And, so, anyway, I had to brutally cut off Cary,  
10 so we'll get started where we left off.

11 MR. GARCIA: That's fine. I backed up just a  
12 little bit to get to the consumption part. This is  
13 really where we get into like the actual numbers.

14 So, just to reiterate, really quickly again, you  
15 may remember this chart. So, we have this decline in  
16 the residential sector consumption. Commercial sector  
17 grows a little bit there. And you'll see that, as I  
18 mentioned earlier, the industrial and mining sectors  
19 declining due to the reduction in -- I think they're  
20 adjusting my volume. Okay, it was too loud.

21 And then, agricultural, once again, remains  
22 about the same, as well as TCU, although a slight  
23 decline overall across the State.

24 And so, looking at these graphs here, so I'm  
25 comparing the history against our previous forecast.

1 That's the red line and CEDU, the California Energy  
2 Demand Update 2018 mid case, against our new high, mid  
3 and low cases for this preliminary forecast.

4 So, as I note here, it's about five percent  
5 lower. Obviously, we have a lower, 2018 actual, as I  
6 mentioned before. We were using the 2018 value from the  
7 2018 forecast, was that forecasted value using 2017  
8 consumption data.

9 COMMISSIONER MCALLISTER: Hey, Cary, this is not  
10 weather normalized, right?

11 MR. GARCIA: We do a slight weather  
12 normalization, actually.

13 COMMISSIONER MCALLISTER: Huh.

14 MR. GARCIA: So, you'll see a little tick down,  
15 like a little hockey stick at the very end there, in  
16 2019.

17 COMMISSIONER MCALLISTER: Yeah.

18 MR. GARCIA: And that's going to be the  
19 adjustment. We basically start from average weather in  
20 the forecast, but we make an adjustment using actual  
21 weather compared to the 30-year average. So, that's  
22 what brings that down a little further there.

23 COMMISSIONER MCALLISTER: Oh, okay.

24 MR. GARCIA: So, the 2018 it's starting from is  
25 the actual, actual and then it drops down a little bit

1 more in the 2018 period.

2 COMMISSIONER MCALLISTER: Okay. Okay.

3 MR. GARCIA: You can quote me on the "actual,  
4 actual."

5 COOMISSIONER MCALLISTER: The actual, actual,  
6 yeah. So, but that's a -- I mean, what is that, about  
7 40,000 gigawatt hours difference just right off the bat?

8 MR. GARCIA: Yeah, right off the bat there.  
9 Ultimately, the growth rates are about the same. So, in  
10 the -- let's see here, I'm looking at my numbers. So,  
11 yeah, it's a 3 percent reduction just in that 2018  
12 value. That 5 percent lower is actually a little bit  
13 later in the forecast. But the growth rates are 1.2  
14 versus 1.3 percent, ultimately, comparing the two mid  
15 cases. And the high case is about one and a half  
16 percent. As I mentioned, we had a higher household  
17 forecast for the high case. You see that go much higher  
18 than the other two cases. And the low case is going at  
19 just under 1 percent.

20 COMMISSIONER MCALLISTER: Okay. You have this  
21 for capacity, as well? This is energy sales?

22 MR. GARCIA: No, this is actually total energy  
23 consumption. So, this is going to include --

24 COMMISSIONER MCALLISTER: For energy  
25 consumption, yeah.

1 MR. GARCIA: Yeah, it includes the sales --

2 COMMISSIONER MCALLISTER: Oh, right, I gotcha.

3 MR. GARCIA: -- for self-generation.

4 COMMISSIONER MCALLISTER: Yeah, I gotcha, I  
5 gotcha, okay.

6 MR. GARCIA: Right. I have a slide later on  
7 where I get into the sales forecast.

8 COMMISSIONER MCALLISTER: Okay, got it.

9 MR. GARCIA: And this is our usual graph of  
10 consumption per capita. So, essentially, just taking  
11 that consumption and dividing it by the population  
12 projections that we have. And as we saw in the previous  
13 graph, we have a lower baseline consumption. So, that's  
14 going to reduce our per capita estimates.

15 But similar growth rate, similar to the  
16 consumption I showed before, just a minor difference in  
17 growth rate, so .4 percent versus .5 percent in the last  
18 forecast. And that adjustment that you saw, dropping it  
19 down to the new, historical starting point is evidence  
20 here as well.

21 This next slide breaks down that consumption  
22 forecast into the sectors that we use in our models.  
23 And so, at the top there you can see the residential and  
24 commercial sectors are the bulk of electricity  
25 consumption in the State.

1           And then, light-duty electric vehicle  
2 consumption is going to be added into those two sectors  
3 as well, and so that's going to have them also grow a  
4 little bit faster than the respective sectors.

5           And you can see at the bottom, we have the  
6 industrial, AG, TCU, and the mining sectors, as well as  
7 street lighting. It's a very small sliver. I think  
8 it's like a fraction of a percent of statewide total  
9 when you look at the numbers there. But you can see  
10 those are pretty flat in terms of consumption. As I  
11 mentioned, industrial and those sectors have been pretty  
12 flat for well over a decade, and so we see that  
13 continuing into the future with a little bit, a slight  
14 decline at the end there.

15           If you're actually -- like, in percentage terms,  
16 the industrial sector is around 12 and a half percent of  
17 the statewide total consumption and AG is around 6 and a  
18 half percent relative to those commercial sectors,  
19 commercial and residential combination of about 70  
20 percent.

21           And that remains pretty constant from the  
22 starting points. It grows a little bit but you can  
23 obviously see that that Dutch share kind of takes the bulk  
24 of it.

25           This is the sales forecast. So, in this case,

1 it's the consumption minus the self-generation that  
2 we're forecasting, so it gives us the total electricity  
3 sales that the customers are ultimately buying in their  
4 sectors.

5           So, once again, a lower 2018 actual in compared  
6 to the last forecast. And here, we can see the increase  
7 in the behind-the-meter PV capacity that's going to  
8 cause that reduction, a slight slow down in growth.  
9 Ultimately, it's around .6 percent for that mid case, in  
10 blue, compared to the red line that is our old forecast  
11 is around .9 percent growth. And that's going from 2019  
12 on average per year to 2030.

13           And you see that the low case there is pretty  
14 slow. And then, also keep in mind there's a little bit  
15 of climate change. But it's going to be -- we're using  
16 similar projections as last year, so that won't cause  
17 any differences. But that's also incorporated in our  
18 high and our low cases, as I mentioned earlier this  
19 morning.

20           Just for reference, too, the high case is about  
21 1.2 percent compared to the .6 that we have now. And  
22 the low case, obviously, is about zero, as you can see  
23 from the graph here.

24           And I'm just reiterating, again, you really see  
25 that slow down in the industrial and mining sector,

1 causing that reduction in growth, as well as a little  
2 slightly slower growth in the residential sector.

3           And it's similar to the consumption break out  
4 that I showed. And so, now, you can really see the  
5 impact of that PV generation there, flattening those  
6 residential and commercial sector forecasts out. And as  
7 I said, there's a little faster growth in commercial  
8 sector PV, which is going to slow down those commercial  
9 sales relative to the residential sector forecast.

10           And then, here is the statewide coincident  
11 peaks. So, this includes both the IOUs, as well as the  
12 other planning areas that I mentioned this morning. So,  
13 ultimately, if we're having a -- going to have a slower  
14 sales growth, then you'll have a slower growth in peak  
15 demand. And then, also, there's going to be a peak  
16 shift included that bumps things up a little bit. And  
17 so, we only incorporate that for the IOUs, which we  
18 model on an hourly basis, that Chris will talk about  
19 later today. But, ultimately, that shakes out to about  
20 4,200 megawatts of additional peak demand, relative to  
21 the previous way we forecasted, which did not account  
22 for the impacts of DER. So, PV and light-duty vehicles  
23 on an hourly basis.

24           Then here, this is a last-minute addition. We  
25 had to make a few tweaks to our natural gas consumption

1 forecast. And so, this is actually end-use natural gas  
2 consumption forecast. So, once again, similar, the same  
3 models that we're using for the electricity side and,  
4 basically, the same drivers, but slightly different  
5 because you're looking at, obviously, natural gas usage  
6 as the end uses versus the electricity end uses.

7           And so, here, we can see that adjustment from  
8 the QFER 2016. So, slightly different than the previous  
9 comparison. We didn't do a natural gas update, as we do  
10 for electricity. So, this is comparing against the CED  
11 2017 forecast.

12           The few notes that I have here. So, we're not -  
13 - we mentioned before and Nick mentioned this, we're not  
14 incorporating any fuel or significant building  
15 electrification this round, but we'll look at that for  
16 the 2021. There's going to be sort of -- it's inherent  
17 in the name, there's a substitution going on. So, if  
18 there's an increase in electrification for like heating,  
19 and water heating, and space heating, there would be a  
20 decline on the end-use natural gas side that would be  
21 comparable.

22           So, we're including a small amount of natural  
23 gas vehicles in here, as well. So, by 2030, that's  
24 ultimately about 150 million therms of natural gas  
25 vehicles, which is a slight increase in comparison to

1 the last forecast.

2           You also see that big jump up in consumption,  
3 from 2018 to 2019, and that's also weather adjustment in  
4 the residential and commercial sectors. So, basically,  
5 the 2018 historical HDV is a little bit lower than the  
6 historical 30-year average. As I mentioned before on  
7 the electricity, that jump over there.

8           And this is especially true for SoCal Gas and  
9 San Diego Gas and Electric. So, it's affecting the  
10 Southern California portion of the State.

11           Ultimately, growth in all three scenarios has  
12 dropped compared to 2017, and that's most because of the  
13 2019 Title 24 standards, as well as a reduction in  
14 growth in the mining sector. So, similar things playing  
15 out in terms of gas, as with electricity that I  
16 mentioned before.

17           The 2019 mid case also falls relative to the  
18 2019 mid case. You can see how -- or, the low case.  
19 You can see how they kind of both match other by 2030.  
20 And that's going to be due to climate change. So, we  
21 don't have any climate change in the low scenario. But  
22 as I mentioned, we do include it in the high and the  
23 mid. But what's happening over here is that it's going  
24 to be affecting climate change in terms of heating  
25 degree days. It's actually going to bring your heating

1 degree days a little bit, so you're no longer be using  
2 space heating. You won't have as much space heating  
3 based around natural gas, so that's going to bring that  
4 down to match the low case there.

5 And that's all I have for this. I'll just leave  
6 as questions or comments there.

7 COMMISSIONER MCALLISTER: No, it's pretty clear.  
8 I guess the one question I have, just about the natural  
9 gas, is that there's not a whole lot of difference  
10 between the mid and the low. And is that just because  
11 the climate change impacts aren't -- I guess, what else  
12 could affect the difference between -- what else changed  
13 between low and mid, or is it pretty much just the  
14 climate change impacts that got put in?

15 MR. GARCIA: It's primarily going to be the  
16 climate change impacts.

17 COMMISSIONER MCALLISTER: Okay.

18 MR. GARCIA: Yeah, so -- I always get the CDD  
19 and HDD, I have to remember it's like one side of the  
20 equation where --

21 COMMISSIONER MCALLISTER: Right, right, right,  
22 right.

23 MR. GARCIA: So, in the heating degree days, if  
24 it's a little warmer, you're going to have less heating  
25 degree days.

1 COMMISSIONER MCALLISTER: Yeah.

2 MR. GARCIA: But you're going to have more  
3 cooling degree days. So, on the electricity side it's  
4 going to bump things up, whereas on the natural gas side  
5 it's going to bring things down a little bit.

6 COMMISSIONER MCALLISTER: Oh, it's the same  
7 conditions on the scenario.

8 MR. GARCIA: Exactly.

9 COMMISSIONER MCALLISTER: Yeah, okay, gotcha.  
10 That makes sense.

11 MR. GARCIA: But it's almost -- I guess it's  
12 probably almost similar to the fuel substitution kind of  
13 idea, right.

14 COMMISSIONER MCALLISTER: Yeah.

15 MR. GARCIA: Like if you're making a reduction  
16 on one side, replacement is going to happen. But it  
17 just so happens --

18 COMMISSIONER MCALLISTER: Yeah.

19 MR. GARCIA: -- it occurs with the climate  
20 scenarios.

21 COMMISSIONER MCALLISTER: Yeah, got it. Thanks.

22 MR. GARCIA: I have no idea who's up next. I  
23 didn't look at the agenda. Nick, please help.

24 MR. FUGATE: I keep forgetting we don't have  
25 Heather here today. So, next we have, our next speaker

1 is Mark Palmere, and he's going to present on our  
2 electric vehicle forecast.

3 MR. PALMERE: Good afternoon Commissioners, and  
4 stakeholders, and members of the public. I guess just  
5 one Commissioner, I guess.

6 My name is Mark Palmere and I am with the  
7 Transportation Energy Forecasting Unit. And I'd just  
8 like to present a brief overview of our transportation  
9 electricity demand forecast. And that includes both  
10 light duty vehicles, as well as medium, heavy duty  
11 freight, and public transportation. So, this is the  
12 overall transportation electricity demand.

13 To start with, I'd like to look at some  
14 historical slides. This shows PEV sales over the past  
15 decade or so. And as you can see, they've been rising  
16 quite dramatically, starting with, you know, only a few  
17 thousand in 2011 and 2012. And by 2018, they eclipsed  
18 150,000 sales annual for the first time ever.

19 Through March of this year, which is the latest  
20 where we have what we consider reliable data, there have  
21 been approximately 560,000 light duty PEVs sold in the  
22 State of California.

23 And another way of looking at the sales numbers  
24 is by looking at the PEV sales for the share of overall  
25 light duty sales. Again, you can see 2010, 2011 very

1 low numbers, but by 2018 it got to has high as 8 percent  
2 of overall sales for either BEVs, battery electric  
3 vehicles, or PHEVs, plug-in hybrid electric vehicles.

4           And, you know, based on the numbers we've seen  
5 so far, we do expect that trend to continue. And that's  
6 sort of what I'm going to talk about a lot is our  
7 forecast future trends.

8           And then, I would also like to talk about the  
9 difference between the two types of PEVs. So, we hear a  
10 lot about PEV sales and goals as the number of PEV  
11 sales. But PEVs aren't all created equal, especially  
12 when it comes to electricity use. Where BEVs use 100  
13 percent electricity, PHEVs do not because they can also  
14 run on gasoline. So, it's important to distinguish  
15 between the two in our forecast, which we do.

16           And, historically, PHEVs were more popular than  
17 BEVs. Back in 2012 and those early years, for example  
18 the Chevrolet Volt was one of the best selling PEVs on  
19 the market and it's a PHEV. So, that's why you would  
20 see more PHEVs. But for a number of reasons, Tesla not  
21 the least which, BEVs have been gradually gaining share  
22 among PEVs. And it surpassed 50 percent for good, so  
23 far in 2015, and by 2018 it was over 60 percent of PEVs  
24 sold were BEVs. And we do expect that trend to continue  
25 for a number of reasons. But based on our attribute

1 forecast, which I will go into, in more details, the  
2 conditions seem to be more favorable for BEVs. And  
3 coupled with historical data, we do expect to see more  
4 BEVs than PHEVs.

5           As I mentioned, vehicle attributes, this is sort  
6 of what we use to determine our forecast numbers. We  
7 use a number of attributes, both from the vehicle side,  
8 from the consumer side, and from the general econ  
9 demographic side. These are just the vehicle attributes  
10 which do account for regulatory requirements.

11           And for light duty vehicles, the attributes  
12 include range, price, fuel economy, acceleration, number  
13 of models available, refueling time, maintenance cost,  
14 cargo capacity. And we do weight them by importance  
15 based on our California vehicle sales. So, these are  
16 not all considered equally in our forecast.

17           Because in our vehicle survey we ask the  
18 respondents to sort of choose vehicles based on  
19 hypothetical attributes, and we use that to model how  
20 important people find each specific attribute.

21           Unsurprisingly, price is consistently considered  
22 the most important attribute. Range and fuel economy  
23 are also very important. So, you know, the other ones  
24 on that list, you know, cargo capacity, acceleration,  
25 it's not that we think they're unimportant, it's just

1 that they aren't weighted as much. But they are  
2 definitely considered and we do model those attributes  
3 as well, going through 2030.

4 And all this leads us to our forecast, which is  
5 shown here. This is by all fuel types. Obviously, this  
6 workshop is about electricity demand, so we're going to  
7 focus on the red and the purple lines, and that  
8 indicates BEVs and PHEVs, respectively.

9 The graph starts at 20 million. Everything  
10 below that is all gasoline. But you can see, as we move  
11 forward, the gasoline numbers aren't really increasing  
12 and that's partially because BEVs and PHEVs, to a lesser  
13 extent, are forecast to increase by a quite large  
14 amount.

15 And this is the --

16 COMMISSIONER MCALLISTER: Hey, Mark, can I jump  
17 in and ask a question about that?

18 MR. PALMERE: Uh-huh.

19 COMMISSIONER MCALLISTER: So, this takes into  
20 account all the fuel economy increases and everything,  
21 so these are absolute numbers of gas consumption, right?

22 MR. PALMERE: Oh, sorry, I should have  
23 clarified. This is vehicle --

24 COMMISSIONER MCALLISTER: Proposed vehicle  
25 population. I'm sorry. I'm glancing at it and trying

1 to multi-task and I didn't --

2 MR. PALMERE: Yeah. No, I should have clarified  
3 that.

4 COMMISSIONER MCALLISTER: Okay.

5 MR. PALMERE: But, yeah, we will do --

6 COMMISSIONER MCALLISTER: Okay, so this is  
7 population of cars. Okay, I got you.

8 MR. PALMERE: This is the number of vehicles on  
9 the road.

10 COMMISSIONER MCALLISTER: I got you.

11 MR. PALMERE: Yeah, so we have gasoline --

12 COMMISSIONER MCALLISTER: Yeah, thanks. Sorry  
13 about that.

14 MR. PALMERE: Oh, yeah, no problem.

15 And then, as I mentioned, the attributes, I had  
16 that slide about vehicle attributes. This slide sort of  
17 characterizes -- it may be a bit hard to read. It may  
18 be easier on your handout. But I'll just go over it,  
19 briefly.

20 So, we've got vehicle attributes, so we've also  
21 got incentives and preferences. So, the preferences,  
22 not only do they weight the importance of the  
23 attributes, but they also measure consumers' preferences  
24 for PEVs in general, versus other fuel types.

25 Whereas, there's like an inherent value of a

1 vehicle being a certain fuel type. And based on our  
2 surveys, we do find that consumers, all else being  
3 equal, do prefer BEVs and PHEVs to gasoline vehicles.  
4 And not only is that the case, but based on our modeling  
5 we increased that preference through the forecast in  
6 every case, but our low case, due to the fact that as  
7 the vehicles become more prominent on the road, people  
8 will become more aware of them. And, as a result,  
9 likely more interested in them.

10 COMMISSIONER MCALLISTER: Uh-hum.

11 MR. PALMERE: Incentives, that's another really  
12 important one. We have the federal and state credit and  
13 rebate, respectively, as well as carpooling access. And  
14 we do have those being phased out in the middle of the  
15 next decade, based on our assumptions of, you know, how  
16 much it would cost and what it would do to the funding.  
17 We kind of expect in our mid case the rebate to be  
18 phased out at around 2025. But in the more optimistic  
19 cases, we have it continuing through the forecast.

20 The same with HOV lane access. The federal tax  
21 credit, that one's a little more consistent throughout  
22 our different scenarios because they do have a set  
23 language in place about where it is phased out for  
24 manufacturers that reach over 200,000 sales. And so, we  
25 are decreasing the effect of it based on when we expect

1 manufacturers to have reached that. Tesla and GM  
2 already have, so it's already being taken into account.

3           Then, the attributes, as I mentioned, so the  
4 price is the most important one in our model. And these  
5 are based on -- our overall vehicle prices are based  
6 heavily on battery prices because that is one of the  
7 main components, and one of the barriers to lower costs  
8 of EVs. Batteries are still quite expensive.

9           But based on our modeling we have, you know, in  
10 the reference case it's down to \$100 per kilowatt hour.  
11 But in our high case, it's down to \$80 per kilowatt  
12 hour. And in our aggressive case, which isn't  
13 officially a part of the IEPR, but just a modeling  
14 exercise, it's also -- it's down to as low as \$70 per  
15 kilowatt hour.

16           We've gotten some questions about price parity.  
17 That's kind of a trending topic. People want to know  
18 when is it going to be equal to EVs -- or, equal to  
19 gasoline vehicles. And the answer is not as simple as a  
20 number because what we do, is we measure it by different  
21 classes of vehicles. So, there's going to be some  
22 classes we forecast where it will get very close to  
23 gasoline price parity, but not as much in others.

24           And that's just a factor of what, like what  
25 makes are available, whether it's like a more upscale

1 class availability, then it's less likely to reach  
2 parity. So, there's no like set answer to that. But in  
3 our forecast, the prices are definitely a lot more  
4 competitive and they -- even in the reference case, they  
5 get very close to gasoline, even if they don't quite  
6 reach them.

7           And then, range right now, it's over 300 miles  
8 by 2030 in all of our cases. Refueling time is lower  
9 and so is the time to stations, which measures how far  
10 people have to go in minutes to get to the nearest  
11 station.

12           COMMISSIONER MCALLISTER: Uh-hum.

13           MR. PALMERE: And all that gives us the numbers  
14 by PEVs. So, we saw the overall distribution, but this  
15 is just PEV-specific. So, in our reference case we have  
16 about 3.6 million PEVs on the road in 2030. In the high  
17 case, it jumps up to 4.6 million. And in the aggressive  
18 and bookend case it's over 5 million.

19           And these are all, you know, very positive  
20 numbers compared to where we are right now. As we can  
21 see, the black line is historical and the colored lines  
22 are forecast numbers. And even in the low case, we have  
23 over a five-fold increase. So, based on our forecast,  
24 things are definitely very optimistic for PEVs. And  
25 that's due to a number of factors that I went over, the

1 lowering of prices, increased preferences, increased  
2 availability, and the rebates.

3           And, as I mentioned, BEVs versus PHEVs, we saw  
4 the historical graph of BEVs are becoming more popular  
5 than PHEVs. Here, this is our forecast which kind of  
6 continues that trend. By 2027 we have -- we are  
7 forecasting over twice as many BEVs on the road, than  
8 PHEVs, and that number will only increase based on our  
9 forecast. And again, that's very important for  
10 electricity consumption.

11           And then, I want to talk a little bit about  
12 medium and heavy duty numbers. The battery electric  
13 truck stock, in the mid and high case, is forecast to be  
14 much higher than it is now. As much as 25,000 medium  
15 and heavy duty trucks on the road in 2030 and about  
16 10,000 in the mid case. The low case, that's less  
17 favorable for battery electric technology. It's  
18 expected to not really get off the ground. But in the  
19 other two cases it is very optimistic for that, as well.

20           The same with the school bus population. This  
21 is the mid case, I believe, and it's based on historical  
22 numbers and the announcements. For example, the  
23 announcement that the funding, the CEC-approved funding  
24 for over 200 electric school buses. You can see that in  
25 the chart that it's definitely expected to go up, as

1 well. And by 2030, our numbers have over 2,000 electric  
2 school buses on the road, which is a really good amount  
3 of progress.

4           And then, electric transit buses. And this is  
5 modeled a little different than freight because so much  
6 of what transit buses funding comes from, the government  
7 -- the government funding, so it's easier to expect them  
8 to use electric buses. So, that's why we see in all  
9 cases electric buses are making a dent in the overall  
10 number of buses, up to 3,000 to 5,000, depending on the  
11 case. Which statewide, that's a very significant  
12 number.

13           And all that leads up to our overall electricity  
14 demand forecast. This morning, Cary showed the light  
15 duty vehicle electricity demand forecast. And if you  
16 have that chart out, you'll see that it looks very  
17 similar because overall we expect a great majority of  
18 the transportation electricity demand to be light duty  
19 vehicles.

20           But as you saw in those recent charts, those  
21 freight, buses, and school buses also expected to  
22 increase their electricity demand.

23           And all of that leads to about 16,000 gigawatt  
24 hours demand in 2030 in the mid case, but as high as  
25 20,000 in the high case. And so, that's a very

1 significant amount of electricity. Obviously, we model  
2 it at the annual level, so we don't focus as much on  
3 load shapes, but it's something that is becoming more  
4 and more relevant to the overall electricity demand  
5 forecast. And we definitely are continuing to model it  
6 and continuing to see positive trends for transportation  
7 electrification.

8           And that is my last slide. I want to just talk  
9 briefly about our team. I'm one of many, including our  
10 new supervisor, Heidi, Anis Bahreinian, who is our lead  
11 forecast and would be presenting this, but she is out of  
12 the country, actually. Bob McBride is right there and  
13 he is the one, our expert on freight modeling. Jesse  
14 Gage does our DMV analysis. Elena Giyenko does ZEV  
15 incentives, as well as the bus modeling. Ysbrand van  
16 der Werf does fuel prices and urban modeling. And  
17 Sudhakar Konala, who's presenting next on solar  
18 attributes, does double duty, because he also does a lot  
19 of ZEV attributes for us as well. And all of the  
20 contact information is there, so if you have any further  
21 questions about any specific topics, please feel free to  
22 reach out to us. And we're also open for public comment  
23 after the workshop.

24           COMMISSIONER MCALLISTER: Yeah, right.

25           MR. PALMERE: Thank you.

1           COMMISSIONER MCALLISTER: Thanks, Mark. It's  
2 really, actually really phenomenal, the development of  
3 these markets. I mean, you know, just from year to  
4 year, the last, you know, six years, the last four  
5 forecasts, or whatever, it's a whole different ball  
6 game, now, in terms of the scale we're getting with EVs.

7           MR. PALMERE: Yeah, it's definitely changing  
8 very rapidly. And even how we forecast it, based on new  
9 developments and new technology, it changes every year.

10          COMMISSIONER MCALLISTER: Yeah, it's great.

11          MR. PALMERE: Thank you.

12          COMMISSIONER MCALLISTER: Thank you.

13          MR. FUGATE: So, our next presenter is Sudhakar  
14 Konala, to talk about our self-generation forecast.

15          MR. KONALA: Good afternoon Commissioners,  
16 stakeholders, members of the public. Today I'm going to  
17 be -- I'm Sudhakar Konala, and I will be presenting the  
18 self-generation forecast, but mainly I'm going to be  
19 concentrating on the PV forecast.

20                 So, just a brief overview of what I'm going to  
21 be going over. So, I will briefly go over the forecast  
22 methodology for the forecast. And then, I'm going to  
23 review some historical self-generation information in  
24 terms of capacity and energy.

25                 Then, I'm going to go through our statewide

1 forecast before diving into individual forecasts for the  
2 utility/planning areas. And, finally, I'll end up by  
3 giving a brief overview of what to look forward to.

4           So, just to start off, I want to emphasize the  
5 definition of our scenarios. So, as Cary mentioned, we  
6 have three different demand cases, the high, the low and  
7 the mid. What I really want to emphasize here is  
8 something that's kind of counterintuitive, but it's  
9 really important to understand. And that's that in the  
10 high electricity demand case, we're modeling low PV  
11 adoption. That's how we get high electricity demand.  
12 And in the low electricity demand case, we're modeling  
13 high PV adoption.

14           So, some of the assumptions related to PV  
15 adoption are going to be reversed compared to the demand  
16 cases.

17           So, here's a very high level overview of the  
18 models that we use to forecast PV growth. We have  
19 several different inputs that go into the models. They  
20 include just historical statewide, installed behind-the-  
21 meter PV capacity. But we also consider economic and  
22 demographic data, specifically growth in households,  
23 growth in commercial floor space, and residential and  
24 commercial accounts. Also incorporated into the  
25 forecast are electricity and natural gas prices. And,

1 finally, there were some PV-specific data that are  
2 considered, such as system costs and performance.

3           And all of that information is fed into our  
4 models. We have two primary models, which is the  
5 residential sector predictive model and the commercial  
6 sector predictive model. And then, for everything  
7 that's not residential or commercial, we use a trend  
8 analysis based on historical installations.

9           Out of these three models, we get an output of  
10 statewide installed behind-the-meter PV capacity. And  
11 then, we use capacity factors that are specified by 20  
12 different forecast zones. And from that, we get a  
13 forecast of energy generation for behind-the-meter PV.

14           I just want to emphasize that the residential  
15 and the commercial sectors predict PV penetration based  
16 on calculated payback period and bill savings, using a  
17 bath diffusion approach.

18           Okay. I also want to take a little time  
19 recapping AAPV, our additional achievable PV. In the  
20 past, AAPV accounted for, at what the time was proposed  
21 standards, for PV requirements for new homes.

22           Our baseline forecast forecasts adoption of PV  
23 for new homes. But AAPV was defined as the difference  
24 between PV adoptions for new homes due to the 2019 Title  
25 24 regulations compared to what the market forecast was.

1 And that difference between the market forecast and the  
2 regulations is the definition of AAPV.

3 So, in 2019, since the building standards  
4 officially became law, we have incorporated AAPV into  
5 the baseline PV forecast. So, based on this  
6 information, our forecast of PV adoption for new homes  
7 is now based entirely on regulatory compliance, rather  
8 than a market forecast.

9 In terms of the assumptions of regulatory  
10 compliance, they remain the same from previous  
11 forecasts. So, in the low energy demand case, we're  
12 assuming 90 percent adoption for new homes. In the high  
13 case, it's about 70 percent, with the mid case coming in  
14 at 80 percent.

15 Also, assumptions of the average PV system size  
16 for new homes remains the same from previous forecasts.

17 I do want to make one point. In terms of the PV  
18 forecast, I am going to be restating some of the results  
19 from previous forecasts. The reason why I'm doing this  
20 is because previous forecasts don't necessarily include  
21 AAPV in the baseline. And if I were to present those  
22 results, there would be a huge difference without having  
23 a meaningful insight. So, it's my way of doing an  
24 apples-to-apples comparison.

25 So, just a brief overview of the specific inputs

1 that were updated for the 2019 preliminary PV forecast.  
2 We have a whole new dataset of PV interconnection data.  
3 And most important of all from this is new data coming  
4 from the 1304-B regulations. It's a new dataset that's  
5 been available to us for this year, for the first time.

6 Also updated, economic and demographic data that  
7 Cary Garcia went over. We also updated electricity  
8 rates and electricity rate schedules, when appropriate.  
9 And then, we updated historical PV system costs as well.

10 I briefly want to do an overview of the  
11 interconnection data that we use to generate the  
12 historical PV installation data. So, in gray are data  
13 sources that we've used in the past. They still remain  
14 part of the historical dataset, just because to update  
15 the entire historical dataset is a large undertaking  
16 that is reserved, probably, for an off-IEPR year.

17 But what I want to emphasize is that from the  
18 last forecast to this forecast we do have several new  
19 datasets, especially the 1304-B dataset. So, we relied  
20 on that heavily to update installations through 2018.

21 Okay. So, now to some historical PV  
22 installation data. So, at the end of 2018, there was  
23 about 8,100 megawatts of total installed capacity. And  
24 what we're seeing is that over the last three years the  
25 PV market has been maturing, with installations

1 averaging between 1,300 and 1,400 megawatts annually.  
2 And, specifically, we are seeing more growth in the  
3 commercial market, with the residential market being  
4 relatively flat over the last four years.

5 In addition to that, there was about 150  
6 megawatts of energy storage that's been installed at the  
7 end of 2018, 52 percent of which was in Southern  
8 California Edison's territory. And of the 150  
9 megawatts, about 90 megawatts of storage was installed  
10 in the last two years alone. So, we do an acceleration  
11 in storage going on, as well.

12 So, here I just have a list of installed  
13 capacity broken down by some of the larger utilities,  
14 and I guess the mid and major utilities as well. It's  
15 just for reference, for anyone that's interested. I'm  
16 not going to spend too much time going through it.

17 The main points I want to make is that the  
18 large, the big five utilities, the IOUs, LADWP and SMUD,  
19 they account for over 95 percent of the total installed  
20 capacity in the State. And if you consider some of the  
21 smaller ones, we're actually over 99 percent. So, that  
22 is the updated dataset that we're working with for the  
23 historical installed PV capacity.

24 So, with that, I'm going to get into the  
25 forecast. First, I'll start with the statewide

1 forecast. So, here's a chart of self-generation, both  
2 historical and forecasted for the State of California.  
3 In 2018, there's an estimated 28,000 gigawatt hours of  
4 self-generation in the State, roughly split 50/50  
5 between PV and other.

6 As for the forecast itself, we assume that non-  
7 PV self-gen, which is mostly combined heat and power, is  
8 going to be relatively flat in the forecast period, and  
9 this just reflects the trend in recent years. Over the  
10 last four or five years, we don't see much growth.

11 But in terms of PV, we see it growing from about  
12 13,800 gigawatt hours in 2018 to over 40,000 gigawatt  
13 hours in the mid case. So, this represents almost a  
14 three-fold growth in generation from PV by 2030.

15 Okay. So, if you guys have any questions at any  
16 time, please feel free to stop me, otherwise I'm going  
17 to keep going.

18 So, in terms of the PV forecast, as I mentioned  
19 before in 2018 there was about 8,100 megawatts  
20 installed. In the high electricity demand case, we  
21 expect that to increase to about 19,400 megawatts. In  
22 the mid case, to about 23,100 megawatts. And in the low  
23 electricity demand case to about 26,800 megawatts.

24 And how this compares to the previous forecasts,  
25 I have here as well. So, what we're seeing is we're

1 seeing a narrowing of the range compared to previous  
2 forecasts. So, the low is slightly lower than the  
3 previous lows, and the high is significantly higher than  
4 the previous highs, and the mid is essentially an  
5 average of the low and high. It's slightly higher than  
6 previous mids.

7           The most important point to make about this,  
8 specifically, is that the high is higher mainly due to  
9 faster commercial growth, but also because actual 2018  
10 installed PV capacity is much higher than we'd  
11 previously projected, so that is affecting the  
12 projections going forward.

13           COMMISSIONER MCALLISTER: So, Sudhakar, you  
14 mentioned at the outset that the driver was primarily  
15 sort of -- really, the consumer benefit, you know, the  
16 rate and the cost, and sort of the, essentially, cash  
17 flow model, I guess, or rate of return model.

18           MR. KONALA: Yeah.

19           COMMISSIONER MCALLISTER: Are we sure about  
20 that? I mean, because there seems to be some kind of  
21 market dynamic that people kind of get solar. You know,  
22 there is some uncertainty around that metering. And so,  
23 like I wonder how confident people are in that calculus,  
24 but maybe decided to do it anyway. So, and maybe that  
25 could explain some of this market strength.

1 MR. KONALA: Yeah. Yeah, I mean, in terms of  
2 the financial auditing, it does make, you know, a lot of  
3 sense to go to solar. So, and we are doing a financial  
4 analysis, more than -- so, on the transportation side,  
5 they do surveys and they do, I guess, preferences, and  
6 we don't have that aspect in PV.

7 COMMISSIONER MCALLISTER: Oh, right, okay. All  
8 right, got it, thanks.

9 MR. KONALA: Okay. So, I'm not going to spend  
10 too much time on the next two slides, but I just wanted  
11 to give some numbers out to stakeholders and members of  
12 the public, so they could maybe review it and, if they  
13 wanted to, come back with questions later on.

14 So, here, I just have projections of capacity by  
15 each of the planning areas in 2030, and the differences  
16 from the 2017 and 2018 forecasts.

17 So, in the mid case, again, the capacity  
18 projection for statewide is about 23,000. That's about  
19 a thousand megawatts higher than the 2018 IEPR forecast  
20 an about 2,000 higher than the 2017 forecast.

21 I have similar numbers for energy, as well, so  
22 if you have questions, just let me know.

23 Finally, for this section, I have a slide on the  
24 contribution of the Title 24 standards. As I had stated  
25 previously, we incorporated the contribution from these

1 standards into the baseline forecast, formerly known as  
2 AAPV. The standards take into effect starting next  
3 year. And, again, this is a forecast of regulatory  
4 compliance. But there is a direct correlation with  
5 these numbers and our forecast of new home construction.  
6 So, if our forecast of new home construction changes,  
7 then it's directly going to affect the contribution of  
8 the standards to the PV forecast.

9 COMMISSIONER MCALLISTER: Those LADWP numbers  
10 seem super small.

11 MR. KONALA: Yes. I was going to cover that and  
12 the LADWP people are probably --

13 COMMISSIONER MCALLISTER: Okay. You know, go  
14 ahead. That's fine, you can do it when you wanted to do  
15 it, that's fine.

16 MR. KONALA: Okay.

17 COMMISSIONER MCALLISTER: I mean, SMUD, I mean,  
18 their territory is so much larger, they're number of  
19 customers is larger than SMUD.

20 MR. KONALA: Actually, I'll cover it now, since  
21 we're on it. So, overall, LADWP numbers are not that  
22 small. This is just only the contribution from new  
23 homes. And this is directly related to the forecast of  
24 new homes in LADWP. So, what we saw is the forecast for  
25 new home growth for this year, for some reason the

1 growth is significantly slower. And that is something  
2 we want to look into, to see why that happened.

3 But in the previous forecasts we have much  
4 higher growth in LADWP and this year the growth was very  
5 flat. So, that is leading to like very little growth in  
6 the AAPV portion of the residential section -- or  
7 sector.

8 COMMISSIONER MCALLISTER: Okay. But SMUD is so  
9 radically different that it's tenfold?

10 MR. KONALA: So, it's the growth rate for  
11 housing. I don't know the numbers off the top of my  
12 head. LADWP was very small and SMUD wasn't very  
13 significantly different from the previous forecast.

14 COMMISSIONER MCALLISTER: Okay. Okay, that will  
15 be interesting to look into, yeah.

16 MR. GARCIA: Yeah, I think he noticed pretty  
17 late --

18 COMMISSIONER MCALLISTER: Oh, okay.

19 MR. GARCIA: (Inaudible).

20 COMMISSIONER MCALLISTER: Yeah, okay, that  
21 sounds good.

22 MR. GARCIA: Oh, yeah. Yeah, it's not just the  
23 -- it's the calculation of additions, as well.

24 COMMISSIONER MCALLISTER: Okay.

25 MR. GARCIA: So, like the SMUD growth rate is

1 about 1 percent and the growth rate of the overall stock  
2 is a little -- I think I talk about it in my  
3 presentation later. I think it's a little below 1  
4 percent, as well.

5 COMMISSIONER MCALLISTER: Okay.

6 MR. GARCIA: But then, when you start getting  
7 into the additions and looking at what was added, we're  
8 getting some peculiar numbers on that one. And I think  
9 it's also due to how we're taking L.A. County, and we  
10 have to share it out into our forecasting zones.

11 COMMISSIONER MCALLISTER: Uh-hum.

12 MR. GARCIA: So, we have LADWP split into two  
13 zones. And that is kind of troublesome with those  
14 little pockets, and how LADWP is split, so that causes  
15 some issues. And we even compared that, our numbers  
16 against what LADWP submitted in their demand forecast  
17 for the IEPR, and there were significant differences in  
18 the housing growth. So, as you said, we're going to  
19 look into that.

20 COMMISSIONER MCALLISTER: Okay. Yeah, that  
21 seems like kind of an outlier.

22 MR. KONALA: Yeah, it makes our overall demand  
23 forecast difficult to compare as well.

24 COMMISSIONER MCALLISTER: Okay.

25 MR. KONALA: I guess the main point I'd like to

1 make is in terms of the Title 24 standards, the growth  
2 in new home construction completely determines the  
3 disproportion of the forecast. So, any anomalies can be  
4 traced back to the household forecast, essentially.

5 Overall, though, for the entire State, and these  
6 numbers are for 2030, I didn't mention that, the AAPV  
7 portion is pretty similar to the previous forecast.

8 COMMISSIONER MCALLISTER: Okay.

9 MR. KONALA: So, I'm actually going to move on  
10 to some of the utility forecasts. And I have a lot more  
11 data on here than I can go through. But just for  
12 completeness, I have lots of tables in here.

13 So, for PG&E, I've provided the baseline  
14 forecast. In terms of total energy in 2018, theirs is  
15 about 6,400 gigawatt hours' worth of energy generated  
16 from behind-the-meter PV. In the mid case, we expect  
17 that to go up by about three times, to about 18, 2000.

18 Solar installations are growing at a pretty good  
19 rate, although we see faster growth in the commercial  
20 sector than the residential sector. As you can see,  
21 growth is higher in the early part of the forecast, than  
22 the later part of the forecast. That's mainly due to  
23 two reasons. One, we have the expiration of the tax  
24 credit in 2021, so that's driving some of the adoption  
25 early on and it's tapering off later on.

1           But also, in 2020 we have those additions from  
2 the Title 24 standards, so that's also bumping up  
3 adoptions in 2020, as well.

4           In terms of overall numbers, for the low demand  
5 case we see generation reaching up to 21,000 gigawatt  
6 hours and in the high demand case as low as 15,000  
7 gigawatt hours.

8           And I have a chart here just showing the trends  
9 in the different sectors. So, you can see that growth  
10 is primarily driven by the residential sector in the  
11 early years, but then it's flattening out a little bit,  
12 and the commercial sector is what's growing in the later  
13 part of the forecast.

14           So, PG&E represents the largest portion of  
15 installed capacity in the State, so their numbers are  
16 going to kind of match the statewide average. The other  
17 utilities, I will be comparing to like PG&E as a proxy  
18 for statewide average.

19           So, moving on to Southern California Edison.  
20 So, for Southern California Edison, in 2018 we estimate  
21 that PV generation was about 4,400 gigawatt hours. By  
22 2030, we expect that to grow to about 14,500 gigawatt  
23 hours in the mid case, up to 16,900 gigawatt hours in  
24 the low case. Just like PG&E and the statewide  
25 forecast, the mid case is higher than the previous mid

1 cases. This is primarily driven by higher growth for  
2 Edison, both in the residential and the commercial  
3 sectors compared to previous forecasts.

4 Overall, compounding the annual growth rate for  
5 solar between 2018 and 2030 is about 10 percent. And  
6 the midrange is about 9 percent higher than the 2018  
7 forecast.

8 Okay. So, now, moving on to San Diego. So, for  
9 San Diego, estimated PV generation in 2018 was about  
10 1,700 gigawatt hours. We forecast that to go to about  
11 4,100 gigawatt hours in the mid case, and as high as  
12 4,600 gigawatt hours in the low energy demand case.

13 Now, San Diego has a different curve to it and  
14 I'm going to get into that in the next slide. So, one  
15 of the trends that becomes evident, when you compare  
16 different utilities, is starting at where the baseline  
17 penetration rate for PV is, is kind of determining how  
18 fast or how slow PV grows. So, Edison had the fastest  
19 growth rate in the State over the forecast period, but  
20 that's because they had the lowest penetration rate of  
21 solar in 2018.

22 San Diego is on the opposite end of the  
23 spectrum. They currently had the highest penetration  
24 rate of solar compared to any other utility, but they  
25 have the slowest growth rates. And that's just because,

1 especially in the low energy demand case, they're kind  
2 of saturating the market, especially in residential  
3 solar. And since the mid case is an average of the low  
4 and high cases for our PV forecast, part of that is  
5 being translated into what you see in the mid case,  
6 which is shown in this graph.

7           So, in this case, you can see strong growth in  
8 the residential sector through 2021, people taking  
9 advantage of the tax credit. And then, essentially, a  
10 leveling off of growth in the residential sector.

11           But in the commercial sector, you still see  
12 growth happening, and that leads to the funky curve from  
13 the previous slide.

14           So, okay. Finally, I'm going to move on to the  
15 POUs, although we already discussed LADWP. So, in 2018,  
16 energy generated from PV was about 486 gigawatt hours.  
17 And in the mid case, we forecast that to go to about  
18 1,080 gigawatt hours. That's about a 20 percent  
19 decrease from the previous forecast. And the vast  
20 majority of that decrease does come from how we are  
21 modeling AAPV and the effect of that slower growth rate  
22 and new household growth.

23           So, if, for the revised forecast we have revised  
24 growth in households, then that could go back up. But  
25 currently, the difference that we're seeing is in the

1 residential sector for new home construction.

2           So, here's a chart of the sector breakdown for  
3 LADWP. We don't really see, unlike the other, the three  
4 IOUs, we really don't see PV installations in  
5 nonresidential and noncommercial sectors, but the vast  
6 majority of the PV installations are in the residential  
7 sector. And the growth in households is affecting this,  
8 essentially the forecast this time versus last.

9           And last of the big five is SMUD. So, in 2018,  
10 SMUD had about 320 gigawatt hours of PV generation. In  
11 the mid case, we see that going to about 1,130 gigawatt  
12 hours. In the low case, as high as 1,470 gigawatt  
13 hours. And SMUD has a fairly high growth rate. Part of  
14 that has to do with currently they have rather low PV  
15 penetration compared to the IOUs, so they just have more  
16 room to grow.

17           And I believe I'm channeling my inner Cary  
18 Garcia, but overall SMUD's territory is growing faster  
19 economically and population-wise, compared to like the  
20 other areas, so that leads to faster growth as well.

21           So, that concludes the planning area forecast.  
22 So, I wanted to conclude, briefly by going over the next  
23 steps for the PV forecast and for the self-generation  
24 forecast. But if you have any questions on what I've  
25 presented, feel free, okay.

1           COMMISSIONER MCALLISTER:  So, I'm good for now,  
2  thanks.

3           MR. KONALA:  Okay.  We have several updates in  
4  mind for the revised forecast and moving forward.  The  
5  most important part for the 2019 revised forecast is to  
6  do an updated energy storage forecast.  We did do an  
7  update for the preliminary, but we did not change any  
8  methodology.  For the revised forecast, we hope to come  
9  up with methodological changes.

10           Basically, right now, our energy storage  
11  forecast does a trend analysis of recent trends and we  
12  just project that out to 2030.

13           For the revised forecast, we hope to get  
14  feedback from stakeholders, especially in the workshop  
15  in late September, that Nick had referenced.  And we're  
16  looking to get more information on energy storage  
17  profiles.  And with this information, we are hoping to  
18  do modeling changes where we do forecasting based more  
19  on like the financial metrics, and not just the trend  
20  analysis.  But this is ongoing work.  So, probably,  
21  we'll have a lot more information in that workshop in  
22  late September about it.

23           COMMISSIONER MCALLISTER:  So, on an hourly  
24  front, so I think that's great.  I mean, there's a  
25  really interesting discussion that, actually, I'm not

1 sure how we get past sort of opinion, without really  
2 seeing what the marketplace actually does. But how  
3 people actually use these batteries, how they dispatch  
4 them. How they -- you know, do they actually follow  
5 economic logic or do they, you know, do kind of a, you  
6 know, more behind-the-meter just storing their solar  
7 when they've got it, or do they arbitrage out there  
8 somewhere.

9           So, we need to think about who we want to inform  
10 that discussion in the near term to try and anticipate  
11 what's going to happen.

12           But on the solar front, what are we doing on the  
13 hourly front? You know, obviously, solar's more  
14 predictable, but are we looking at how that maps onto  
15 the hourlies and, you know, the peak shift and all that?  
16 What status is that discussion in or that part of the  
17 analysis?

18           MR. KONALA: Okay. So, we have hourly  
19 generation profiles. We currently used profiles from  
20 E3, which was a confidential study that they did for the  
21 CPUC, I believe in like 2013, 2014, based on about five  
22 years' of historical generation.

23           COMMISSIONER MCALLISTER: That's the production  
24 profiles of PV?

25           MR. KONALA: Yeah.

1 COMMISSIONER MCALLISTER: Okay.

2 MR. KONALA: Yeah. So, we have that  
3 information. We incorporate that and we provide a  
4 project of historical -- sorry, hourly forecasts. And  
5 then, that gets fed into the general California Energy  
6 Demand Hourly Model. But the hourly numbers are only  
7 incorporated for the IOUs. For the POUs, we just use a  
8 peak factor.

9 COMMISSIONER MCALLISTER: Okay.

10 MR. KONALA: So, there's a different methodology  
11 depending on whether it's an IOU or a POU.

12 COMMISSIONER MCALLISTER: Okay.

13 MR. KONALA: So, in terms of PV generation  
14 profiles, and I have this later in the slide, there --  
15 we -- so, the data is a little bit old and it is  
16 confidential, so we can't share it out. But we're  
17 looking into maybe getting update PV generation  
18 profiles. Unfortunately, a lot of the work for the  
19 preliminary forecast went into just looking at  
20 historical data from that new, 1304-B dataset. So, a  
21 lot of the modeling work we wanted to get to on PV  
22 generation profiles didn't get done for the preliminary.  
23 And there probably isn't enough time to get it done for  
24 the revised. So, we're hoping it will be part of the  
25 2020 update for the new PV generation profiles.

1           COMMISSIONER MCALLISTER: Yeah, okay. I mean,  
2 NREL, I see NREL we've got coming up next. But on a  
3 different topic, NREL also has tools to do the modeling,  
4 production modeling, you know, based on satellite data  
5 and stuff, so it's not based on monitored data. But if  
6 -- maybe we could do a project to see whether they're  
7 that different. And that could actually save some  
8 effort if we could model and be pretty much right on. I  
9 don't know, just a suggestion.

10           MR. KONALA: Yeah. The datasets that NREL has,  
11 that they use to power their PV Watts application, is  
12 one of the thing we're considering for the new PV  
13 generation model.

14           COMMISSIONER MCALLISTER: Okay, great. Thanks.

15           MR. KONALA: And then, my final slide, which I'm  
16 just going to -- so, an update on the NREL model that  
17 we're contracting with NREL to adapt, their DGen model  
18 for use, for the State of California. So, that work is  
19 ongoing. NREL is going to present the preliminary  
20 results today and then, they'll come back in December  
21 and present some revised results, as well.

22           But modeling work is going to be ongoing between  
23 now and then, and maybe even after the revised forecast.

24           And then, I've presented this slide before, so  
25 I'll be short. But, hopefully, our hope is to have

1 staff running this model by the next IEPR forecast in  
2 2021. So, with that, that concludes my presentation.  
3 And the details about the NREL model, I want to leave it  
4 up to Kevin McCabe, of NREL, to describe when he's up  
5 here.

6 COMMISSIONER MCALLISTER: Okay. All right.  
7 Thanks, Sudhakar.

8 MR. FUGATE: Okay. So, our next presenter is  
9 Kevin McCabe, with NREL, to talk about dGen.

10 MR. MCCABE: Good afternoon. My name is Kevin  
11 McCabe. I'm an analyst at the National Renewable Energy  
12 Laboratory, in Golden, Colorado. Today, I'll be  
13 presenting our preliminary results for our rooftop solar  
14 forecast and model validation study, for which we've  
15 been contracting with the CEC for the past year and a  
16 half, or so.

17 Quickly, I'd like to thank members of the dGen  
18 team, Paritosh Das, Ben Sigrin, and Trevor Stanley,  
19 without whom this work would not have been possible.

20 So, for those unfamiliar, NREL has been  
21 contracted by the California Energy Commission to adapt  
22 our DER adoption forecast model for the State of  
23 California. That model is called the Distributed  
24 Generation Market Demand Model, or dGen for short. I'll  
25 touch a little bit more about some of the higher level

1 details of the model on the next slide.

2           But to introduce today's talk, I note that we'll  
3 be presenting on two distinct aspects of the project to  
4 date, namely very new work. The development of a new  
5 methodology to calibrate and validate dGen's predictive  
6 performance. And this is done by defining a historic  
7 period, in this case the years 2008 through 2016, and  
8 understanding how dGen would have predicted or, rather,  
9 the amount of adoption dGen would have predicted for  
10 that backcasted portion of the model.

11           And this gives us the sense of not only the  
12 accuracy of those historic periods, but also gives us  
13 confidence in the model moving forward in the forecast  
14 portion.

15           And speaking of forecasts, that is the second  
16 aspect of the results presented today, our preliminary  
17 forecast for distributed solar generation in the State.  
18 Noting a few updates relative to last year's DAWG  
19 meeting, which was kind of the last major iteration of  
20 the model, namely we have increase of spatial  
21 resolution, not only in the ability to ingest inputs,  
22 but also increase spatial resolution of the outputs, as  
23 well.

24           We've also been looking into improved resolution  
25 of emerging market segments. Think multifamily

1 buildings, renter occupied buildings, anything that's  
2 the nontraditional, non-single-family owner-occupied  
3 segment. And, of course, we've been incorporating, as  
4 they roll out, the net metering 2.0 features throughout  
5 the IOUs including, of course, the transition to time-  
6 use tariffs. And other features, including non-  
7 bypassable charges, interconnection fees, et cetera

8 I mentioned dGen is our adoption forecast model.  
9 It is capable of forecasting the adoption of distributed  
10 PV or solar, but we also have modules for behind-the-  
11 meter storage, wind, and geothermal as well, think  
12 geothermal or ground source heat pumps. And this  
13 forecasted adoption can be done by region and sector  
14 through 2050, though today we'll be looking only through  
15 2030.

16 dGen is in the family of agent-based models and  
17 is capable of simulating complex, consumer decision  
18 making processes. It gets at understanding the  
19 behaviors that consumers exhibit and some of the  
20 decisions they make when considering adopting  
21 distributed generation technologies.

22 dGen also sits on a rich amount of spatial data,  
23 which we intersect a number of these spatial layers to  
24 better understand when and where adoption occurs in a  
25 given region. This graphic on the right gives you a

1 sense of what that might look like. This was from some  
2 recent analysis where we were looking at the tradeoff of  
3 the economics of a distributed wind versus a distributed  
4 solar, or rooftop PV project throughout the State.

5 The panel on the top right shows the solar  
6 resource in the State. The panel on the bottom left  
7 shows the county level electricity consumption in an  
8 annual term. And then, the bottom right panel is a  
9 metric we call the solar siting availability. It just  
10 gives us a sense of the percentage of rooftops in a  
11 given area that are suitable for rooftop solar siting.

12 And, really, all these layers combine and  
13 intersect to inform that top left panel which is, in  
14 this case, what we call economic potential. I get back  
15 to that definition in a few slides. But just, the gist  
16 of this is that we have a number of intersecting spatial  
17 layers on top of other layers, on top of other data, and  
18 all these intersect to give us a sense of results of  
19 adoption or potential for the State.

20 And this is important because within the team  
21 we're really starting to ask ourselves how accurate is  
22 our model? How accurate is any adoption forecast model?  
23 And a big motivator for that is cost, naturally.

24 This is some work performed by colleagues at the  
25 lab, which showed that the cost of mis-forecasting

1 distributed generation resource can be quite high,  
2 though certainly varies greatly with the amount of  
3 actual error and the DPV penetration level.

4           Here, this chart is a little busy, but I'll walk  
5 through it. Here, on the X-axis we're looking at the  
6 systematic error in a 5-year forecast for a given  
7 utility or region. The Y-axis shows an increasing level  
8 of DPV penetration over a 15-year period as a percentage  
9 of total generation. And the V-axis, or what the  
10 colored regions are showing, is the change in total  
11 present value system cost relative to what a perfect  
12 forecast would have been.

13           And so, there's some interesting regions on the  
14 graphic here, but perhaps the most critical is in the  
15 top left corner, where we see a hypothetical region, a  
16 hypothetical utility with an 8.5 percent DPV penetration  
17 level that is under forecasting at a 100-percent rate.  
18 In this case, we are looking at upwards of \$6.8 million  
19 per terawatt hour of electric sales, that is those costs  
20 that re incurred due to that mis-forecast.

21           And so, maybe that's not a great example. You  
22 would expect that utility, expecting 8.5 percent  
23 penetration, would expend a little more effort and cost  
24 into their forecast. But, nonetheless, it just  
25 illustrates some of the motivators and drivers for

1 understanding DR adoption.

2           And, certainly, we've looked at the literature  
3 and tried to better understand these drivers. But a lot  
4 of literature base is largely oriented around  
5 explanation and not necessarily prediction of the  
6 adoption itself.

7           So, that leads us to where we are today. The  
8 methodology for adapting our dGen model for the State of  
9 California. I mentioned we're starting to look at a  
10 backcasted period, starting in 2008 and running through  
11 2016 as our historic period. And what we're really  
12 attempting to get at is economic calculations and,  
13 ultimately, adoption projections for those historic  
14 years.

15           And so, the chart on the left gives you a sense  
16 of what those economic calculations might look like.  
17 This is the model of the payback period. The payback  
18 periods are coming out of dGen for that historic period  
19 and looking forward to 2025. And from this, you can  
20 start to see some of the trends that you might expect,  
21 like decreasing solar technology costs over time.  
22 Perhaps you can see the effect of the ITC phase out, the  
23 effect of net metering 2.0 rollout, et cetera.

24           And this gives us confidence and leads us to the  
25 chart on the right, which is what we're trying to match,

1 what we're trying to fit the dGen model to, which is the  
2 known annual installed DPV capacity in the State, going  
3 as far back as 2000 in this chart but, of course, 2008  
4 is the start of our historic period.

5           And so, the effort, the recent effort we've  
6 embarked on with the CEC is to try to understand how we  
7 can better calibrate the model to match that historic  
8 data. And so, to that end, dGen was calibrated with  
9 suite of scenarios to better understand the effect of  
10 two distinct aspects on the fit to historic data.

11           So, we looked at the effect of the geospatial  
12 resolution. We do have county level adoption totals,  
13 historic adoption totals. And so, we wanted to look at  
14 the effect of keeping, or rather fitting the model using  
15 county level data versus aggregating that up, and  
16 looking at what the fit would be at the State level.

17           And we also looked at the influence of historic  
18 payback periods as well, essentially, the influence of  
19 historic economics on the goodness of fit of model to  
20 actual data. And so, what we found is that in general  
21 the fit to historic adoption data is better when the  
22 influence of historic payback periods is ignored.

23           And this is, perhaps, a bit counterintuitive.  
24 You would expect economics are, and indeed are, one of  
25 the main drivers for adoption of any distributed

1 generation technology. And the other aspect, the effect  
2 of geospatial resolution we found to be minimal, though  
3 the best fit in this suite of scenarios is looking at  
4 county level resolution.

5           And so, the table on the right shows you some of  
6 the numbers related to these scenarios that we ran,  
7 where indeed the county level resolution, plus the no-  
8 payback influence scenario gave us a normalized root  
9 mean square error of about 13.7 percent. And so, that  
10 corresponds to the orange line there, in the chart on  
11 the left.

12           You know, and I should mention this is very new  
13 work. We're continuing to refine these methodologies  
14 and processes. I mentioned that there is some counter  
15 intuitiveness to the fact that our best fit came from a  
16 scenario where we are not considering historic  
17 economics. As I mentioned, we're continuing to  
18 understand this process and potentially refine these  
19 results to include -- to improve them in general.

20           And so, what this does is this calibration and  
21 validation study gives us confidence, then, moving  
22 forward looking at our adoption forecast. Where we are  
23 again looking at a suite of scenarios, this time looking  
24 forward, to show the sensitivity of projected adoption  
25 to certain variables or conditions, including different

1 PV cost schedules, as well as the demand scenarios that  
2 the CEC has run in their analysis.

3 So, anchoring our scenario analysis is the mid  
4 case. This is, essentially, our central assumptions of  
5 things like technology costs, the growth rates for  
6 economics and demographics, as well as the growth rate  
7 of electricity, retail and wholesale rates that is.

8 And then, surrounding those in the demand  
9 scenarios are the high and low demand scenarios, which  
10 we've attempted to align, as best as possible, with the  
11 CEC high and low demand scenarios. Though, certainly we  
12 note that the frameworks of the two different models are  
13 quite distinct and, therefore, some of the inputs aren't  
14 exact though, as I mentioned, we have attempted to align  
15 them as best as possible.

16 Two other scenarios that we're looking at as  
17 well, on top of these demand scenarios, are looking at  
18 the effect of differing PV cost schedules over time.  
19 And these are the high and low PV cost scenarios that  
20 you see here. And before I move on from this slide, I  
21 note that a lot of our data and projections of things  
22 like costs and rates come from NREL's annual technology  
23 baseline, or ATB effort. There's some details on the  
24 site there, [atb.nrel.gov](http://atb.nrel.gov), and I'd be happy to answer  
25 more questions at any time. But this just gives us a

1 sense of what technology costs look like into the  
2 future, under different scenarios and, by extension,  
3 what the retail and wholesale electricity rates look  
4 like for that given mix of generation technologies.

5           And so, here are the preliminary results for the  
6 adoption forecast, showing the sensitivity to those  
7 scenarios that I mentioned. We found that the  
8 sensitivity of adoption to the demand scenarios is  
9 actually quite modest. Noting that the range between  
10 the high and low scenarios in 2030 is only about 3.1  
11 gigawatts AC.

12           And we're starting to understand how these  
13 demand scenarios are being internalized in the model.  
14 And what we're starting to understand is that the  
15 influence of electricity rate growth is actually much  
16 greater than that of the load growth. And part of that  
17 is in part due to the way that dGen calculates system  
18 sizes.

19           dGen takes, as the max system size that a  
20 consumer can size their system as the minimum between  
21 offsetting 100 percent of their annual electricity load,  
22 the minimum between that and developing -- or, rather,  
23 citing solar panels on their total developable roof  
24 area. And so, you can expect in a scenario where load  
25 is decreasing over time, that max PV size is also

1 decrease and then, by extension the selected, the  
2 ultimate selected system size would also decrease.

3 And so, we're starting to understand how these  
4 scenarios are acting within the model, but that's what  
5 we believe to be a major driver is the electricity rate  
6 growth.

7 COMMISSIONER MCALLISTER: So, let me just make  
8 sure I got that clear. So, in a case where you've got a  
9 roof that's big, like larger than an F or a net zero  
10 kind of scenario, you're assuming that somebody -- that,  
11 basically, the size would be equivalent to net zero?

12 MR. MCCABE: I think that, considering net zero  
13 effects may be going a little bit too far.

14 COMMISSIONER MCALLISTER: Did you say 80  
15 percent, or I'm sorry.

16 MR. MCCABE: So, we are looking at the minimum  
17 between the maximum PV size. This is not the size that  
18 is actually selected.

19 COMMISSIONER MCALLISTER: Yeah.

20 MR. MCCABE: The maximum size that a consumer  
21 can select is either covering 100 percent of the  
22 developable roof area, for their roof --

23 COMMISSIONER MCALLISTER: Yeah.

24 MR. MCCABE: -- or offsetting 100 percent of  
25 their annual load.

1           COMMISSIONER MCALLISTER: Oh, okay. So, you're  
2 not assuming that everybody who can offsets 100 percent  
3 of the load.

4           MR. MCCABE: Correct.

5           COMMISSIONER MCALLISTER: You're just saying  
6 that that's the maximum.

7           MR. MCCABE: That's correct.

8           COMMISSIONER MCALLISTER: Okay. Okay, I missed  
9 that part. So, great, thanks a lot.

10          MR. MCCABE: And that system size selection  
11 process then looks through between zero and that max  
12 size --

13          COMMISSIONER MCALLISTER: Oh, okay, gotcha.

14          MR. MCCABE: -- and selects the one that has the  
15 best economics.

16          COMMISSIONER MCALLISTER: I gotcha. Thanks for  
17 that.

18          MR. MCCABE: Sure. So, that was kind of a  
19 discussion around the high and low demand scenarios.

20                 The PV price scenarios, we note that although  
21 California has been a pretty mature market for solar  
22 throughout the years, PV prices continue to show a  
23 pretty significant effect on projected adoption.

24                 In this case, the range between the high and low  
25 PV cost scenarios in 2030 is more than double what we

1 saw in the high and low demand scenarios. Specifically,  
2 7.6 gigawatts AC in 2030. Although, I should note that  
3 the inputs, the actual PV installation costs for those  
4 two scenarios are quite distinct as well, where we're  
5 looking in the high PV scenario at an installed cost of  
6 \$3 per watt. In the residential sector versus in the  
7 low PV scenario about \$.50 a watt. So, you can start to  
8 see and expect that large ranges in the inputs could  
9 result in larger ranges in the outputs, naturally.

10           There's a lot more numbers and results by  
11 planning area, but this is a single slide that starts to  
12 get at these results. And so, what we note is that,  
13 perhaps unsurprisingly, the major IOUs will continue to  
14 lead the way with adoption.

15           We are estimating in the PG&E and Edison  
16 planning areas about 10.7 gigawatts AC of cumulative  
17 adoption by 2030. And that's followed up by San Diego  
18 at 2.8, SMUD at 1.5, LADWP at 1.4, and all other  
19 planning areas at 0.6 in 2030, in the mid case scenario.

20           You know, and despite the sheer size advantage,  
21 if you will, of PG&E and Edison territory, we do note  
22 that economics at the granular level, when you start to  
23 dig into the granular results things like full retail  
24 net metering for the non-IOUs, other utility-specific  
25 incentives really do show up in those economics. And

1 so, statewide, we're looking at quite a bit more --  
2 quite a bit of favorability for adopting PV throughout  
3 the years.

4 I mentioned that the start that we're starting  
5 to look into some of the nontraditional market segments.  
6 Traditional being just the single-family, owner-occupied  
7 segment. And new datasets that have been developed at  
8 the lab have enabled some preliminary analysis of these  
9 markets.

10 In particular, the replica dataset, on the right  
11 there, shows -- or, rather gives us census tract level  
12 data for things like solar technical potential. Rooftop  
13 area, for example, we use Lidar data to estimate rooftop  
14 area. We have census tract level data for things like  
15 building counts, customer counts, et cetera.

16 And so, what this really, finely resolved  
17 dataset allows us to do is understand what these  
18 emerging market segments might look like. And though,  
19 you know, moving past some of the pure economic  
20 calculations into what is ultimately adopted certainly  
21 introduces some uncertainty.

22 And so, what we've done here is instead of  
23 report adopted totals for these emerging segments, what  
24 we're doing is looking at a metric that we call economic  
25 potential. And this is defined as the amount of PV

1 capacity that exceeds a given rate of return. In  
2 essence, PV systems that exhibit a positive net present  
3 value. There are a number of financial inputs into the  
4 model, and so these are all dependent on those as well.

5 But what we note is that the amount of economic  
6 potential in the nontraditional market segments could  
7 add an estimated 45 gigawatts AC of potential statewide,  
8 in 2030. And this is on top of nearly 80 gigawatts of  
9 potential in the traditional single-family, owner-  
10 occupied, and nonresidential sectors.

11 And so, certainly, there's a lot more work to be  
12 done to understand what adoption actually looks like for  
13 these emerging segments. Things like ownership issues,  
14 HOA considerations. All of these things need to be  
15 taken into account before we have a little bit more  
16 confidence in understanding what adoption looks like.

17 But in a pure economic sense, there is quite a  
18 bit of promise for these emerging segments.

19 I will wrap up. I have one more slide after  
20 this, but this is a look at some of the geospatial  
21 trends of adoption. This is looking at our mid case  
22 scenario in 2030. And this kind of harkens back to what  
23 I was discussing in the beginning, where a number of  
24 multiple spatial layers start to intersect and to inform  
25 where and when adoption occurs in the State.

1           In this case there's, perhaps, no surprise that  
2 many of the Southern California counties are leading the  
3 way at the county level resolution. We're starting to  
4 see adoption follow trends of strong solar resource, not  
5 surprisingly. Areas of high load, not surprisingly.  
6 So, starting to intersect many of these different layers  
7 and inputs result in something like this.

8           An so, here we see Los Angeles, San Diego,  
9 Riverside, Orange, and San Bernardino Counties rounding  
10 out the top five by installed capacity.

11           I'll quickly wrap up here, just to kind of  
12 conclude some of the discussion I just gave. So, the  
13 new effort to calibrate and validate the model has  
14 really illustrated some of the major influences on how  
15 well we can fit model data to known historic data.

16           And for this preliminary study, we're looking at  
17 two distinct aspects, namely the effect of historic  
18 payback periods, as well as the geospatial resolution of  
19 known historic adoption totals versus modeled. And  
20 we're starting to better understand other datasets,  
21 other attributes of the model that can potentially  
22 improve the fit.

23           And so, this is very new work and we're excited  
24 to see it through to potentially see better fits of  
25 model to historic data.

1           We found, looking at the forecast data, that  
2 there is pretty modest sensitivity of adoption to the  
3 demand scenarios, but a much more acute sensitivity to  
4 PV prices. Perhaps, unsurprisingly, by planning area we  
5 note that the major IOUs are projected to lead adoption  
6 though, certainly, economics for the non-IOUs are quite  
7 favorable, still.

8           And then, finally, looking at emerging markets,  
9 things like non-single-family, owner-occupied market  
10 segments do show quite a bit of promise, though we note  
11 that further data and analysis tools are certainly  
12 necessary to be able to model these segments more  
13 accurately.

14           So, with that, I will wrap up and I'm happy to  
15 take any questions.

16           COMMISSIONER MCALLISTER: Yeah, I have a couple  
17 questions, actually. So, are you looking at  
18 incorporating storage into this, like sort of solar plus  
19 storage and how that impacts the economics and,  
20 therefore, the adoption?

21           MR. MCCABE: Yeah, that is certainly a part of  
22 this partnership. To date, we have not run any solar  
23 plus storage modeling scenarios, though dGen is capable  
24 of doing so. We're kind of -- outside of this project,  
25 we're starting to look at overhauling the major module,

1 which calculates bills, and incorporates technologies  
2 like solar and storage together.

3 COMMISSIONER MCALLISTER: Uh-hum.

4 MR. MCCABE: And so, we're starting to get a  
5 little bit more confidence in being able to present  
6 those results. Though, you mentioned in Sudhakar's  
7 presentation that there are some questions as to whether  
8 the strategy should be economic dispatch versus  
9 arbitrage.

10 COMMISSIONER MCALLISTER: Yeah.

11 MR. MCCABE: So, we, as well, are starting to  
12 understand how best to report adoption estimates for  
13 behind-the-meter storage.

14 COMMISSIONER MCALLISTER: Yeah, that's great.  
15 And we're having that conversation in the context of the  
16 building standards themselves, right, so outside of the  
17 forecast, in a different arena. But, you know, how we  
18 can justify including -- or, how we include storage in  
19 the building standards really depends on what the  
20 options are for people to use it and dispatch it.

21 MR. MCCABE: Certainly.

22 COMMISSIONER MCALLISTER: You know, developers  
23 aren't going to put it in a new home, if people don't  
24 want it or if we limit how they can use it.

25 And so, the second question, are you looking at

1 -- well, sort of related to the first. Are you looking  
2 at production curves, you know, sort of hourly or, you  
3 know, interval capacity shapes or production shapes for  
4 the PV.

5 MR. MCCABE: Yes. Right, yeah, we do. So, as  
6 Sudhakar mentioned, we have been provided with  
7 generation, 8760s of generation by the IOUs and --  
8 mostly the IOUs. But NREL also has done quite a bit of  
9 research into typical meteorological year data --

10 COMMISSIONER MCALLISTER: Yeah.

11 MR. MCCABE: -- MY data. We've, across the lab,  
12 have been overhauling to TMY3 recently. We've also  
13 started looking into the benefits and challenges of  
14 using actual meteorological year data. There's,  
15 perhaps, some benefit to using that actual data to  
16 better understand weather effects, et cetera.

17 COMMISSIONER MCALLISTER: Yeah.

18 MR. MCCABE: So, when we use that TMY3 data, we  
19 have a lot more measurements, a number of weather  
20 stations throughout the State of California and hundreds  
21 throughout the U.S. that we can potentially use to model  
22 or, rather, give generation, hourly generation profiles.

23 COMMISSIONER MCALLISTER: Is NREL putting any  
24 emphasis on SAM, anymore?

25 MR. MCCABE: Oh, yeah, a ton.

1 COMMISSIONER MCALLISTER: Okay.

2 MR. MCCABE: The System Advisor Model?

3 COMMISSIONER MCALLISTER: Yeah, yeah, because  
4 that seems like a perfect model to generate some of  
5 these curves, and then calibrate those against reality,  
6 and then see if you can just use SAM going forward.

7 MR. MCCABE: Yeah, SAM has been under some  
8 pretty major development in the last years. It's open  
9 source, it's capable of simulating a number of different  
10 generation technologies. That's actually, when I  
11 mentioned that we're looking to overhaul some of our  
12 internal calculations, the SAM module for bill  
13 calculating is something that we're hoping to include  
14 because --

15 COMMISSIONER MCALLISTER: That would be great.

16 MR. MCCABE: -- they have a much better  
17 representation of storage than --

18 COMMISSIONER MCALLISTER: That would be great.

19 MR. MCCABE: Yeah, so stay tuned.

20 COMMISSIONER MCALLISTER: Yeah, okay. I'm sure  
21 we'd love to collaborate on that.

22 MR. MCCABE: Great.

23 COMMISSIONER MCALLISTER: Yeah. Thanks for your  
24 presentation.

25 MR. MCCABE: Thank you.

1           COMMISSIONER MCALLISTER: Yeah, good. All  
2 right, thanks.

3           MR. FUGATE: So, next up is Chris Kavalec, who's  
4 going to get us back on track with a 5-minute  
5 presentation on all of his hourly work.

6           MR. KAVALEC: Good afternoon. I am Chris  
7 Kavalec from the Energy Assessments Division. And I'm  
8 going to talk for five minutes or maybe a little longer  
9 about our hourly load forecasts, provide some results  
10 for peak projections for the IOUs. And the IOUs, if  
11 they want to have specific comments about these peak  
12 forecasts, they can fold that in with the comments they  
13 provide when Cary does his planning area presentations a  
14 little later. And then, I'm going to talk a little bit  
15 about next steps.

16           Okay, the reason that we are doing hourly load  
17 modeling, which we started to do about three years ago,  
18 is that the darn peak hours won't stay put anymore  
19 because of all the demand modifiers, particularly PV.  
20 And so, therefore, to properly model peak and capture  
21 this so-called peak shift that is now happening, one  
22 needs an hourly analysis to account for it properly.

23           Also, since we're doing hourly load forecasts,  
24 we can now provide monthly peaks at the TAC level,  
25 transmission access charge level, for resource

1 adequately purposes for their year-ahead analysis, to be  
2 used as a benchmark as they do their individual LSE  
3 year-ahead projections.

4           And also, the California ISO uses our hourly  
5 results in their flexibility studies, looking at 3-hour  
6 ramp ups, 3-hour ramps over the course of a year.

7           I won't give a lot of technical details. I'll  
8 just briefly review what this model is all about. What  
9 we're estimating with this hourly load model is what we  
10 call consumption load ratios, meaning hourly consumption  
11 divided by the average of hourly consumption over the  
12 course of a year.

13           Now, I have consumption in quotes there because  
14 it's defined a little bit differently than we typically  
15 define consumption. What it is, in this context, is  
16 sales, plus line losses, plus PV, plus avoided losses  
17 from PV. And it does not include non-PV self-gen.

18           It's set up this way because our model is based  
19 on the EMS data from California ISO, which includes  
20 hourly data, which includes losses.

21           So, these consumption load ratios are specified  
22 as a function of weather and calendar variables. And  
23 then, once these are estimated, we take average hourly  
24 consumption, as I've defined it, from the traditional  
25 IEPR long term forecast for each year, apply it to those

1 load ratios and that gives us hourly, what we call  
2 unadjusted consumption for each hour and each year.

3 Okay. We then adjust those unadjusted  
4 consumption numbers by incorporating hourly EV load,  
5 hourly climate change impacts, residential TOU, and a  
6 couple other minor consumption adjustments for a couple  
7 of the smaller LSEs.

8 And then, we subtract off hourly PV generation  
9 to give us baseline hourly sales forecasts. And that  
10 should say baseline hourly sales plus losses forecasts,  
11 the way we've defined our metrics here.

12 And the maximum of those baseline hourly sales  
13 forecasts is what we call the net peak for the year, or  
14 the net baseline peak for the year.

15 We are currently doing our hourly load forecasts  
16 at the IOU TAC level, the three IOU TACs that we're  
17 familiar with, transmission access charge areas. And  
18 then, to round out CAISO, we also do a separate model  
19 for Valley Electric. A small area, but it's considered  
20 a TAC and it's included in CAISO.

21 Then, when we get to our revised forecast, later  
22 in the year, we will also be incorporating hourly AAEE,  
23 as Ingrid mentioned earlier, to give us our managed  
24 sales forecasts by hour -- sales plus losses forecast by  
25 hour. And from that, get managed peaks for planning

1 purposes.

2           Some updates versus the last time we did an  
3 hourly load forecast for 2018. This time, we did a  
4 separate estimation of pumping loads, using a fairly  
5 simple regression model, where for each hour we specify  
6 the amount of pumping by month, and day of the --  
7 weekday versus weekends, and holidays.

8           And for Northern California, this means  
9 Department of Water Resources. And for Southern  
10 California, this means Department of Water Resources and  
11 the Metropolitan Water District.

12           The reason that we wanted to estimate these  
13 separately is that pulling out the pumping loads from  
14 the rest of the load just, hopefully, gives you more  
15 precise estimates of the impact of weather and calendars  
16 on the rest of the load, since pumping load is a little  
17 bit different, obviously, than the rest of the load.

18           We wanted to model DWR and MWD separately for  
19 Southern California. But the data we have now for MWD  
20 isn't very good. So, what we did was to model DWR and  
21 MWD together, using the EMS pumping loads provided to us  
22 from California ISO, which is a combination of the two.

23           We have new hourly EV loads and load shapes, a  
24 new PV forecast, as Sudhakar mentioned earlier. And,  
25 when we get to the revised forecast, we'll have new AAEF

1 numbers.

2           A little bit about the hourly EV loads and load  
3 shapes. For the last couple of forecasts, we used  
4 hourly EV profiles from Lawrence Berkeley, based on a  
5 household travel survey.

6           For this forecast, we are using load shapes  
7 developed by ADM Consulting as part of our load shapes  
8 and HELM project, that I'll talk about a little bit  
9 more, later. And these profiles are based on actual  
10 vehicle charging data from ChargePoint and from Joint  
11 IOU EV Load Research reports.

12           And here's a typical load shape that we can  
13 compare to what we had in the previous two forecasts.  
14 This is for Edison, for a June weekday in 2030, but it's  
15 fairly typical of the shape that you'll see for the  
16 other IOUs, and different times of the year.

17           So, we have, in dark blue, the new shape from  
18 ADM and in red, the shape that we used in the last  
19 couple forecasts from Lawrence Berkeley. And you can  
20 see the big difference there is that, according to  
21 ChargePoint, there's more charging in the middle of the  
22 day, significantly more.

23           Oh, I should mention that what this is showing  
24 is the percentage of load by hour, the percentage of  
25 daily load by hour. That's what's on the vertical

1 access there.

2           And then, the other big difference is that when  
3 we get to the --

4           COMMISSIONER MCALLISTER: So, is that an 8  
5 percent or a .08 percent?

6           MR. KAVALEC: Oh, yeah, it's -- okay, proportion  
7 of load, daily load by hour.

8           COMMISSIONER MCALLISTER: Oh, okay. Okay, so  
9 it's --

10          MR. KAVALEC: Yeah. Sorry.

11          COMMISSIONER MCALLISTER: Okay, got it.

12          MR. KAVALEC: So, when we get to the late  
13 afternoon/evening hours, where we are under residential  
14 -- the residential TOU pricing regime, you see a much  
15 bigger drop off in the new load shape versus what LBNL  
16 was estimating, previously.

17                 And this means that the elasticity of demand  
18 relative to the peak, non-peak TOU price, or elasticity,  
19 or sensitivity is much greater in the ADM load shape  
20 analysis.

21                 Okay, some results. First, for California ISO,  
22 which is the sum of the individual IOU TACs, plus Valley  
23 Electric. You can see at the beginning of the forecast  
24 period that drop off. And that reflects the consumption  
25 and sales drop off from 2018 to 2019, that Cary

1 mentioned earlier. And that comes about because of the  
2 weather adjustment, going from the historical to the  
3 forecast period.

4           And then, the big lump of additional efficiency  
5 program savings in 2019. And also, for PG&E,  
6 specifically, we assumed relatively heavy amount of  
7 rainfall in 2019, based on the early months of 2019,  
8 which meant a lot less groundwater pumping. So, the  
9 drop off in consumption and in net peak is greater for  
10 PG&E compared to the other IOUs for that reason.

11           Okay. And that's an assumption, that amount of  
12 heavy rainfall year that we'll revisit for the revised  
13 forecast.

14           Okay. A drop off at the beginning of the  
15 forecast period. And then, you see in the mid and low  
16 cases, so the red is the 2018 mid forecast, the high,  
17 mid and low are green, dark blue, and purple,  
18 respectively.

19           In 2020 to 2021, in the mid and the low cases,  
20 you see another little drop off there for CAISO. And  
21 that's happening -- that comes from PG&E, and I'll talk  
22 about that when we get to PG&E in a minute.

23           After that point, after 2020, a little bit less  
24 growth in the peak compared to what we had in 2018,  
25 comparing the two mid cases. And that's because of the

1 additional standards and a little bit more PV this time.

2           This graph is meant to show the impact of  
3 accounting for the peak shift, which I mentioned  
4 earlier, our peak hours are shifting to later in the day  
5 mainly because of PV.

6           So, the red line there, at the top, is our  
7 consumption, peak consumption as consumption defined as  
8 I did it earlier. And then, subtracting off PV from  
9 that red line, we go down to our net peak, which is  
10 given by the green line. Accounting for the change.  
11 potential change in peak hour, as we do that.

12           Now, had we not accounted for the change in peak  
13 hour and assumed that the peak was happening at the same  
14 hour as the consumption peak, the red line, we'd go all  
15 the way down to the blue line and have a much lower  
16 peak. So, that by 2030, for CAISO, we have a peak shift  
17 impact of over 6,000 megawatts. So, that shows how  
18 important it is to account for peak shift. We would be  
19 underestimating or under-forecasting the CAISO peaks by  
20 around 6,000 megawatts by 2030.

21           This is another way of showing the same thing,  
22 the peak shift. A little bit of a messy graph here.  
23 But this is attempting to show the impact of all the  
24 individual demand modifiers that are part of the hourly  
25 load model. So, starting with the red line, the bottom

1 line in that group of lines there. that's the unadjusted  
2 consumption that I mentioned earlier.

3 We incorporate electric vehicles, pumping,  
4 residential TOU, climate change impacts, and we end up  
5 at the yellow line there, at the top. So, that shows a  
6 consumption peak of around 56,600 megawatts.

7 Then, we subtract off our PV impacts by hour,  
8 for that peak day, and that gets us down to the black  
9 line. Again, if we assumed that the peak hour did not  
10 change and kept the same peak hour as we assume for  
11 consumption, we drop all the way down to 43,000  
12 megawatts.

13 However, you can see that the peak hour for that  
14 black curve or the peak for that black curve is all the  
15 way -- the right there, is all the way up over 49,000  
16 megawatts.

17 Okay. So, again, accounting for the peak shift  
18 means your peak is about 6,000 megawatts higher than if  
19 you didn't account for the peak shift.

20 I mentioned this hourly load model being used  
21 for -- to develop monthly peaks for resource adequacy,  
22 year-ahead analysis. So, looking at 2021 here, the  
23 baseline that peaks by month for CAISO, for the mid  
24 case, and red is the forecast from 2018, and in dark  
25 blue is the new forecast by month. And, not

1 surprisingly, the new forecast by month is a little bit  
2 lower because of lower consumption and lower peaks, as  
3 we saw earlier in the graphs. And you can see that the  
4 gap between the red and the blue is a little bit higher  
5 in the warm months because of the additional PV. PV  
6 having more of an impact during the warmer months.

7 And I should say, again, this is not the end of  
8 the story because these two graphs, like the other  
9 results we've shown today, do not incorporate AAEE.

10 Okay, PG&E. Again, the drop off in consumption,  
11 which is from 2018 to 2019, which is higher than the  
12 other IOUs because of the assumed reduction in  
13 groundwater pumping.

14 And then, I mentioned for CAISO you see a drop  
15 off in 2020 to 2021. That's coming from PG&E in the mid  
16 and the low cases. And what's happening there is we  
17 have a big jump in PV adoptions in that year. And that  
18 happens to be the year before -- or, the last year  
19 before the tax incentives, the tax credits end for PV.

20 And then, after that, more steady peak growth as  
21 the rate of PV adoption falls below what it was in the  
22 earlier years. A little bit less growth comparing the  
23 two mid cases in red and in dark blue for the new  
24 forecast. A little bit less growth, again because of  
25 the impact of additional standards and a little bit more

1 PV.

2 COMMISSIONER MCALLISTER: Can you comment about  
3 sort of what the end state of where the peak ends up?  
4 You know, the peak can't get pushed back by solar  
5 forever, right? And we've sort of been inching it 15  
6 minutes here, you know, and an hour there back into the  
7 evening. You know, where does it settle, do you think,  
8 in terms of the end state?

9 MR. KAVALEC: Well, it depends on what time of  
10 the year the peak happens.

11 COMMISSIONER MCALLISTER: Uh-hum.

12 MR. KAVALEC: But if it's September, which is  
13 fairly common for -- recently, for CAISO, as well as for  
14 Southern California, by the time you get to 8 to 9 in  
15 the evening, you have almost no PV generation.

16 COMMISSIONER MCALLISTER: Yeah.

17 MR. KAVALEC: So, that's where the peak shift  
18 basically is going to have to end, at basically 7 to 8.  
19 So, your peak could move to 7 to 8 p.m., but beyond that  
20 you have no more, or a trivial amount of additional PV,  
21 so you don't get any more peak shifts beyond that time.

22 COMMISSIONER MCALLISTER: Right, so that makes  
23 sense. I guess, as we -- you know, the next step is to  
24 say, okay, well, how do we deal with the ramp leading up  
25 to that peak, and in terms of just calculating scenarios

1 around storage, around load shifting, demand  
2 flexibility? It seems like we need to start putting  
3 some numbers to that. I mean, I'm not saying maybe  
4 formally in the 2019 forecast, but probably some  
5 strategizing about how we're going to analytically do  
6 that, if you guys aren't already doing that. I don't  
7 know.

8 MR. KAVALEC: And for PG&E and San Diego, we  
9 seem to be pretty close to that limit by the end of the  
10 forecast period.

11 COMMISSIONER MCALLISTER: Uh-hum.

12 MR. KAVALEC: It's moved to 7 to 8 p.m. Well,  
13 again, it depends on the time of the year and what  
14 scenario that you're looking at.

15 And with Edison, which I'll talk about in a  
16 minute, which is not quite as far, so it still has a  
17 little bit more peak shifting that can happen. At  
18 least, according to our forecast by 2030.

19 COMMISSIONER MCALLISTER: Okay, thanks.

20 MR. KAVALEC: Again, looking at the peak shift  
21 impact, the net peak is in green. The peak shift  
22 impact, shown by the difference between green and dark  
23 blue for PG&E, which reaches around 2,800 megawatts by  
24 the end of the forecast period.

25 And the other day, we were comparing our peak

1 forecasts with those developed by the PG&E staff, and  
2 their growth rate for their net peak is much lower.  
3 They have, basically, a flat peak forecast. But they do  
4 consider the peak shift and the peak shift impacts.  
5 They do, do an hourly analysis.

6           So, the question was, maybe their peak shift  
7 impact is not as high as what we're assuming. So, we  
8 asked them to look into that and to see if that explains  
9 the difference. And if it does, then we need to talk  
10 maybe a little bit more about our respective hourly  
11 methodologies to see what is different.

12           Again, showing the load modifiers, consumption  
13 peak, 25,200. If we didn't consider the peak shift, all  
14 the way down to 19,000. Considering the peak shift,  
15 we're up to 21,800 for our net peak.

16           For Edison, again not as much of a drop off at  
17 the beginning of the forecast period. We don't have  
18 that groundwater issue and the weather adjustment is not  
19 as large as for PG&E.

20           2020 to 2021, we do have a little spurt in PV,  
21 but not as much as for PG&E, so the line's just flat and  
22 they don't decrease from 2020 to 2021, like for  
23 PG&E.

24           And then, beyond that, like PG&E, a little bit less  
25 growth because of additional committed standards and a

1 little bit more PV compared to last time. And comparing  
2 the two mid cases, red and dark blue.

3 We've found this phenomenon in the last two  
4 forecasts, in our hourly analysis, and that is that the  
5 peak shift seems to be a lot lower for Edison than for  
6 PG&E. You see the peak shift impact is only about 500  
7 megawatts there by the end of the forecast period,  
8 compared to 2,800 for PG&E. And I'll talk about the  
9 reasons for that in a minute.

10 Looking at the load modifiers, consumption peak  
11 28,500, drop down at the same hour to 23,500 when you  
12 include PV. Peak shift brings us up to 24,040.

13 So, why do we have a big difference between  
14 Edison and PG&E? First off, PG&E has a lot more PV  
15 relative to the size of its load, so you have less  
16 ammunition for a peak shift.

17 And the other thing is that PG&E loads seem to  
18 stay high later, farther out into the afternoon and  
19 evening.

20 So, this graph here is showing the percentage of  
21 the peak load by hour. And this time, I do have actual  
22 percentages, not proportions. So, you can see Edison  
23 peaking around 2, 3 o'clock there. And then, dropping  
24 off more quickly than PG&E, in red.

25 So, basically, what's going on here, according

1 to my hypothesis, is that when you start losing PV in  
2 the late afternoon and evening, when it starts to drop  
3 off quickly, for PG&E the total load stays high. So,  
4 that means the utility, itself, has to serve more of  
5 that load and that means more of a peak shift.

6 For Edison, in the late afternoon as the PV  
7 starts dropping off quickly, the load also starts  
8 dropping off quickly and, therefore, you have less load  
9 having to be served by the utility, less of a peak  
10 shift.

11 So, it's those two reasons. We've talked to  
12 Edison a couple of times about this and discussed this  
13 difference. But Edison is not entirely convinced and  
14 would like to discuss this further, which we're happy to  
15 do. And that will happen shortly after the workshop.

16 The other thing that Edison mentioned is they  
17 think the elasticity of the residential -- or, the  
18 impact of residential TOU on electric vehicle load  
19 shapes is too high. There shouldn't be as much of a  
20 drop off. And they've done some work and gotten some  
21 different results for EV load shapes and we're going to  
22 talk about that as well, shortly.

23 Finally, San Diego. The drop off from 2018 to  
24 2019 is coming mainly from the weather adjustment, but  
25 we also have the additional lump of 2019 efficiency

1 program savings. Then after that, again, a slightly  
2 less growth because of the committed standards and  
3 slightly more PV.

4 Peak shift impact of about 800 megawatts by the  
5 end of the forecast period. Shown a different way, peak  
6 shift's going from 3,800 to a little bit over 4,600  
7 megawatts for the mid case in 2030.

8 In case you're interested, this shows the  
9 simulation of pumping loads for Northern California,  
10 meaning DWR. And it's similar, the same things are  
11 going on in Southern California, so I'm just showing one  
12 here, one example.

13 So, I'm showing pumping loads, modeled,  
14 simulated pumping loads in a winter month and a summer  
15 month, January and July, and then for weekday and  
16 weekend.

17 So, you'll immediately notice that as the DWR  
18 attempts to accommodate overall load, they're pumping  
19 more on the weekends versus the weekday. And they're  
20 pumping more in July, not surprisingly, compared to  
21 January. Except during the -- you'll see the July  
22 curves, the green and the purple, they drop off pretty  
23 dramatically as we get toward the peak hours in the  
24 afternoon and evening. And again, that's DWR  
25 accommodating the rest of the loads.

1           And the same thing happens in January, although  
2 at a different hour. Our peaks are happening in the  
3 late evening, mainly because of lighting and some  
4 heating. But again, DWR is accommodating that drop off  
5 by reducing their -- or, accommodating the peak loads  
6 for January by dropping off pumping during those hours.

7           Next steps for the revised forecast. New AAEE,  
8 as we've mentioned ad nauseum today. We will,  
9 hopefully, have reasonable storage charge discharge  
10 profiles, although those will have to come with the  
11 caveats that the Commissioner mentioned  
12 earlier.

13          We adjust our peak totals by accounting for a little  
14 bit of load-modifying DR. It's not very -- it's DR that  
15 we agreed with CPUC should be handled on the demand  
16 side. The rest of the DR is handled on the supply side.  
17 So, it includes like peak pricing, permanent load  
18 shifting, TOU, et cetera.

19          We have a little bit of that, that we get from  
20 the IOU DR filings that they do every April. And so, we  
21 adjust our peak amount by the small amount of LMDR. It  
22 amounts to, you know, a couple hundred megawatts for  
23 CAISO, as a whole. But it is a pain to have to post  
24 process that and say here's our peak, however, you have  
25 to adjust it to account for load-modifying DR.

1           So, fortunately, there is, apparently, enough  
2 information to be modeled in 8760 for load-modifying DR,  
3 so we will attempt to do that.

4           For the revised forecast, we will have updated  
5 residential TOU.

6           I mentioned climate change, earlier, as one of  
7 the hourly demand modifiers. So, what I did the last  
8 forecast, in this preliminary forecast was to take our  
9 annual climate change impacts and annual peak climate  
10 change impact that Cary discussed earlier, and  
11 distribute those impacts over the hours in a given year  
12 by, basically, assigning more climate change impacts to  
13 the higher load days in the summer, when it's hotter.  
14 And, also, the highest decreases coming during the  
15 winter months to the winter loads that were highest.

16           Okay. So, basically, I distributed the climate  
17 change impacts according to the size of the load, taking  
18 into account winter and summer. That's a fairly crude  
19 way to do it and we would like to find a more refined  
20 way to do this going forward.

21           Fortunately, Scripps was able to develop hourly  
22 temperature projections going out 50 years, consistent  
23 with the scenarios that they're already providing us,  
24 from which we develop our annual climate change impact.

25           So, that means that for the revised forecast we

1 will attempt to integrate their hourly temperature  
2 projections into the hourly load model, so that we can  
3 have a better, more defensible set of 8760 climate  
4 change impacts going forward.

5           The last thing is integrating this with our  
6 traditional peak model, which we call HELM, hourly  
7 electricity load model, a new version of it, so that's  
8 why the 2.0 is there. That new version is the new  
9 platform that ADM put together, together with all their  
10 new load shapes that we talked about earlier.

11           So, we have these two methodologies that are  
12 designed to do the same thing, develop an 8760. So, the  
13 question is how do we integrate the two. When do we use  
14 one versus another.

15           So, just a little bit about HELM. It's a fairly  
16 simple methodology. We're taking annual consumption by  
17 end use and building type for the residential and  
18 commercial sector from our sector models. And for  
19 different NAICS groupings for the remaining sectors.  
20 For example, chemical industries is one NAICS grouping.

21           And these load shapes are applied in HELM, and  
22 are applied to these annual loads. And then, we  
23 aggregate everything up and from that we develop peak  
24 load for each year. And then, we adjust that by the  
25 amount of self-generation and we get net peaks.

1           So, we've traditionally used that to do our  
2 peaks. And the load shapes are very antiquated. They  
3 came from the 90s and early 2000s. And so, we enlisted  
4 ADM to develop a new platform and update all our load  
5 shapes. And that's what they've done. And the HELM  
6 2.0, the new version, also adds loads shapes for  
7 efficiency, generation profiles for PV, electric vehicle  
8 charging profiles, as we've discussed with the  
9 unfortunate name of EVIL sub-model. And then, this is  
10 all done at the forecasting level.

11           And as I said, this is a nice -- we now have a  
12 nice user, hopefully, user-friendly platform for HELM  
13 2.0.

14           And here are some of the sources. And two  
15 points I want to make here. These different sources  
16 serve as a starting point for developing the individual  
17 end use building type or NAICS grouping load shapes.  
18 And then, these load -- preliminary load shapes are  
19 tuned to actual IOU interval meter data. So, that just  
20 means, basically, you take a specific building type, for  
21 the interval meter data you add up all the loads, hourly  
22 loads for the individual end uses associated with that  
23 building type, see how they match up. Make adjustments  
24 if there's a big difference between the two. So, it's  
25 basically a way of calibrating the load shapes.

1           Chargepoint date, as I mentioned, CSI data, as  
2 well as other data for PV.

3           And also, as I alluded to earlier, we think of  
4 this as a starting point. There are going to be  
5 continual new sources of load shaping formation. Meter  
6 data, studies like the Commissioner mentioned earlier,  
7 being done by PG&E. So, we have a starting point and as  
8 new information, data, and studies become available, we  
9 will do our best to update the appropriate load shapes  
10 based on that information.

11           And here, if you're interested in looking at the  
12 load shapes report, we have it posted. It explains the  
13 methodology, shows a whole bunch of different load  
14 shapes and compares them to what we had in the old HELM  
15 model and so on.

16           So, how do we integrate the two? Well, ideally,  
17 HELM, this new version of HELM, will provide a  
18 reasonable set of 8760 hourly load forecasts for each  
19 year. If this is the case, then there are more  
20 aggregate hourly load model, the econometric hourly load  
21 model would be used as a check, and maybe for some  
22 regional studies for regions not covered in HELM 2.0.

23           The reason I say ideally is because of HELM  
24 performs to our satisfaction at the 8760 level, then we  
25 will have not only total hourly load forecasts, but we

1 can break that down into the different sectors, and even  
2 different end uses.

3           However, my experience has been that it's very  
4 difficult to develop a model, a bottoms up model to  
5 properly characterize 8760 hourly loads. And the reason  
6 for that is that at the hourly level, as you get more  
7 and more disaggregate, there's just more and more noise.  
8 So, when you're trying to match historical data or make  
9 the output look like historical data, it gets very  
10 difficult to do, the more disaggregate the more your  
11 model is, the more bottoms up your model is.

12           I could be wrong, but if this is the case, and  
13 we're not happy with the 8760, it's giving us screwy  
14 results for some hours or months, well, in that case we  
15 can continue to use the hourly load model and then, we  
16 could calibrate that each year to the HELM 2.0 annual  
17 peaks.

18           So, we've found that the original version of  
19 HELM, even though it didn't perform very well for 8760,  
20 it does give us a pretty reasonable peak forecast  
21 comparing HELM output to actual history.

22           So, I'm confident, at least, that we'll have a  
23 peak coming out of HELM 2.0 that, as I said, the  
24 advantage of that is you can break it down into  
25 different sectors and end uses. We'll at least have

1 that and, hopefully, we'll have more. We'll have a  
2 full, reasonably, soundly performing 8760 hourly load  
3 forecast coming from HELM.

4 We're now putting it through its paces and we  
5 will see, and we're hoping to use HELM in some form.  
6 We're planning to use the new HELM in some form for the  
7 revised forecast, so we'll keep you posted.

8 COMMISSIONER MCALLISTER: Oh, okay. So, what  
9 about the monthly peaks? So, you're corralled to the  
10 confidence in the annual peaks or how are we thinking  
11 about, you know, working through the monthly peak issue?

12 MR. KAVALEC: Yeah, so I think that would be the  
13 same. It could be that HELM 2.0 performs well at the  
14 monthly level, for monthly peaks, although not  
15 necessarily for 8760, let's say.

16 COMMISSIONER MCALLISTER: Yeah.

17 MR. KAVALEC: Well, in that case, we could  
18 calibrate the hourly load model, the more aggregate  
19 model to monthly peaks from HELM.

20 COMMISSIONER MCALLISTER: Uh-hum.

21 MR. KAVALEC: So --

22 COMMISSIONER MCALLISTER: Okay. I'm thinking  
23 of, you know, all the other uses for RA, and all those  
24 other purposes.

25 MR. KAVALEC: Yeah, so, yeah, we'll just have to

1 see.

2 COMMISSIONER MCALLISTER: Yeah, okay.

3 MR. KAVALEC: We're going to run it through all  
4 kinds of different tests and compare it to the hourly  
5 load results we have now and, you know, take it from  
6 there.

7 COMMISSIONER MCALLISTER: Yeah, okay. All  
8 right, well, great. Thanks, Chris.

9 MR. KAVALEC: And jerk that I am, I didn't list  
10 the names of all the people contributing to the  
11 forecast, like Mark did.

12 COMMISSIONER MCALLISTER: Mark's making you look  
13 bad.

14 MR. KAVALEC: But I will say, I want to thank  
15 the 20 or so people that are directly involved in the  
16 forecast, including the Transportation folks, the  
17 Efficiency Unit, the sector modelers, and our data  
18 people.

19 Okay, thank you.

20 MR. FUGATE: Okay, the last presentation is Cary  
21 Garcia, again, to review planning area forecasts.

22 COMMISSIONER MCALLISTER: Just a reminder, I  
23 don't think we have any blue cards. Do you have any up,  
24 Nick? No. So, just if you're going to -- if you plan  
25 on speaking or want to address in public comment, go

1 ahead and fill out a blue card.

2 MR. FUGATE: So, one of the ways we've done this  
3 in the past is we have paused after each IOU planning  
4 area and asked the utility, invited the utilities to  
5 make any comments. So, if you're amenable to that,  
6 we'll do the same thing.

7 COMMISSIONER MCALLISTER: Absolutely. And if  
8 that's going to happen systematically, then they don't  
9 need to fill out blue cards.

10 MR. GARCIA: All right. Chris was pointing out  
11 that the Forecasting Unit is not as friendly as the rest  
12 of our division, apparently. No thank you's.

13 COMMISSIONER MCALLISTER: Yeah, I think it's  
14 just sort of a, you know, socially, well-adjusted, I  
15 guess.

16 MR. GARCIA: You can say social awkward. They  
17 get too many numbers. They don't talk to human beings.

18 (Laughter)

19 MR. GARCIA: All right. So, I'm going to start  
20 with the folks that traveled the furthest, over 500  
21 miles, which I think is San Diego. So, initially, I had  
22 Edison here, so I'm going to skip to San Diego. I'm  
23 trying to be aware of like traveling plans and things  
24 like that. And then, I'll still go to PG&E after that,  
25 because they traveled as well, and they're here, in

1 person.

2           So, real briefly, this is an overview of the San  
3 Diego forecast, a rough overview of mainly the inputs.  
4 So, this table here is the main economic drivers that I  
5 showed for the statewide forecast, just broken out for  
6 San Diego's planning territory, which is primarily the  
7 County of San Diego, with portions of Orange County, the  
8 way we've mapped it out. Essentially, their service  
9 territory.

10           And so, you can see the population in  
11 households, using the same projections that I mentioned  
12 this morning, but there's a slight decline, once again,  
13 in personal income. And the manufacturing sector, as I  
14 pointed out as well, has also declined and a slight  
15 decrease in commercial employment.

16           Though, obviously, we know we're kind of like at  
17 maximum employment. So, what that means these days is a  
18 little different.

19           But, anyway, so, ultimately and the forecast  
20 shakes out to having residential and commercial sector  
21 growth being, as Chris mentioned, those standard savings  
22 do have an impact there in the forecast, particularly in  
23 2029 when they're maximized.

24           And then, we also have around 300,000 electric  
25 vehicles in there, totaling around 1,300 gigawatts of

1 load in 2030. Specifically, for light duty vehicles.

2 And I should also mention, I may have glossed  
3 over it earlier, but Mark reminded me that we also  
4 include those medium and heavy duty projections, that  
5 the Transportation Unit prepared for us, into the  
6 forecast and that will get lumped into the commercial  
7 sector overall forecast.

8 And then, lastly, on this slide, I just point  
9 out the PV capacity that Sudhakar pointed out, so you  
10 know what we're working with when we're doing this  
11 comparison. So, around 2,300 megawatts of PV capacity  
12 for 2030. And all these comparisons are going to be for  
13 our mid case. I won't go into the high and the low  
14 cases very much, except for this very next graph, where  
15 I describe them.

16 So, here we can see, ultimately, the forecasts  
17 are not too different. You can see that adjustment  
18 downwards, with that weather adjustment that was more  
19 prominent for San Diego, as well as those standards  
20 kicking in, in 2019, kind of making that hockey stick  
21 down there at the bottom.

22 But, ultimately, the growth rate's about the  
23 same, 1.4 percent versus 1.5, as you can see. And, once  
24 again, the electric vehicles are -- do have an impact  
25 and increase that consumption a little bit there at the

1 tail end relative to the starting point.

2           And in this consumption forecast, the industrial  
3 sector definitely is bringing things down a tad, too.

4           So, all those pieces playing out there results  
5 in this slightly lower growth in consumption.

6           So, moving from consumption to sales, this is  
7 the -- what I was trying to characterize earlier today,  
8 just in a graphical form. So, at the top there, you  
9 have our mid consumption forecast that was on the  
10 previous graph. And the difference between these two  
11 lines, the green line being the sales, is essentially  
12 the self-generation. You can see the numbers that I  
13 pull out there, so all looking at 2030. So, around  
14 4,800 gigawatt hours of self-generation impacts, those  
15 energy impacts. Eight-five percent of that is going to  
16 be PV and that capacity that I pointed out earlier.

17           And as Sudhakar pointed out this morning -- or,  
18 this afternoon, actually, those commercial PV  
19 installations are going fast than residential. And you  
20 can see that effect at the tail end of the sales. You  
21 can see that flattening out in comparison to consumption  
22 forecast that is going pretty straight out to 2030.

23           And, ultimately, the additional PV is going to  
24 bring down that sales number, but slight changes in  
25 comparison to the previous forecast, in the mid case.

1           And so, we have had discussions with the  
2 forecasters at San Diego Gas & Electric. So, comparable  
3 EV and PEV impacts, looking at their submitted forecast,  
4 essentially, just brought back in their efficiency  
5 estimates to kind of create a baseline that we can  
6 compare against our forecast. And so, ultimately, that  
7 unmanaged forecast grows slightly faster than our CEC  
8 baseline. But the unmanaged peak is growing very  
9 similar to the CEC, but the 2030 estimate is higher due  
10 to some differences in starting points, as well. But I  
11 think we're on the same page.

12           We do want to talk a little bit about -- well,  
13 going back to the EVs, it's definitely comparable in the  
14 short term, but there's some long term differences we  
15 discovered in that, and we want to dig into that,  
16 particularly with our Transportation Unit a little bit  
17 more.

18           And we did find some differences in our  
19 commercial floor space projections, so that kind of  
20 bumped up our commercial sales forecast in comparison to  
21 what San Diego was presenting. So, we're going to  
22 discuss that a little bit more, as well, and put San  
23 Diego in touch with our commercial floor space modeler.

24           But at this point, I just want to invite San  
25 Diego up to provide any comments, if they would like.

1 The moment of pause.

2 MR. SCHIERMEYER: Thanks, Cary. First of all,  
3 I'd like to thank the CEC and the staff for all the hard  
4 work in putting together this preliminary forecast. And  
5 then, also, having calls with us to compare our  
6 submitted forecast, and then providing additional  
7 information. It was very helpful.

8 In reviewing --

9 COMMISSIONER MCALLISTER: Could you just state  
10 our name and --

11 MR. SCHIERMEYER: Oh, I'm sorry.

12 MR. FUGATE: Just for the record, the court  
13 reporter needs to know.

14 MR. SCHIERMEYER: Yeah, my name is Ken  
15 Schiermeyer, and San Diego Gas and Electric. And in  
16 reviewing the baseline forecasts, we agree the sales  
17 look comparable in the beginning, and then they kind of  
18 -- they differ in the end and we'd like to continue to,  
19 you know, look into that with the CEC staff.

20 We'd also like to look at the baseline forecasts  
21 with the new committed energy efficiency separated out.  
22 That might help us with the comparison. And so, I've  
23 asked Cary for that and he's graciously accepted to do  
24 that.

25 We look forward to including the AAEE, when that

1 is available, you know, to compare the fully managed  
2 forecast at that time.

3           And then, I think we'll reserve any other  
4 comments after we've circulated information within our  
5 company.

6           COMMISSIONER MCALLISTER: Great.

7           MR. GARCIA: Cool, thank you. Thank you, Ken.

8           So, I'm going to move on to Pacific Gas &  
9 Electric. A similar summary. As you can see here  
10 things are, in comparison to the other planning areas --  
11 or, I guess, in comparison primarily to San Diego, the  
12 IOU territories, PG&E's territory is split up into seven  
13 -- or, sorry, six climate zones. And so, that's going  
14 to be spread across all the way up to the North Coast,  
15 down to portions of the Central Valley. The Sacramento  
16 region down to Fresno/Bakersfield. Those are two  
17 separate forecasting zones. We have a Central Coast  
18 Zone, as well as a North Zone, a little further up in  
19 the valley.

20           And so, we'll also provide these breakouts.  
21 We're going to post the forecasting zone results, as  
22 well, so you can see these comparisons. We weren't able  
23 to do those in time for this workshop. They'll be able  
24 to shed some light on what I'm discussing here.

25           So, similar story across the State. So, you can

1 see personal incomes going up a little bit here and  
2 that's probably going to be driven by the Bay Area,  
3 where you see those income growth being pretty high.  
4 And that would be our forecasting zone, suitably titled  
5 The Greater Bay Area, for PG&E. So, that's going to be  
6 the City and County of San Francisco, and the  
7 surrounding Bay Area counties.

8 In our forecast, it's currently around 1.6  
9 million EVs by 2030. And you can see the break out of  
10 that electricity impact there in the capacity of PEV by  
11 2030, around 10,600 megawatts in our mid case.

12 So, moving on into the consumption, it's pretty  
13 clear there's basically the same growth rates. There's  
14 going to be a little dip there. As we've mentioned a  
15 few times today, those standards are kicking in, in  
16 2019, and then particularly for PG&E, we use those first  
17 three years of rain data in the AG model, so that's  
18 going to bring things down a little bit because you're  
19 not having as much electricity usage for irrigation  
20 pumping, as you would expect if you have more  
21 precipitation.

22 As I mentioned, the Greater Bay Area is  
23 definitely leading this planning area. So,  
24 consumption's at one and a half percent per year, from  
25 2019 to 2030. The same story with industrial mining,

1 that consumption is definitely down and declining across  
2 the planning area, if you look at it on a forecasting  
3 zone level.

4 But the Central Valley is still growing pretty  
5 strong. And we all know it's going to have more houses,  
6 large population growth there. And so, that's  
7 continuing to increase commercial demand and the  
8 residential demand in those particular forecasting  
9 zones. And those would be this Sacramento region, as  
10 well as the Fresno to Bakersfield regions.

11 Moving on to sales, you can see in this case,  
12 with a little bit more PV that's going to bring down the  
13 sales forecast, considering that the consumption  
14 forecast is about the same. But, yet, the PV increased  
15 a little bit here.

16 And, so, 96,600 gigawatt hours of sales. You  
17 can see the self-generation numbers right there, 72  
18 percent of which is going to be from PV. And another  
19 interesting note about the Central Valley, so that  
20 accounts for about -- once again, this is in 2030. So,  
21 in our 2030 forecast, it accounts for about 50 percent  
22 of PV generation in the PG&E planning area. But at the  
23 same time, their per capita electricity sales are also  
24 much higher than the rest of the planning areas. And  
25 that's something I think we've sort of already known.

1 There's obviously some, many disadvantaged communities  
2 in the Central Valley and we generally know there's a  
3 lot of -- I mean, it's generally hotter during the year,  
4 larger homes, potentially, in comparison to more urban  
5 areas in the Bay Area, for example.

6           And here's where I touch on the comparisons  
7 we've had. Similar to San Diego, we had discussions  
8 with Pacific Gas & Electric. The quick comparison is,  
9 really, PG&E has a higher EV forecast than we do, but a  
10 slightly lower PV forecast. And so, there were some  
11 differences in the modeling approach for EV that we want  
12 to discuss a little bit more. And there's going to be a  
13 difference in the capacity factors applied to the PV  
14 forecast as far as the generation. So, we want to  
15 discuss that as much as we can to make sure we're on the  
16 same page there, and address any issues we may find  
17 between our two forecasts.

18           And so, but ultimately accounting for these  
19 differences, the sales forecast is comparable to the  
20 CEC. Although, there's some slower near term growth,  
21 but faster growth in the long term. A little faster  
22 growth in residential and agricultural sectors in  
23 comparison to our forecasts.

24           And then, there's slower growth in commercial  
25 and industrial sectors. And similar to San Diego, I

1 haven't looked in detail. The issue with the commercial  
2 floor space primarily came up with discussions with San  
3 Diego, but we may take a second look at our commercial  
4 floor space projections for PG&E, as well, just to  
5 confirm that it's an isolated issue for San Diego,  
6 specifically.

7           And then, ultimately, looking at the peak demand  
8 forecast there at the bottom, we do have some  
9 differences. PG&E's forecast is generally very flat and  
10 then declining in the long term, where as our forecast  
11 shows a little bit of growth, particularly a little bit  
12 more in the long term, than PG&E's forecast.

13           But we've had those discussions and we're  
14 working on finding ways to address that, address those  
15 differences. At least to understand why those  
16 differences exist and see if there's any changes we need  
17 to make in our forecasting methodology there.

18           But at this time, if there's anybody from PG&E  
19 who would like to comment.

20           MR. KOLNOWSKI: Good afternoon, Ben Kolnowski,  
21 PG&E. I'd like to start off by saying thank you to the  
22 CEC for the work and effort they put in to developing  
23 the forecast, and especially the collaborative approach  
24 that they've taken to share the results with us, and  
25 discuss the results.

1           I have a couple comments. First is on the peak  
2 demand forecast. I think Cary touched on some of the  
3 differences there. We have a relatively flat forecast,  
4 while the CEC's is slightly increasing. And I'd like to  
5 dive deeper into what assumptions will come into play  
6 once AAEE and storage are included in that forecast,  
7 because I would imagine that would dampen that growth a  
8 little bit and maybe bring us more in line.

9           And then, in terms of the sales forecast, I  
10 think he correctly characterized that our EV forecast is  
11 higher and the PEV forecast is lower for PG&E compared  
12 to the CEC. And we'd like to dive into that further, to  
13 explore those differences.

14           And the rest, we'll reserve some comments, as we  
15 discussed internally, and dive deeper into the issues,  
16 and submit some comments, written, by the timeline.  
17 Thank you.

18           MR. GARCIA: All right, I'm going to back up a  
19 little bit here and get back to Edison.

20           MR. FUGATE: I just want to make one point. So,  
21 I think we've covered all the planning areas for which  
22 we have utility representatives in the room. But if  
23 there are folks on the phone, who are anticipating  
24 making comments, please use the raise hand feature, on  
25 the WebEx, so that we know to unmute you.

1           MR. HERNANDEZ: Excuse me, I'm here representing  
2 Southern California.

3           MR. FUGATE: Oh, okay, I'm so sorry. Well,  
4 then, we should have -- okay, so, I guess that will  
5 apply for just L.A. and SMUD, unless I'm misspeaking  
6 again. Okay. So, when we move into L.A. and SMUD, if  
7 there's anyone on the phone who would like to make  
8 comments, use the raise hand features, please.

9           COMMISSIONER MCALLISTER: Okay, great.

10          MR. FUGATE: Okay.

11          MR. GARCIA: All right, we missed you. We  
12 apologize for that.

13                 All right, so, we have the similar summary.  
14 Once again, population, households, slight decrease here  
15 in the personal income in comparison to the last  
16 forecast, and manufacturing output, once again, is down  
17 a little bit. And commercial employment stays about the  
18 same.

19                 So, a similar to story to PG&E, actually. So,  
20 we see that population growth and the household growth  
21 is going to be higher in those inland areas. And that's  
22 primarily because it's just easier to build.

23                 Like, for example, a portion of Edison's  
24 forecasting zone is going to be Riverside County. And  
25 so, it's just going to be easier to build there. Once

1 again, larger houses, faster population growth in those  
2 particular areas.

3 1.1 million EVs and the 8,200 megawatts of PV  
4 capacity in our mid case for 2030.

5 So, looking at consumption, not much change in  
6 our two mid cases, that you can see there. Sitting, you  
7 know, pretty right in the middle of our high and our low  
8 cases here.

9 Residential and commercial sector is a little  
10 bit lower, but still growing at similar rates as our  
11 previous forecast. And then, that same story, once  
12 again the industrial mining sector, as I mentioned, you  
13 know, over the past decade or so that's been declining  
14 and that's continuing to see that.

15 Inland and household population growth, as I  
16 mentioned, is continuing. And so, Eastern and Big Creek  
17 West forecasting zones, that's where the residential  
18 sector seems to be growing the most.

19 Eastern, as I mentioned, is going to be that  
20 Riverside County portion of Edison's planning area. Big  
21 Creek West is going to be Ventura and portions of Santa  
22 Barbara County.

23 And here's how everything shakes out as far as  
24 moving from consumption to sales forecast. In this  
25 case, a large portion of that self-generation is going

1 to be PV. You can see that at 75 percent there.

2           And then, kind of doing that comparison by the  
3 forecasting zones, we see more PV impacts becoming  
4 higher in the inland regions. Although, the actual  
5 growth in PV capacity is still a little slower, on  
6 average, in comparison to like L.A. Metro, for example,  
7 which is going to be just right in the center of L.A.,  
8 in Edison's planning area.

9           Sales forecast here that we're looking at, in  
10 this comparison, so a fairly higher EV assumptions  
11 according to Edison's forecast. But the PEV impacts  
12 seem comparable there. Our capacity's about the same,  
13 maybe a little -- some small differences. But we're, by  
14 and large, pretty close together on that one.

15           Edison does show some declining sales forecasts  
16 for their bundled customers, and a big portion of that  
17 is load migration from Edison's bundled, to like CCAs,  
18 for example L.A. County, being the largest CCA down  
19 there at this point.

20           There are some differences in peak demand that  
21 Chris pointed out today, in the previous presentation,  
22 looking at those load shapes and issues around peak  
23 shift. So, we'll have to dig into that a little bit  
24 more, for sure, but we have discussed that with Edison,  
25 through our DAWG, and through separate meetings with

1 their forecasting staff. And we seem to be on the same  
2 page, we just need to work out these differences in our  
3 forecast to get into the nuts and bolts of what are  
4 assumptions are here.

5 And then, lastly here, you can see the peak  
6 demand in their forecast is declining over the 10-year  
7 period, whereas ours is slightly growing.

8 So, at this time I would invite you up to  
9 comment for Edison.

10 COMMISSIONER MCALLISTER: That's for your  
11 patience there. It was totally unintentional. So,  
12 thanks for coming up in person.

13 MR. HERNANDEZ: Hello. Thank you, everyone. My  
14 name's Sean Hernandez, representing Southern California  
15 Edison. I'd like to thank the Commission for this great  
16 work. It's a lot of work, a lot of numbers, and I know  
17 everybody worked really hard on it and gave a lot of  
18 considerations. Racked their brains, probably really  
19 hard, thinking does this affect that, and does that also  
20 affect this. So, thank you, everybody, I know it's not  
21 easy.

22 So, I first wanted to comment that I did expect  
23 to see a little bit more about natural gas demand in  
24 today's presentations. I probably would have a few  
25 follow-up questions for some of the staff members. And

1 also, Angela Tangetti and Anthony Davies regarding the  
2 natural gas modeling.

3 My understanding is that there's an electric  
4 sector optimization model that's used to calculate the  
5 natural gas demand and I'm unclear at this time if that  
6 work's been completed, yet. And I'd like to learn a  
7 little bit more before we file our comments.

8 I'd also like to understand if that resulted in  
9 a preliminary electricity price forecast, because the  
10 natural gas demand forecast also leads to electricity  
11 prices. So, that's very important, also, for the PV  
12 forecast, for the TE forecast, as we all know.

13 Third, I'd like to mention some energy  
14 efficiency food for thought. I'd like to encourage the  
15 Commission to consider just a question, really, I don't  
16 have any answers here, but does the new framework of the  
17 Integrated Resources Planning proceeding call for  
18 deciding EE portfolios in a new way?

19 In that proceeding, there is extensive  
20 conversation about selectable versus non-selectable EE,  
21 but so far, based on the fact the proceeding's using the  
22 IEPR forecasts, it's remained only as a load modifier.

23 So, I would like to ask staff and the Commission  
24 to consider what would be appropriate for increasing  
25 that engagement between these two proceedings.

1           So, what would be selected if we did take an  
2 approach like that and what role would the CEC like to  
3 play in such an evolution, if it decided to?

4           Last issue, regarding Mr. Konala's presentation  
5 on self-generation, I just wanted to flag the feature of  
6 flat CHP forecast. In the previous IRP, that did create  
7 a little bit of a controversy and a little bit of  
8 modeling headache. It may not be reasonable to assume  
9 that industrial CHP and electric sector CPH is remaining  
10 flat, at a minimum, because the carbon allowance price  
11 for Cap and Trade will be increasing, so there will be  
12 an economic incentive for some of those units to be  
13 taken offline.

14           And what the CPUC ended up doing is assigning  
15 those CHP emissions to the electric sector, so that  
16 basically crowded out what would have otherwise been  
17 electric sector natural gas generation during ramping  
18 and nighttime hours. And it's possible that that could  
19 have reduced total system costs in IRP modeling.

20           So, we may need a forecast for CHP because it  
21 does seem reasonable for it to be declining, instead of  
22 flat. But happy to discuss these issues in an ongoing  
23 manner with staff, and the Commission. Thank you for  
24 your time.

25           COMMISSIONER MCALLISTER: Hey, thanks for being

1 here. Just a couple comments and maybe, Cary, you can  
2 talk about the production cost modeling, the status of  
3 the production cost modeling.

4 But to your point about sort of what happens in  
5 an IRP procurement kind of scenario is right on. And,  
6 you know, I don't think anybody really has the full  
7 answer to that. But we are talking a lot with the PUC  
8 about this. And, in particular, in the context of the  
9 Energy Efficiency Action Plan that we're updating right  
10 now, that will be sort of hitting the airwaves in the  
11 next week or two. And we have a workshop, I think it's  
12 on the 27th, about that.

13 So, that's a topic that we ought to air out  
14 there. We ought to begin to think about how efficiency  
15 can, you know, evolve to play alongside all these other  
16 resources we're talking about, and alongside demand  
17 flexibility, you know, more broadly, right.

18 So, I think all these topics are really in the  
19 air and it's great if Edison can participate and sort of  
20 bring that creativity, and all of us can sort of put our  
21 thinking caps on. Because how -- you know, and the rate  
22 regime going forward is really an integral part of this.  
23 So, you know, everything's kind of related at this  
24 point.

25 So, anyway, I really appreciate your comments

1 and expressing those thoughts. And then, you know, hope  
2 to keep engaging on that really deeply. So, thanks.

3 MR. GARCIA: Yeah, and as far as the production  
4 cost modeling, so these preliminary results will feed  
5 into their work over there, the modeling, and then it  
6 kind of iterates back.

7 If you remember the presentation I gave earlier  
8 in the year, it's sort of an iterative process. So,  
9 this preliminary will feed into that, and then those  
10 numbers, from NAMGAS, for example, give us some gas  
11 rates. That will feed back into our models and then  
12 we'll get the whole process once again.

13 MR. HERNANDEZ: Thanks, Cary.

14 MR. GARCIA: Then, once we get this done, we'll  
15 --

16 MR. HERNANDEZ: So, if I hear you correctly, we  
17 have completed the electricity demand forecast, which is  
18 going to go into that PCM I described, and then we're  
19 going to get the natural gas demand forecast.

20 MR. GARCIA: Correct.

21 MR. HERNANDEZ: Terrific. Thank you, everybody.

22 MR. GARCIA: Okay, I'm jumping around here. All  
23 right, we're going to go to SMUD, because that's the  
24 next one I landed on.

25 So, as we talked about earlier and Sudhakar was,

1 in fact, right, the population growth in the Sacramento  
2 Region is definitely higher than other parts of the  
3 State. But the population households are locked in at  
4 the same rate, roughly, as you can see in this table  
5 here.

6 Personal income, once again down a little bit  
7 there. Manufacturing output, as well. And then,  
8 commercial employment stays about the same, although  
9 there might be a slight adjustment downward there,  
10 actually, because these are rounded up. So, there might  
11 be some small changes.

12 Ultimately, there's slower growth in  
13 residential. And it's a relatively small sector, as you  
14 saw on the statewide level, but there was some  
15 interesting information from the TCU sector. But,  
16 ultimately, that slowed down in growth as well. And,  
17 once again, that's going to be your transportation,  
18 communications, and utility sector.

19 A hundred and twenty thousand EVs are assumed by  
20 2030 and then, roughly, 660 megawatts of PV, as Sudhakar  
21 pointed out earlier today.

22 Consumption is about the same, you know, only a  
23 minor difference in the overall growth here. But those  
24 new building standards do apply, as well, for SMUD. So,  
25 that drops things down a little bit in 2019, in

1 comparison to the previous forecast.

2           And that little bit about TCU that I pointed  
3 out, that was just me investigating probably a little  
4 more than I needed to. But it was an interesting little  
5 tidbit of information, just on the historical trends and  
6 the telecommunications. So, what's happening in SMUD,  
7 in particular, for the TCU unit, is there's the  
8 transition from wired components to wireless. And so,  
9 that employment and the work done in that sector has  
10 dropped off, and the wireless technology is picking up.  
11 So, that's just a little snippet of information.

12           And you can see this at a national level, where  
13 things have sort of -- employment has been declining in  
14 wired telecommunications technologies, and it's started  
15 increasing in the wireless sector.

16           If you ever want to dig into NAICS Codes, it's  
17 interesting stuff to get in there and to see this in  
18 more detail, if you have a lot of free time on your  
19 hands.

20           Moving from consumption to sales, you can see  
21 here the impact of that PV generation. SMUD is a little  
22 different where around 96 percent of the self-gen is  
23 coming from PV, so that's a pretty large proportion.  
24 And I think that's much higher than most other planning  
25 areas in our State.

1           And I should also mention that SMUD is actually  
2 not a planning area unto itself. It's a part of our  
3 Northern California non-CAISO planning area that's  
4 broken up into three forecasting zones. So, SMUD is one  
5 of the three. Turlock, Modesto, and other portions of  
6 the Balancing Authority of Northern California are going  
7 to be the other two forecasting zones within that.

8           And then, back to here, though, so this PV  
9 growth that we're seeing here just definitely results in  
10 slower growth and sales in comparison to what we saw on  
11 the consumption forecast on the slide previous.

12           So, I didn't talk about peak demand for the  
13 IOUs, because we addressed that in the hourly model. We  
14 haven't, yet, gotten to modeling peak demand for the  
15 other planning areas that are at an hourly level, so we  
16 use load factors that we have developed from our  
17 previous HELM model to derive peak demand from the  
18 consumption demand fed into it.

19           So, ultimately, as you saw on the previous,  
20 you're going to see numbers very similar to consumption  
21 because that's essentially what peak end use load is.  
22 That's like going to be your demand, irrelevant of  
23 generation source, just your raw demand for end use.

24           So, a modest decline here in peak end use load.  
25 And that's going to be driven, as I said -- your peak

1 end use load is going to be driven by your weather-  
2 sensitive sector, so residential and commercial. So, if  
3 there's a decline in your commercial sector consumption,  
4 you would expect a similar decline in overall peak end  
5 use load at the end of the day.

6 This is a little, slightly more complicated  
7 graph, but this is going from gross generation to net  
8 peak, and then also to peak end use load. So, as I  
9 mentioned, you can see peak end use load down there at  
10 the bottom in the green line.

11 The difference between that and gross generation  
12 is your losses, so you do that calculation of losses  
13 there. And then, the difference between the gross  
14 generation and your net peak demand is going to be that  
15 self-generation impact.

16 So, ultimately, this is going to basically grow  
17 out your sales rate, because it's essentially what it is  
18 just on the peak side, when you think about it. And so,  
19 1 percent in compared to 1.3 percent, slight decline  
20 there. You're going to have more PV having an impact,  
21 obviously, as well as the impacts that are happening on  
22 the underlying sales forecast that's going to feed into  
23 the peak demand forecast. So, as outlined here.

24 So, you see this -- I pointed out, at the bottom  
25 there, you have this increasing self-generation impact

1 that results in that decline in your net peak, relative  
2 to end use load. So, you see our end use load slowly --  
3 your end use load, I guess, graph, and your net peak  
4 graph slowly kind of reaching point as that self-  
5 generation begins to increase at such a rate.

6 So, quick comparisons to SMUD's forecasts. So,  
7 overall, it includes less PV and less EVs. But,  
8 ultimately, we end up being on the same page there, at  
9 the end of the day, in comparison to our forecasts.

10 We have some declining residential sales growth  
11 in their forecast, but some large growth -- or,  
12 actually, some growth in their large commercial customer  
13 demand. SMUD breaks out their forecast into more  
14 disaggregate customer classes, in comparison with us, so  
15 that's what's going on there.

16 Ultimately, their sales forecast is pretty flat  
17 over the 10-year period, and that's looking at -- that's  
18 actually including sort of a managed forecast to include  
19 energy efficiency over their demand forecasts, as some  
20 of the other utilities that submit data to us, do.

21 But, ultimately, our forecast is showing a  
22 higher residential and commercial demand. But when you  
23 do that comparison to an unmanaged forecast, and you  
24 basically bad -- we seem to add back the energy  
25 efficiency savings to create an unmanaged for SMUD, and

1 we end up being pretty close to the same as far as  
2 sales.

3 We do have similar growth expectations for peak  
4 demand, when looking at like an unmanaged version of  
5 SMUD's forecast. But their managed forecast shows a  
6 decline over the long term period here.

7 And I don't believe we have anybody on the line  
8 from SMUD, but if we do, I'll leave it there for  
9 comment.

10 Okay, just a last note as far as the sales. So,  
11 as I said, we're pretty close. And as I mentioned, SMUD  
12 has less PV and less EVs. But on our end, we have more  
13 PV and more EV, so it ends up being a wash as far as our  
14 assumptions. We're not too far off, but we want to dig  
15 into that and understand what's going on there. But  
16 SMUD has pretty good on-the-ground information and  
17 they're pretty involved in their EV programs.

18 COMMISSIONER MCALLISTER: Yeah, I would say  
19 they're going to have really good information about --

20 MR. GARCIA: Yeah.

21 COMMISSIONER MCALLISTER: -- like they have a  
22 very well-developed electrification program and, I mean,  
23 I think they'll be able to help us anticipate pretty  
24 well what's going to happen here.

25 I mean, one question I kind of have throughout

1 this is in the out years, you know, the interplay  
2 between all these different wedges, and demand  
3 modifiers, and everything, how much does some of the  
4 uncertainty in each of those individual areas kind of  
5 compound?

6 MR. GARCIA: I think it definitely does  
7 compound, for sure.

8 COMMISSIONER MCALLISTER: Yeah, so like how much  
9 -- what are the air bars around this stuff? Are they  
10 getting wider over time and how can we deal with that,  
11 or do we need to deal with that, I guess?

12 Anyway, but probably we can talk about that  
13 offline. But, you know, I think there's -- there are  
14 more sources of uncertainty --

15 MR. GARCIA: Yeah.

16 COMMISSIONER MCALLISTER: -- as we -- you know,  
17 each new forecast and so, you know, how do we sort of  
18 bound that?

19 MR. GARCIA: Well, yeah, so --

20 COMMISSIONER MCALLISTER: Yeah, I've talked  
21 about this before with Chris a little bit but --

22 MR. GARCIA: Right. And so, well, just thinking  
23 about what you had said about the -- and you can see  
24 this comparison, as I mentioned before, like in our  
25 short term we're all pretty close, we're not too far off

1 there. But as we start getting, you know, into that 5-  
2 year period and beyond, that's when I start -- we start  
3 seeing, just looking at our forecast in comparison to  
4 the utilities' forecasts, we're definitely making some  
5 different assumptions about what's happening in the long  
6 term.

7 EVs, for example, in some of the utility  
8 forecasts you see almost like Bass diffusion kind of  
9 situation happening, where it may not be paying,  
10 perhaps, not as much attention to policy impacts and  
11 influence, as it may, but that's something that's hard  
12 to put a confidence interval on, right. Like, what  
13 happens with a certain, a new policy that may take place  
14 that we weren't expecting? How do you model that out  
15 ten years out from  
16 now.

17 COMMISSIONER MCALLISTER: Yeah. I mean, that's going  
18 to require some interaction, not only with the  
19 utilities, and certainly first with utilities, but also  
20 with the ISO and the PUC. I mean, particularly the ISO  
21 like -- I mean, well, all the agencies have to plan out  
22 a decade, right? I mean, it takes -- these  
23 infrastructure projects and these investment plans, they  
24 have to contemplate, you know, definitely more than a  
25 few years out. So, we need to work pretty hard to

1 develop a comfort level with those sort of medium out  
2 years, so that we can be on the same page with the  
3 forecast.

4 MR. GARCIA: Do you have any comments?

5 COMMISSIONER MCALLISTER: I don't really see any  
6 nodding heads in the audience, maybe one or two, but  
7 anyway.

8 I mean, the last thing we want to do is, you  
9 know, take the forecast to the agencies and say, okay,  
10 well, do you see any problems with this and have them  
11 say, yeah, you know, we're not confident in your fifth  
12 year or your sixth year, you know.

13 MR. GARCIA: Right.

14 MR. FUGATE: I was just going to say that we  
15 don't see any raised hands on the WebEx, but we do have  
16 some call-in users. So, what we'll do at the end is  
17 just open up the lines in case there are any comments  
18 from anyone.

19 MR. KAVALEC: I just wanted to make one point  
20 about uncertainty. And as you mentioned, and we've  
21 talked about it in the past, this in the past. And,  
22 really, what it comes down to, our users typically want  
23 a point forecast. Maybe the way to think about  
24 incorporating uncertainty in the future is to urge our  
25 stakeholders, users of our forecasts, to start thinking

1 about using distributions of results instead of a point  
2 forecast.

3 COMMISSIONER MCALLISTER: Yeah, thanks.

4 MR. GARCIA: Which portion of the distribution  
5 should we pick, though?

6 All right, last, but not least, LAWDP. So, when  
7 we talked about it earlier today, there's definitely  
8 some -- an issue around the household projections that  
9 we have for these climate zones. And so, L.A., as I  
10 mentioned, is split into two climate zones. There's an  
11 inland and a coastal. And so, we may want to actually  
12 combine those. We're not too sure if there's much value  
13 in having that before -- that's a carryover from how we  
14 had done this decades earlier.

15 And so, that may be somethings that needs to be  
16 addressed. It might help make it a little easier to  
17 develop these household projections for LAWDP.

18 But nonetheless, here's the table breaking out  
19 some of the projections. As with before, those  
20 population households are going to be the same as last  
21 year. Differences in personal income that you can see  
22 here, as well as the manufacturing output and then, once  
23 again, commercial employment is going to stay about the  
24 same.

25 And then, I think it's the story across the

1 State that declining industrial and mining sector really  
2 happening just about everywhere.

3 And then, you can see the EVs that we're  
4 assuming for LADWP at the bottom there, around 370,000  
5 light duty electric vehicles by 2030.

6 Looking at consumption, you can see that drop  
7 there in comparison to the previous mid case, and this  
8 is going to be due to the residential and commercial  
9 consumption being slowed down due to those economic  
10 drivers that I mentioned. So, personal income coming  
11 down, low growth in households, as well as the standards  
12 that we mentioned before.

13 Then, once again, industrial sector here is  
14 declining much faster than 2018.

15 This is the sales forecast. You can see the  
16 comparison at the top there. And as we noted before,  
17 there's -- just looking at the numbers here, there's  
18 much less self-generation in our forecast in comparison  
19 to other parts of the State. So, we'll address that, as  
20 I mentioned, through looking at the household numbers.  
21 So, we can dial in those household additions and that  
22 will increase the potential of roof space for the PV  
23 adoption. So, we can fix that and look into that a  
24 little further, and that might change these numbers for  
25 the revised forecast, as they come up.

1           And, ultimately, this shakes out to having PV  
2 capacity growing a little slower than the statewide  
3 average.

4           Peak end use load, here it's much lower. Those  
5 weather-sensitive sectors are really going to drive the  
6 peak end use load, as I mentioned, for SMUD. And so, if  
7 you have a lower residential and commercial sector  
8 consumption, that's ultimately going to lead to lower  
9 peak end use load growth.

10           And you can see the differences there, 1.2  
11 percent versus .6 percent that we have now. So, it's a  
12 little bit slower growth. But, yeah -- yeah, much lower  
13 low case as you can see, pretty obviously. And the high  
14 case is a pretty tight balance from those two numbers.

15           Moving from peak end use load to the net peak,  
16 you can see the self-generation impact. Only about 280  
17 megawatts of peak -- of PV at that peak there. So, once  
18 again, that slower peak end use load growth is going to  
19 result in a similar slow down in the net peak forecast.  
20 In this case a little bit more significant, 0.4 percent  
21 versus 1 percent here.

22           So, LADWP's forecast for sure includes more EVs  
23 and PEVs -- PV, and as well as EVs. As I said, there is  
24 lower residential and commercial sales forecasts.  
25 That's going to lead to an overall lower forecast in

1 comparison to the CEC. Aside from those sales  
2 differences, the peak forecast is pretty comparable.  
3 We're definitely, also going to see that the peak  
4 forecast that we're using actually has a lower starting  
5 point in comparison to what they have. So, we want to  
6 take a look at that a little further. And we're reached  
7 out to LADWP staff to set up a call at some point,  
8 shortly after this workshop.

9 I mentioned before looking at LAWDP housing. We  
10 want to dig into that a little bit further and see  
11 what's going on in those projections.

12 There is a significant reduction in there, as I  
13 said here, in their residential and commercial sales,  
14 but they also have a higher peak demand forecast, which  
15 has me scratching my head a little bit. I don't quite  
16 understand how the overall sales could be declining, but  
17 yet, you have a much higher peak demand forecast than we  
18 have, when we have these differences in both our  
19 forecast. So, this could be driven by differences in PV  
20 and EV. And I noticed it more in their commercial  
21 sector. There's quite a bit of a decline downward that  
22 seems a little peculiar, and then it starts dipping up.  
23 So, it's sort of like a little Nike swoosh, for example,  
24 happening in their forecast for commercial sector,  
25 specifically. So, we'd like to dig into that a little

1 bit more and find out what's going on in there.

2 But I don't believe anybody on LADWP's on the  
3 line. But I think at this point, we'll just opening it  
4 up, if there's any additional public comments before we  
5 go.

6 MR. FUGATE: So, actually, we do see at least  
7 one LADWP representative. Is his line unmuted?

8 MS. ZHANG: This is Bingbing Zhang from LADWP.  
9 Can you hear me?

10 MR. FUGATE: Oh, yes, we can hear you.

11 MS. ZHANG: Oh, okay. Yeah, thank you for  
12 everybody putting into all the effort put into this  
13 detailed forecast. So, I heard all your questions and  
14 so, we'll be happy -- I will be happy to assist you guys  
15 with all the questions and so we can learn more from the  
16 forecast. And, also, I will be interested in, you know,  
17 getting more details on the hourly forecast and also the  
18 peak hour shifting, if you guys have any additional, you  
19 know, input, so we can improve our forecast as well.

20 MR. FUGATE: Okay. Thank you, Bingbing.  
21 Currently we do not hourly forecast the LAWDP, but  
22 that's something that we can talk about the future for  
23 sure, and we'll definitely reach out to you guys soon.  
24 I think I reached out to the colleague who submitted  
25 your IEPR demand form. So, I'll make sure to include

1 you in that communication, as well, as we can follow up.

2 MS. ZHANG: Yes. They are the coordinated our  
3 LAWDP communicating with CEC. So, yes, I will make sure  
4 that they will, you know, include us in this discussion.

5 And another quick answer to one of the questions  
6 you had, how come our peak demand goes higher, while our  
7 consumption forecast goes lower? Was that one of your  
8 questions?

9 MR. GARCIA: Yes.

10 MS. ZHANG: So, the way basically was not using  
11 the same load factor to forecast for the future. We  
12 forecast our load factor, as well. So, in the past  
13 several years, the load factor has been dropping down.  
14 That's probably one of the reasons causing the increase  
15 of peak demand, however the consumption has been lower.

16 MR. GARCIA: Okay, thank you. Yeah, we'll  
17 definitely follow up with you, Bingbing and have a more  
18 -- a deeper discussion on that. That would be great.

19 MS. ZHANG: Okay. All right, yeah, I'm looking  
20 forward. Thank you.

21 COMMISSIONER MCALLISTER: Did we open all the  
22 lines? Okay, so I think we should be good.

23 MR. FUGATE: Okay.

24 COMMISSIONER MCALLISTER: Any wrapping up  
25 comments, deadlines, housekeeping stuff?

1           MR. FUGATE: Yes, so I believe the comments for  
2 this workshop are due on August 29th. That's in two  
3 weeks.

4           COMMISSIONER MCALLISTER: Great.

5           MR. FUGATE: So, I want to thank everyone for  
6 coming.

7           COMMISSIONER MCALLISTER: Yeah, I guess I want  
8 to thank Cary for the presentation and all of you for  
9 sticking it out to the last. It's a little sparse,  
10 you've got the diehards here in the room.

11           But, you know, this is not the most accessible  
12 conversation, but it is absolutely one of the most  
13 important conversations we have at the Energy  
14 Commission. And it ends up with a really robust  
15 platform for having discussions about how we do our  
16 energy planning going forward.

17           And as we transition to, in many ways, actually,  
18 our energy sector an as we sort of morph between gas and  
19 electricity, and we try to figure out about demand  
20 flexibility, and disaggregation, and locational,  
21 temporal, all of the different trends that we're seeing  
22 across the State, it all kind of comes home to roost  
23 right here. And so, this conversation is really  
24 critical and we have to produce a good product so we can  
25 have, basically, a consensus across the State that it's

1 going to be used going forward. And this is the common  
2 language we're going to use.

3           And so, anyway, I want to just thank everyone  
4 for your participation. And, certainly, thank staff in  
5 the Demand Analysis Office, and just everybody in the  
6 Assessments Division, and the other divisions who  
7 contribute to getting this train rolling down the track.  
8 And we have a few stops to make along the way, but we'll  
9 get to our destination here before January, by January  
10 of next year. So, thanks again.

11           Anything else? All right, thanks, everybody for  
12 coming. We're adjourned.

13 (Off

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12

(Thereupon, the Workshop was adjourned at  
4:03 p.m.)

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way

interested in the outcome of the cause named  
in said caption.

IN WITNESS WHEREOF, I have hereunto set  
my hand this 24th day of October, 2019.



---

Lucien Newell, AAERT CER, Notary Public  
for the State of California

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 24th day of October, 2019.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520