

DOCKETED

Docket Number:	19-IEPR-07
Project Title:	Electricity Sector
TN #:	230529
Document Title:	Transcript for the September 24, 2019, IEPR Workshop RE Near-Zero Carbon Electricity
Description:	N/A
Filer:	Stephanie Bailey
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	11/7/2019 1:58:18 PM
Docketed Date:	11/7/2019

CALIFORNIA ENERGY COMMISSION

COMMISSIONER WORKSHOP

In the Matter of:) Docket No. 19-IEPR-07
)
2019 Integrated Energy Policy) RE: Near-Zero Carbon
Report) Electricity
_____)

CALIFORNIA ENERGY COMMISSION (CEC)
WARREN-ALQUIST STATE ENERGY BUILDING
ART ROSENFELD HEARING ROOM, FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

TUESDAY, SEPTEMBER 24, 2019

10:00 A.M.

Reported by:

Bridgette Rast

APPEARANCES

STATE LEADERSHIP

Janea A. Scott, Vice Chair, California Energy Commission

Genevieve Shiroma, Commissioner, California Public
Utilities

J. Andrew McAllister, Commissioner, California Energy
Commission

Patty Monahan, Commissioner, California Energy Commission

Suzanne Casazza, Legal and Policy Advisor, on behalf of
Commissioner Randolph

Mark Rothleder, Vice President, California Independent
System Operators

Ken Rider, California Energy Commission, Advisor to Chair
Hochschild

CALIFORNIA ENERGY COMMISSION STAFF

Heather Raitt, Assistant Executive Director, Policy
Development

MONDERATORS

Siva Gunda, California Energy Commission

PRESENTERS

Le-Quyen Nguyen, California Energy Commission

Maureen Hand, California Air Resources Board

Zachary Subin, E3

Debra Lew, Consultant to Western Interconnection Regional
Advisory Body

Melanie Kenderdine (via WebEx), Energy Futures Initiative

Caitlin Murphy, National Renewable Energy Laboratory

AGENDA

	<u>Page</u>
Introduction	
Heather Raitt	5
Opening Comments	6
Janea Scott	
J. Andrew McAllister	
Patty Monahan	
Genevieve Shiroma	
Mark Rothleder	
Suzanne Casazza	
1: Overview of California's Climate and Energy Policies/goals	17
2: Planning for Deep Decarbonization	42
Public Comment	---
Closing Comments	119
Adjourn	119

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

10:03 A.M.

SACRAMENTO, CALIFORNIA

TUESDAY, SEPTEMBER 24, 2019

VICE CHAIR SCOTT: Good morning everybody and welcome to our IEPR Workshop this morning on the Near-Zero Carbon Electricity. So we're glad to have everyone here, glad to have this conversation.

Let me turn it to Heather. And then we will come and do some opening remarks.

MS. RAITT: Great. Thanks.

Just a few housekeeping items. If we need to evacuate the building, please follow staff out the door to Roosevelt Park, which is diagonal to the building.

And just to let folks know that we are being recorded on WebEx, so there will be -- we'll be posting an audio recording and a written transcript on our website in about a month.

If you would like to make comments at the end of the day, you have -- fill out a blue card and give it to me. Blue cards at the entrance of the hearing room.

And folks on WebEx, if you'd like to make

1 comments at the end of the day, use the
2 raise-your-hand feature on WebEx to let us know
3 that you want to comment. And if you change your
4 mind, you can also use that feature to take your
5 hand down.

6 The meeting materials, all materials for
7 this meeting, are posted on our website. And the
8 notice gives information about how to submit
9 written comments and those are due on October
10 8th.

11 And then finally, I'd just like to thank
12 our speakers for being here, representatives.
13 And just to remind you that when you're speaking,
14 if you could just identify your name each time?
15 It's very helpful for the folks on WebEx to try
16 to follow along with the conversation.

17 That's it. Thank you.

18 Commissioner?

19 VICE CHAIR SCOTT: Okay. Great. Well,
20 good morning. This is Commissioner Scott. And
21 welcome everybody. We're glad to have you here.

22 So this is a really important workshop,
23 as you all well know. The state is thinking
24 about how we get to 100 percent clean energy.
25 And it seemed that we must have a near-zero

1 carbon electricity workshop as part of the
2 Integrated Energy Policy Report proceeding as
3 part of that. And we fully recognize that many
4 of these goals are 2045, 2050. They're, you
5 know, 20 years from now which is, actually, a
6 very short amount of time, but also quite a ways
7 out.

8 So we need to kind of balance that and
9 think through a lot of the practical
10 considerations that we all need to be keeping in
11 mind, keeping an eye out for some of the red
12 flags that might come our way, things that we
13 know now that we need to start putting in place,
14 but also kind of think about the types of
15 technologies, the types of distributed resources,
16 the types of analysis and things like that that
17 we will continue to need as we make our way from
18 here in 2019 through 2040, 2045, and 2050 to meet
19 our climate change goals, and also the clean air
20 goals that are tied to that.

21 So at today's workshop, we will hear some
22 of the key scenarios from some world-renowned
23 folks who have really been spending some time
24 thinking about this. And then we will hear from
25 a set of folks who will talk through some of the

1 practical considerations that policymakers and
2 decisionmakers may want to keep in mind as we
3 make our way toward our near-zero carbon
4 electricity future.

5 I did want to just clarify that this is,
6 while there's a lot of information that is very
7 similar to what you might here in the SB 100
8 proceedings, this is not an SB 100 proceeding.
9 That has its whole own set of workshops and
10 proceedings and folks that are going to be
11 gathering together and continuing to work on
12 that. But we would be remiss in putting together
13 an Integrated Energy Policy Report that didn't
14 also touch on this.

15 So if you are engaged and interested in
16 SB 100 proceedings, please be sure to follow
17 those closely as well.

18 And I really want to say thank you so
19 much to our friends from the Public Utilities
20 Commission, and also from the ISO, for joining us
21 here today. This is, obviously, a consideration
22 that's important to all of the agencies across
23 the state. Air Resources Board is out a little
24 bit ahead of us and had a very similar workshop
25 just a little bit ago. But our agencies are all

1 working really closely together, really well
2 together to dig into these topics, so thank you
3 for being here.

4 And let me turn to others on the dais for
5 opening remarks.

6 Would you step down here?

7 COMMISSIONER SHIROMA: Okay. Well, good
8 morning everyone. Thank you. Thank you,
9 Commissioner Scott, McAllister, Monahan, and
10 colleagues at the dais. I'm very pleased to be
11 invited to participate, to listen, really, to
12 listen and learn today.

13 As you know, the CPUC, the California
14 Public Utilities Commission, has an essential
15 role in this effort, not only SB 100, but also in
16 the IEPR insofar as the CPUC directs procurement,
17 adopts rates, implements policy through our
18 investor-owned utilities, and in and around that,
19 look at the impact on low-income communities,
20 disadvantaged communities, as you do, as well,
21 and balancing, always making that assertive
22 process towards lowering our greenhouse gas
23 footprint, utilizing innovative technologies,
24 looking around the corner at what might be there
25 to help in this path forward, and always with a

1 keen eye to affordable rates, safety and what
2 have you.

3 So I'm looking forward to learning today,
4 to hearing.

5 And then, having said that, I'm
6 apologizing in advance because at 11:30, I need
7 to peel off to head to the Bay Area for another
8 meeting. But I've already sort of taken a
9 preview glance at the PowerPoints and really
10 appreciate the work and effort that has gone into
11 those. And again, I'm here to learn and listen.

12 Thank you so much.

13 COMMISSIONER MCALLISTER: Well, thank
14 you, Commissioner Shiroma, and thank you for
15 being here, and everybody on the dais.

16 My name is Andrew McAllister, a
17 Commissioner here at the Energy Commission, and
18 second on the IEPR in general, but mostly
19 forecasting. I'm mostly focusing on the
20 forecasting piece of the IEPR.

21 But, you know, I want to -- don't want to
22 reiterate what Commissioner Scott said but I
23 think, you know, we do have to remember that SB
24 100 is a standalone thing. And I think it's
25 where a lot of the continuity of the long-term

1 discussion sits. How do we get -- how do we
2 maintain reliability? How do we really sort of,
3 you know, systematically get to our goals over
4 the long term? And this is a little bit more of
5 a snapshot as part of the 2019 IEPR. And
6 completely agree, I mean, we need to have a high-
7 level conversation about this in the IEPR and put
8 that in a chapter on the record so that people
9 can refer to it. But over the long term the
10 heavy lifting happens in the SB 100 proceeding.

11 I wanted to just highlight, you know,
12 this is a relatively short workshop, the two big
13 inputs we're discussing are the E3 work and the
14 EFI work. And those are, I would say, you know,
15 similar in some ways but kind of the two distinct
16 inputs thus far on decarbonization of the energy
17 system in California. And so it made a lot of
18 sense to sort of put them together and listen and
19 learn what those look like. Obviously, lots of
20 unknowns in both cases. But I think really
21 grateful to have both E3 and the Energy Futures
22 Initiative here. Well, I guess Melanie is
23 remote. But those perspectives on where we might
24 be heading, I think, pathways with a small P, I
25 think, is a really valuable thing to have in

1 front of us and to begin to think about.

2 And so just thanks everybody for coming.

3 You know, the standard comment periods will
4 apply. And I think it's really helpful to have
5 multiple jurisdictions at the dais. Thanks to
6 the ISO and the CPUC for coming, and the ARB is
7 sort of in absentia. But again, you know, they
8 are the third entity in the SB 100 realm. This
9 conversation is slightly distinct so we have,
10 also, the ISO here with us.

11 So looking forward to getting the
12 viewpoints from our presenters. And we'll pass
13 it along to Commissioner Monahan.

14 COMMISSIONER MONAHAN: Well, I got to
15 say, as the Trump administration takes steps to
16 roll back California's authority to set vehicle
17 standards, it is a joy to be on the dais with
18 fellow agencies all working towards a 2045 deep
19 decarbonization goal. It really is wonderful to
20 be here in California making progress on climate
21 and clean energy and showing the rest of the
22 world how it's done.

23 I think there is -- we are encountering
24 increasing tension between near-zero and zero
25 emission grid and transportation system and we

1 need to navigate those challenges. As
2 Commissioner Shiroma said, we need to make sure
3 that we have safe, reliable, affordable
4 electricity. And we need to make sure that
5 California meets its clean air goals.

6 So I'm very much looking forward to this
7 conversation. I think we are treading new
8 territory. And every day we're surprised by how
9 prices are dropping on renewables, on batteries,
10 opening the door for greater ambition here in the
11 state of California.

12 So with that, I'll pass the baton to
13 Mark.

14 MR. ROTHLEDER: Thank you. And thank you
15 for the opportunity to share this dais with you.

16 The ISO, we play a supportive role in
17 terms of the carbon goals and the environmental
18 goals. Our primary focus is reliability. And so
19 when it comes to that mix of sustainability,
20 affordability and safety, we're the fourth one,
21 we're reliability. And in that regards, what
22 we'll be focusing on today is watching to see
23 what's happening in terms of the changes on a
24 couple things in terms of operability in the
25 system.

1 And some of the things that we -- I'd
2 like to break it up into like thirds. The one-
3 third we've kind of gotten through and we did it
4 and we showed how it could be done, but we've got
5 two-thirds to go. And I think those two-thirds
6 are really going to be a challenge on all fronts.

7 And on the operational front, some of the
8 three challenges that we're focusing in on over
9 the next few years, some of them are more near
10 term than later, but one is: Do we have the right
11 capacity and capability of the system to continue
12 to maintain reliability in all periods,
13 especially as that daily load shape is changing?

14 The other thing that we were looking at
15 is that with the changing mix, we have increasing
16 need for flexible resources, ramping capability
17 so that we can balance a system in those hours
18 when the supply and the load picture is changing.

19 And then the third area that I think we
20 need to focus on, and I'm glad to see it in some
21 of the material, is that we also have to keep
22 preparing for those days when you don't have
23 production from those clean resources. How are
24 we going to meet the demand in multiple days?
25 And, certainly, storage will become part of the

1 solution. But do we have the right mix of
2 resources and the right types of storage to do
3 that?

4 So those are probably the three major
5 challenges that we are most focused on.

6 I think the other area that we are
7 interested in understanding is that as the other
8 sectors decarbonize, what is the impact as fuel
9 switching occurs and what's the effect on the
10 load on the electricity? It's nice to be in this
11 kind of nice stable pattern where load isn't
12 really increasing, maybe even going down a little
13 bit with energy efficiency. But there's going to
14 be a turn here in the near future and how do we
15 prepare for that turn in the load pattern? So
16 those are the areas that I look forward to
17 understanding.

18 And, again, thank you for the opportunity
19 to share the dais with you.

20 MS. CASAZZA: Good morning everyone and
21 thank you for having me today. Thank you to the
22 CEC for organizing today's event. My name is
23 Suzanne Casazza and I'm a Legal and Policy
24 Advisor for CPUC Commissioner Randolph.
25 Commissioner Randolph, unfortunately, could not

1 be here today because she has a conflicting
2 event. But I am representing her and I'm really
3 excited to hear today's discussions and share
4 with her what I learn today.

5 Commissioner Randolph is the assigned
6 CPUC Commissioner to Integrated Resource
7 Planning, or IRP. And an IRP, the CPUC sets out
8 the optimum portfolio of supply and demand-side
9 resources needed to achieve our state's ambitious
10 greenhouse gas emission reduction targets within
11 the electric sector.

12 And as part of IRP and our partnership
13 with ARB and the CEC, we are examining what 2045
14 looks like for the energy sector. And we will be
15 producing some early looks alongside the 2030
16 portfolios soon, in early October. We will have
17 an IRP workshop on October 8th which will be
18 noticed formally very soon. And I'm just really
19 excited to see today's discussions.

20 Thank you again for having me and I look
21 forward to it.

22 VICE CHAIR SCOTT: Great. Great. All
23 right. Thank you everyone for being here on the
24 dais with us.

25 Let us now turn to our overview of

1 California's climate and energy policies and
2 goals.

3 And so first we'll hear from Le-Quyen
4 Nguyen, who will talk with us a little bit about
5 SB 100 and what's going on in that space. And we
6 will also hear from the Air Resources Board about
7 AB 32, SB 32, kind of the overarching climate
8 goals, so we can kind of set the stage for why
9 we're having this dialogue today.

10 So go ahead, Le-Quyen. Thank you.

11 MS. NGUYEN: Thank you, Vice Chair.

12 So my name is Le-Quyen Nguyen. I am the
13 manager of the Supply Analysis Office in the
14 Energy Assessments Division within the Energy
15 Commission. And so today, I'm going to supply a
16 brief overview of California's climate energy
17 goals and actions that we're taking to achieve
18 them.

19 So California has a long history of
20 strong leadership and ambitious initiatives to
21 fight climate change and promote clean energy.
22 We've set goals for reducing greenhouse gas
23 emissions, calling for a reduction to 1990 levels
24 by 2020, 40 percent below 1990 levels by 2030,
25 and 80 percent below 1990 levels by 2050.

1 One of California's core strategies for
2 reducing greenhouse gas emissions is our
3 Renewables Portfolio Standard which sets targets
4 for the percent of retail sales that must come
5 from renewable energy. The initial target was 20
6 percent by 2017 but it has increased several
7 times and it is now at 50 percent by 2026 and 60
8 percent by 2030. In addition, California also
9 has a goal of achieving carbon neutrality by
10 2045.

11 So this slide shows California's
12 electricity consumption by sector in 2018.
13 Residential, commercial, industrial, and
14 manufacturing make up the largest percentage of
15 California's electricity consumption. So Maureen
16 from ARB will talk about GHG emissions in her
17 presentation. But I do want to point out that a
18 sector's percentage of electricity consumption
19 does not necessarily correlate to their
20 percentage of California's total GHG emissions.

21 Energy efficiency is one of the ways that
22 California is reducing the need for new
23 electricity generation. Since 1978, we've set
24 building energy efficiency standards for reducing
25 energy consumption in new and existing buildings.

1 The standards are updated every three years
2 through a transparent and public process. And
3 the most recent standards, the 2019 standards,
4 take effect January 1st, 2020. And notably, they
5 require solar on new homes.

6 Also, in 2018, California joined the Net-
7 Zero Carbon Buildings Commitment administered by
8 the World Green Building Council for the Global
9 Climate Action Summit. The Commitment calls on
10 signatories to enact regulations and planning
11 policies to ensure that all new buildings operate
12 at net-zero carbon emissions by 2030 and for all
13 buildings to do so by 2050.

14 California has also set minimum
15 efficiency levels with energy and water
16 consumption in products such as showerheads,
17 computer monitors, light bulbs and televisions.
18 And over the last 40 years, our cost effective
19 appliance and building energy efficiency
20 standards have saved consumers well over \$100
21 billion -- I was going to say \$100 million but
22 it's \$100 billion.

23 So the chart on this screen shows that
24 combining the efficiency gains and standards and
25 efficiency programs, the cumulative annual

1 efficiency and conservation savings for
2 electricity surpass 70,000 gigawatt hours in
3 2017.

4 Other key policy measures that the Energy
5 Commission is responsible for include: AB 758,
6 which directs us to develop a program to increase
7 energy efficiencies in existing buildings; SB
8 350, which called for us to establish a target
9 that would achieve an accumulative doubling of
10 energy efficiency savings by 2030; AB 802, which
11 requires utilities to provide building-level
12 energy data to owners upon their request; and
13 more recently, AB 3232, which directs the Energy
14 Commission to assess the potential to reduce
15 greenhouse gas emissions from California's
16 commercial and residential buildings by 2030.

17 So on this slide, I have behind-the-meter
18 solar PV installations in California. So behind-
19 the-meter, or the customer side of solar, plays a
20 role in achieving California's climate energy
21 goals. So on this chart, you'll see the growth
22 of behind-the-meter solar, and you'll see that
23 it's a great ramp up. And if you look at the
24 small blue bar at the top of the 2019, you'll see
25 that we actually reached -- or went over 1

1 million installed systems earlier this year, so
2 applause for California. Yay.

3 So -- but this grid can be attributed to
4 solar incentive programs, such as the California
5 Solar Initiative and the new Solar Alliance
6 partnership, as well as other financial
7 mechanisms such as net metering and the Federal
8 Investment Tax Credit.

9 So as I mentioned earlier, the Renewables
10 Portfolio Standard is a core strategy for
11 reducing greenhouse gas emissions. This chart
12 shows renewable generation procured for
13 California between 1983 and 2018 by resource
14 type. You'll see that renewable energy
15 generation alone hasn't increased substantially
16 over the past ten years. And it's solar
17 generation over the past five years that's
18 increased by nearly 490 percent.

19 So in 2018, an estimated 34 percent of
20 our electricity demand was met using renewable
21 energy, which was up two years ahead of our 33
22 percent RPS goal. So again, more applause for
23 us. Yay.

24 So now I'll talk about what we're doing
25 in the transportation space.

1 On January 10, 2018, then Governor Brown
2 issued an executive order calling for 5 million
3 zero-emission vehicles by 2030 and the
4 installation of 250,000 electric vehicle chargers
5 and 200 hydrogen refueling stations by 2025.

6 At the CPUC, they've authorized about \$1
7 billion in IOU transportation electrification
8 infrastructure spending through 2023. This will
9 fund light-duty charge ports at workplaces,
10 apartment buildings, medium- and heavy-duty
11 infrastructure programs, fast charging ports, and
12 also pilot programs designed to address
13 identified barriers to zero-emission vehicles
14 adoption.

15 They also have an additional \$800 million
16 pending their review. And that would go towards
17 additional light-duty charge ports, pilot
18 programs to install light-duty infrastructure at
19 schools, state parks and beaches, and a pilot to
20 install infrastructure at low- and moderate-
21 income residences.

22 So at the Energy Commission, we have a
23 Clean Transportation Program. And we have annual
24 investments of up to \$100 million that promote
25 accelerated development and deployment of

1 advanced transportation and fuel technologies.
2 We've provided nearly \$830 million to more than
3 600 agreements that covered a broad spectrum of
4 alternative fuels and technologies.

5 Our 2019-2020 Investment Plan Update
6 establishes funding allocations based on
7 identified needs and opportunities. And it does
8 include a near-term focus on zero-emission
9 vehicles and infrastructure.

10 At the ARB, they have the California
11 Climate Investments Program they administer
12 through their Low Carbon Transportation Program.
13 They have over \$2 billion in funds that have been
14 cumulatively allocated to that program. And over
15 80 percent of the funding has gone to
16 transportation electrification, so battery,
17 electric, fuel cell electric, and plugin hybrid
18 technologies.

19 In the research space, we have our
20 Electric Program Investment Charge, which is also
21 known as EPIC. So in 2011 the CPUC created the
22 EPIC Program to support investments in clean
23 energy technologies that benefit the electric
24 rate payers of PG&E, SCE and SDG&E. The Energy
25 Commission administers 80 percent of those funds.

1 And the three investor-owned utilities, together,
2 administer the remaining 20 percent of those
3 funds.

4 So our funding covers the following three
5 program areas, applied research and development,
6 technology demonstration deployment, and market
7 facilitation.

8 Applied research and development is for
9 investments in applied science and technology
10 that provide a public benefit but for which there
11 is no current business case for deployment of
12 private capital.

13 The technology demonstration deployment
14 projects are investments in technology
15 demonstrations at real-world scale and in real-
16 world conditions to showcase emerging innovations
17 and increase technology commercialization.

18 And then for the Market Facilitation
19 Program, those are investments in market
20 research, regulatory permitting and streamlining,
21 and workforce development activities to address
22 non-price barriers to clean technology options.

23 The focus areas that we have for our EPIC
24 Program are renewable energy, efficiency, grid-
25 scale storage, resilience and reliability,

1 climate science and adaptation, and innovation.
2 And to date, we've awarded over \$760 million for
3 431 projects.

4 So I will also mention SB 100 in my
5 presentation. So we're working very closely with
6 our sister agencies on this. SB 100 sets a
7 planning target of 100 percent renewable and
8 zero-carbon electricity resources by 2045. And
9 it also increases the 2030 RPS target from 50
10 percent to 60 percent. It requires the Energy
11 Commission, the PUC and the ARB to issue a joint
12 report to legislature by January 1st, 2021, and
13 every four years thereafter. And it must include
14 specified information relating to the
15 implementation of that policy. So I will do a
16 quick plug for an upcoming scoping workshop. We
17 have three that will be held this year for that
18 report. The first one will be Monday, September
19 30th, in Fresno. It's a wonderful drive, if
20 you'd like to leave Sacramento at 5:30 in the
21 morning with us. If not, you can attend via
22 WebEx.

23 And that was my last slide. Thank you
24 for your time. And if you have any additional
25 questions, you can contact me at le-

1 quyen.nguyen@energy.ca.gov, or you can go to our
2 website for additional information on any of the
3 topics that I briefly touched on in my
4 presentation.

5 Thank you.

6 VICE CHAIR SCOTT: Thanks. Do we have
7 any questions from the dais for Le-Quyen on this
8 topic? No? Everyone's good? All right.

9 Thank you very much, Le-Quyen.

10 We will now turn it over to --

11 oh, I don't have my agenda in front of me -- here
12 we go, to Maureen Hand.

13 Thank you, Maureen, so much for being
14 here.

15 And she's going to talk about AB 32, SB
16 32, and how we're -- our scoping plan and how
17 we're going to get there.

18 Welcome.

19 MS. HAND: Thank you. Thank you very
20 much. Good morning. Thank you for inviting me
21 to provide an overview of the state's greenhouse
22 gas emission reduction targets.

23 As you know, the California Air Resources
24 Board is responsible for monitoring and
25 regulating sources of greenhouse gases that cause

1 global warming. So today, I'm going to talk
2 about -- provide an overview of the state's
3 greenhouse gas emission targets. I'll talk about
4 some statewide trends in emissions and economic
5 indicators. I'll describe our portfolio of
6 policies that were identified in the 2017 Scoping
7 Plan that are intended to support achievement of
8 the 2030 greenhouse gas emission investment
9 target, and then some thoughts related to
10 continuing progress beyond 2030.

11 So this slide shows the impact of the key
12 statutes and executive orders that guide the
13 state's climate targets. In 2006, AB 32 set our
14 initial 2020 target to return to 1990 emission
15 levels. Then SB 32 called for a 40 percent
16 reduction in statewide greenhouse gas emissions
17 below 1990 levels by 2030. CARB's 2017 Scoping
18 Plan lays out a cost-effective and achievable
19 path to achieve for this target. The 2030 target
20 is on the path to achieving the executive order
21 goal of reducing greenhouse gas emissions 80
22 percent below 1990 levels by 2050.

23 Both last year's executive order calling
24 for carbon neutrality by 2045 and the climate
25 science presented in the IPCC Special Report on

1 1.5 Degrees Celsius requires us to find ways to
2 reduce greenhouse gas emissions from fossil
3 fuels, and they emphasize our need to focus on
4 sequestration opportunities. Carbon neutrality
5 will require reduction in greenhouse gas
6 emissions, as well as increases in carbon sinks.

7 This chart shows trend in California GDP,
8 population, and greenhouse gas emissions from
9 2000 to 2017 in terms of percent change since
10 2000.

11 So at the top in light blue in the Xs,
12 you see the GDP. And we see strong economic
13 growth interrupted by the recession around 2009.

14 In the dark blue diamonds, we see that
15 California's population, and therefore its demand
16 for services and goods, continues to grow
17 steadily each year.

18 Now despite this growth in GDP and
19 population, the statewide greenhouse gas
20 emissions, in the blue triangles, have been
21 declining since 2009.

22 And we also show greenhouse gas emissions
23 per capita in the green squares and greenhouse
24 gas emissions per GDP in the yellow circles, and
25 you see that those are also declining at a

1 steeper rate.

2 So California's suite of greenhouse gas
3 measures is working. And we are on track to meet
4 our 2020 target. These emission trends must
5 continue and accelerate to ensure our future
6 goals are also met.

7 California uses a portfolio approach to
8 address climate change, as identified in the 2017
9 Scoping Plan. This suite of policies includes
10 energy efficiency, renewable energy, renewable
11 fuels, zero- or near-zero emission vehicles,
12 cleaner freight options, an economy-wide cap and
13 trade program, and protection of our natural and
14 working lands. Money from the cap and trade
15 program is reinvested in communities to reduce
16 emissions and improve air quality. And finally,
17 we also have programs to address super
18 pollutants, such as fugitive methane from dairies
19 and landfills and refrigerant gases.

20 So this policy portfolio includes
21 incentives, prescriptive regulations, and carbon
22 pricing. A combination that the IPCC has
23 identified as necessary for rapid, cost-effective
24 economic transitions that are needed to slow
25 global warming.

1 The transportation sector represents the
2 largest sector contribution to the state's annual
3 greenhouse gas emissions. When combined with the
4 industrial sector greenhouse gas emissions
5 associated with refining fuels, the
6 transportation sector accounts for nearly half of
7 the state's annual GHG emissions. While overall
8 state greenhouse gas emissions have been
9 declining, emissions from the transportation
10 sources have been increasing since 2013, although
11 last year's increase of one percent is the lowest
12 over this period.

13 California's leadership in emissions'
14 regulations has created a hotbed of investment in
15 vehicle technologies and fuels. And we are
16 seeing signs that these investments are
17 transforming our vehicle fleet. Nearly half of
18 the zero-emission vehicles sold in the United
19 States were sold in California. And in 2017,
20 conventional internal combustion engine vehicles
21 fueled by gasoline and diesel accounted for less
22 than 90 percent of all on-road vehicles
23 registered that year.

24 In 2017, diesel sold in California was 18
25 percent biomass-based, and that's a substantial

1 increase from, essentially, zero a decade ago.

2 California has also received a flood of
3 investments in clean fuels and transportation.
4 In 2017, clean transportation was the largest
5 segment of clean technology venture capital
6 investment and California received 75 percent of
7 the total investment in the United States.

8 The California Climate Investments is a
9 statewide initiative that puts billions of cap
10 and trade dollars to work reducing greenhouse gas
11 emissions, strengthening the economy, and
12 improving public health and the environment,
13 particularly in disadvantaged and low-income
14 communities and low-income households.

15 These funds are generally directed toward
16 reducing demand for fossil energy and they work
17 in tandem with supply-focused policies. For
18 example, the Low Carbon Fuel Standard increases
19 the supply of clean fuels. The climate
20 investments help deploy vehicles that use these
21 clean fuels.

22 The low carbon transportation portion of
23 the climate investments accelerates our
24 transition to low carbon transit, freight and
25 passenger transportation modes. And the

1 incentives are targeted across the vehicle fleet,
2 including light-duty, medium-duty, and heavy-duty
3 vehicles.

4 To date, the climate investments have
5 appropriated nearly \$12 billion into individual
6 projects. And these projects support emission
7 reduction efforts across the economic sectors,
8 including investments to improve forest health
9 and resilience, incentives to replace farm
10 equipment with a cleaner model, and building
11 affordable housing near transits. Now more than
12 60 percent of the investments are benefitting
13 disadvantaged and low-income communities.

14 Our thinking about how to approach the
15 climate challenge is evolving. The concept of
16 carbon neutrality is gaining importance. The
17 concept is that to address climate change the
18 carbon dioxide and other greenhouse gas emissions
19 generated by sources, such as vehicles, power
20 plants and industrial sources, must be less than
21 or equal to the amount of carbon dioxide that is
22 stored, both in natural sinks and such as forests
23 and biomechanical sequestration.

24 The magnitude of climate change impact
25 will depend on when carbon neutrality is reached.

1 In general, limiting warming to just 1.5 degrees
2 Celsius reduces climate-related risks and
3 increases flexibility and mitigation and
4 adaptation options. The IPCC Special Report
5 released in late 2018 finds that to limit global
6 temp to 1.5 degrees Celsius, we need to both
7 reduce greenhouse gas emissions and remove carbon
8 from the atmosphere. We need to reach carbon --
9 global carbon neutrality by midcentury.

10 The report also indicates that on a
11 global scale some regions may remain net emitters
12 while other regions may be better suited to be
13 sinks.

14 In California, we have an executive order
15 that calls for carbon neutrality by 2045,
16 consistent with the IPCC Report. This executive
17 order introduces the concept of balancing carbon
18 emissions and carbon sequestration within the
19 state.

20 The framing of near-zero emissions is not
21 sufficient to meet the challenge laid out in the
22 IPCC Special Report. We need our greenhouse gas
23 emissions flux to be at zero or net negative,
24 where we remove more carbon than we emit. The
25 science is clear on where we need to be and

1 getting there will require contributions from all
2 economic sectors.

3 The path to carbon neutrality requires
4 action on both sources and sinks. Today, we
5 track statewide greenhouse gas emissions from
6 transportation, electricity, residential,
7 commercial, industrial, agricultural, and waste
8 management sectors, including high global-
9 warming-potential gases.

10 And we also track emissions and
11 sequestration in our natural and working lands.
12 Currently, these lands are a source of greenhouse
13 gas emissions, releasing more carbon than they
14 are sequestering. Some emissions from this
15 sector are part of the natural cycle and are
16 necessary for healthy systems, including
17 emissions from periodic fires. Today, California
18 emits more -- emits greenhouse gases from fossil
19 energy and industrial sectors, as well as from
20 our natural and working lands.

21 To achieve carbon neutrality by
22 midcentury we must minimize emissions from our
23 fossil energy and industrial sources to at least
24 80 percent below 1990 levels to achieve our 2050
25 goal and transition our natural and working land

1 from a source to a sink such that we achieve net-
2 negative greenhouse gas emissions.

3 As we start to consider the concept of
4 carbon neutrality our starting point is CARB's
5 existing accounting framework which includes all
6 major greenhouse gases, major greenhouse gas
7 emissions, and not just carbon dioxide.

8 CARB's 2017 Scoping Plan established a
9 strategy to achieve the state's greenhouse gas
10 emission targets. The programs implemented to
11 date put us on track towards the 2030 target.
12 But we must diligently monitor and adjust Scoping
13 Plan measures to ensure we achieve the 2030
14 target and plan for continuing greenhouse gas
15 emissions beyond 2030 -- or emission reductions
16 beyond 2030.

17 In 2019, CARB staff is initiating
18 dialogue and gathering information to assess
19 potential actions identified in the scoping plan,
20 as well as additional opportunities to help
21 achieve carbon neutrality. We're holding a
22 series of workshops to provide a forum to explore
23 several topics. We have explored the role of the
24 industrial sector. We've explored scenarios for
25 deep decarbonization, and the social cost of

1 carbon, and affordability.

2 In addition, we continue to work with
3 other agencies, academic and international
4 partners. Each of these bring expertise and
5 authority and a diverse set of experiences that
6 serve as assets as we advance the topic of carbon
7 neutrality.

8 Scoping Plan updates are scheduled every
9 five years. And we anticipate the next update
10 will be completed in 2022. Efforts directed
11 towards the Scoping Plan update will begin mid-
12 2021 and they'll be informed by several
13 interagency projects that will conclude before
14 the Scoping Plan update beings.

15 California's Energy Demand Forecasts are
16 updated annually through the IEPR process. The
17 purpose of our meeting today, the CEC, CARB and
18 PUC kicked off the process early in September, as
19 was mentioned earlier, to develop a report to the
20 legislature about the impact of achieving zero-
21 carbon electricity. And I'll just mention again,
22 as Le-Quyen did, that the first scoping meeting
23 for that is next Monday on September 30th.

24 Later today, CalEPA is seeking input on
25 the scope of two studies. One of the studies

1 will focus on vehicle emissions. The other study
2 will focus on fossil fuel demand and supply. And
3 these studies are done in the context of
4 achieving carbon neutrality by 2045.

5 The concepts that result from this body
6 of work, as well as our carbon neutrality
7 workshop series, will be assembled into a
8 technically-feasible, cost-effective pathway to
9 carbon neutrality in the next Scoping Plan
10 update.

11 So here's a link to the existing 2017 Scoping
12 Plan. And we encourage you to follow the carbon
13 neutrality workshop series. You can find
14 materials for these workshops at this link, as
15 well.

16 And again, thank you for inviting me, and
17 I'm looking forward to learning from the
18 panelists today.

19 VICE CHAIR SCOTT: Great. Thank you so
20 much for being here.

21 Let me see if we have any questions for
22 the Air Resources Board on the Scoping Plan or
23 the carbon neutrality workshops?

24 Yes. Please, go ahead.

25 COMMISSIONER MONAHAN: So thank you.

1 That was really helpful. Great presentation.

2 I'm curious about the situation with
3 wildfires because the emissions are so -- I'm
4 looking at an estimate that CARB staff made this
5 year, that 45 million metric tons of carbon were
6 released last year alone.

7 Is CARB thinking about -- more about
8 entering the mitigation world on wildfires, or
9 what's your role, besides the emission
10 monitoring? And if you can't answer it, that's
11 okay. I know it's a big question.

12 MS. HAND: I'm afraid I shouldn't,
13 really.

14 COMMISSIONER MONAHAN: It's just that it
15 is such a big amount of emissions, it's daunting
16 for the state, as we are making so much progress
17 on reducing emissions through all the great work
18 of CARB, we still face this challenge with
19 wildfires. Actually, the emissions are greater
20 than the emission reductions, I think, we got
21 last year. So they are a major issue for us to
22 wrestle with that as a state, I think, as we all
23 know.

24 MS. HAND: Right. It's certainly a very
25 important topic. And there a number of agencies

1 that are working together to try to develop a
2 plan and figure out how to address that.

3 COMMISSIONER SHIROMA: Commissioner, so
4 certainly the CPUC has a major role in this arena
5 insofar as requiring wildfire mitigation plans
6 from the investor-owned utilities which they --
7 which were adopted back in May and the
8 implementation has been underway, and also
9 included the public safety power shutoffs, which
10 are in the news, in particular here in Northern
11 California which PG&E having invoked that
12 protocol because of humidity, high winds, and the
13 circumstances that could be ripe for a wildfire.

14 So these are all mitigation efforts that
15 have been put in place. And there is a cost that
16 comes along with that, of course, but towards
17 preventing wildfires for all the reasons
18 outlined, the horrific impacts, loss of property
19 and life, and the tremendous release of
20 greenhouse gas emissions that arise from
21 wildfires.

22 COMMISSIONER MCALLISTER: I guess I'm
23 wanting to know a little bit more about the
24 agricultural sinks and just wondering. Well, I
25 saw a presentation the other day from a company

1 that's based in the Midwest that seems to have
2 pretty good success increasing the organic
3 content of soils and doing so in a way that's
4 accountable and measurable and basically costing
5 them, they say, about roughly the clearing price
6 of the cap and trade, and so I thought that was
7 pretty spectacular. I'm going to hook them up
8 with ARB.

9 MS. HAND: Oh. Thank you.

10 COMMISSIONER MCALLISTER: But I'm kind of
11 wondering how much sort of meat there is on the
12 bones in the Scoping Plan discussion right now?
13 Because it looks like, as we move towards
14 identifying promising sinks, that's a
15 conversation that really has to be successful in
16 order for us to reach our goal.

17 MS. HAND: Right. Thank you for
18 mentioning that. And certainly, I think, folks
19 will be interested in that.

20 You know, again, we're in the phase,
21 before we get started with the next Scoping Plan,
22 of trying to gather information, hold workshops
23 and understand what many of these opportunities
24 are. So we're paying attention to a number of
25 these proceedings.

1 I think also in the climate investments
2 there are some projects working with some of the
3 other agencies in the state and, through the
4 natural and working lands organizations,
5 exploring those kinds of opportunities as well.

6 COMMISSIONER MCALLISTER: Great. Thank
7 you.

8 MS. HAND: Any other questions?

9 VICE CHAIR SCOTT: Okay. Thank you so
10 very much. We appreciate you being here.

11 We're going to take just like two minutes
12 to shift over to our next panel so they have a
13 minute to come on up to the table here. So we
14 will -- that will be planning for deep
15 decarbonization, moderated by Siva Gunda. Zach
16 Subin from E3 will join us. Melanie Kinderdine
17 is on the phone. She's be joining about 11
18 o'clock. Debbie Lew, who is a consultant to the
19 Western Interconnection Regional Advisory Body.
20 And Caitlin Murphy from our National Renewable
21 Energy Lab. So let's give them just a moment
22 here to get to the table.

23 While they're doing that, I'll mention,
24 if you are here in the audience and you'd like to
25 make a public comment, we have those blue cards.

1 They're out on the table in front. Please fill
2 one of those out, get them to our IEPR team, and
3 they'll bring them up here to me. That's how we
4 know that you'd like to make a comment at the end
5 of our workshop.

6 And I also want to welcome Ken Rider, who
7 is the Advisor to Chair Hochschild, to the dais.

8 Thanks for joining us.

9 All right. Let's give folks just a
10 second to get settled in, and then we will --
11 yeah. So just give us about 60 seconds, and then
12 we'll jump into this panel.

13 (Pause)

14 MR. GUNDA: Thank you. Good morning,
15 Commissioners and representatives from CAISO.

16 Thank you so much to the speakers for
17 being here today to help me kind of go through
18 this panel on planning for deep decarbonization.

19 So I'm Siva Gunda. I'm the Deputy
20 Director for the Energy Assessments Division of
21 the Energy Commission. And I will kind of help
22 moderate this panel.

23 So the format would be for each of the
24 panelists to go through their presentations and
25 some prepared remarks. And as the presentations

1 go, from the dais, if you have any questions,
2 clarifying questions, please feel to ask them. I
3 have some prepared questions towards the end,
4 just general questions for all the panelists, as
5 well as specific questions that may come up as we
6 go.

7 So with that, I will introduce each
8 panelist before they speak. So some of these
9 bios are much longer than mine, so I'm going to
10 take my time going through this.

11 So the first presenter will be Dr.
12 Zachary Subin from E3. So Dr. Zachary Subin
13 studies the economic feasibility options for
14 climate mitigation and policy implications of
15 large-scale change in the energy system. He's
16 skilled at building computational models and
17 communicating technical information to diverse
18 audiences. Zach is currently using E3's pathway
19 model to analyze deep decarbonization
20 trajectories for California.

21 Zach joined E3 in 2016 with over eight
22 years of previous experience in climate change
23 science and policy. Zach previously worked at
24 LVNL and Princeton University where he
25 collaborated with world-class scientists to

1 improve global climate models and a panel of
2 expertise in modeling and impacts of climate
3 change and land ecosystem.

4 Zach, it's yours.

5 MR. SUBIN: All right. So I'm going to
6 talk us through, primarily, our work for the CEC
7 that we published in 2018 and, in that terms,
8 some other recent studies with the focus on the
9 role of electricity in decarbonizing the entire
10 energy system.

11 So first, kind of the big-picture view of
12 economy-wide decarbonization in pathways.

13 So our 2018 study examined ten different
14 scenarios to reach, at that point, the, you know,
15 kind of policy frontier of 80 percent emission
16 reductions by 2050. And that passes through the
17 intermediate goal of a 40 percent emission
18 reduction below 1990 levels by 2030. And you can
19 see, we analyzed three different categories of
20 scenarios.

21 So the reference scenario was sort of a
22 business as usual pre-2016 policy. And then we
23 have an SB 350 scenario which is sort of explicit
24 known policy commitments. And then that's
25 contrasted with the mitigation scenarios in

1 yellow which show much deeper emission
2 reductions. And of the ten scenarios that we
3 evaluated, the high electrification scenario was
4 found to be relatively low cost and low risk.

5 So we've identified four pillars of
6 decarbonizing the energy system. There's a
7 slightly different version of the pillars than
8 you might have seen but focusing on the energy
9 system as a whole. So the left two pillars have
10 to do with energy demand. Energy efficiency and
11 conservation in the broadest sense includes
12 things like light bulbs, all the way to building
13 apartment buildings near transit.
14 Electrification, you know, the big ones there are
15 heat pumps in buildings and zero-emission
16 vehicles. And then on the energy supply side, we
17 have low carbon electricity and then other low
18 carbon substitute liquid and gaseous fuels, which
19 could be biofuels, or they could be derived from
20 electricity to make hydrogen or synthetic
21 hydrocarbons.

22 So one of the big features of the 2018
23 study is that we excluded purpose-grown crops and
24 forests, which we determined to be an
25 environmental and technologically risky strategy.

1 And because we did that, that kind of leads to
2 more heavy reliance on renewables and
3 electrification to make up the difference as
4 compared with some of the previous studies, you
5 know, five or ten years ago, reading the deep
6 decarbonization literature.

7 We still do use California's population
8 weighted share of residue biomass. And that
9 allows us to minimize the use of more expensive
10 substitute fuels, like the electrolytic fuels.

11 The high electrification of vehicles and
12 buildings leads the way for even more challenging
13 sectors. So you can see that buildings and light-
14 duty vehicles are the largest sources of
15 emissions in 2015. However, in the high
16 electrification scenario by 2050, we've
17 eliminated nearly all of the emissions from those
18 sectors. And that leaves room for some remaining
19 emissions in more challenging sectors, like
20 industry, both combustion and non-combustion,
21 off-road transportation, and then non-combustion
22 emissions from waste and agriculture.

23 So if we look at that on a timeline
24 perspective, you can see that there's really a
25 rapid acceleration of action that we need to meet

1 the 80 by '50 target. So I've highlighted on all
2 of the measures the ones relating to
3 electrification and you can see that, you know,
4 our emissions are now just coming to the 1990
5 levels. And so as we exceed historical progress
6 in emissions reductions, the last two in this
7 scenario reach something like 50 percent of more
8 of sales of light-duty vehicles and building
9 appliances to be electric by 2030 and reaching
10 100 percent of sales by about 2035 to 2040. So
11 as I mentioned, that's a, you know,
12 significantly, you know, faster rate of progress
13 than historical.

14 And it's important to emphasize that
15 that's to reach the 80 by '50 scenario. And
16 carbon neutrality in 2045 would require either
17 accelerating those measures further or
18 identifying additional measures.

19 So now I want to pivot to the role of
20 electricity in that timeline in achieving all
21 those emission reductions.

22 So we isolated the emission reductions
23 from electricity in 2050 in the high
24 electrification scenario. And you can -- you
25 start on the left with the blue bar being the SB

1 350 scenario, which is approximately kind of
2 extrapolating current known policy commitments.
3 And then further emission reductions in
4 electricity are actually smaller than the
5 additional emission reductions we expect to get
6 from electrification. So electricity is doing
7 even more work by decarbonizing other sectors
8 than further electricity decarbonization with the
9 existing loads. That's associated with a rapid
10 growth in electric loads and generation post-
11 2030. So through 2030, efficiency and
12 electrification roughly balance. And then post-
13 2030, we see large growth, especially in
14 transportation, which is the largest source of
15 electrification loads.

16 And the existing strategies that we're
17 using to decarbonize electricity of wind and
18 solar, flexible loads, and starting to see more
19 batteries, these provide low-cost GHG reduction,
20 and that's why we rely heavily on them in these
21 scenarios. But simply scaling up these
22 strategies don't get us all the way to zero
23 emissions in electricity. And you can see this
24 marginal abatement curve in electricity we put
25 together in 2018. The sort of sweet spot in the

1 high electrification scenario was reaching about
2 95 percent decarbonized electricity. And, you
3 know, as wind and -- or as solar and batteries
4 continue to get cheaper, that line will get
5 pushed to the right a little bit, you know, as
6 we've seen in the last year or two. But without
7 a new firm zero-carbon resource, we don't expect,
8 you know, to be able to get all the way to zero.

9 So in conclusion, efficiency and
10 electrification are identified as low-cost and
11 low-risk pillars of energy decarbonization. They
12 can be done with existing technology in buildings
13 and vehicles and at, you know, a very high level
14 of efficiency. And the limited sustainable
15 biofuels that have should be targeted towards
16 high-value uses that are difficult to electrify
17 or otherwise substitute, supplemented by electric
18 fuel -- electrolytic fuels and CCS, so we're
19 talking off-road transportation, industry heating
20 and, potentially, backup electricity generation.

21 Electricity serves as the lynchpin for
22 decarbonizing the rest of the energy system. And
23 we can get to 90 to 95 percent, maybe even a
24 little bit higher, decarbonized electricity by
25 scaling up current approaches but we need an

1 additional option if we were to get to 100
2 percent decarbonized electricity generation.
3 That could be one of any number of options,
4 including using biomethane or hydrogen in gas
5 turbines, it could be nuclear CCS, or it could be
6 advanced long-duration, you know, multi-day
7 storage. And until that option becomes available
8 it's critical to maintain sufficient firm
9 capacity which likely means, you know, keeping
10 much of the existing gas generation fleet around
11 in California.

12 Because electrification is consumer
13 facing, in summary, California, really, in order
14 to make sure we get that electrification, has to
15 prioritize affordable and reliable electricity.

16 Thanks.

17 VICE CHAIR SCOTT: Thanks. Let me see if
18 we have some -- any clarifying questions or
19 questions for Zach from the dais?

20 And, actually, I have one back on slide
21 11 for you where you mentioned that until the
22 additional options are available, we need to
23 maintain the sufficient firm capacity. Can you
24 unpack that just a little bit more for us?

25 MR. SUBIN: Sure. So that's, yeah,

1 that's the subject of ongoing work. E3 has
2 published a number of studies on that, you know,
3 including a study on kind of long term, you know,
4 resource adequacy in California earlier this
5 year, and is now working with the CPUC to look at
6 this question in the context of their IRP. And,
7 you know, really it has to do with these sort of
8 occasional multi-day events where you have low
9 levels of wind and solar.

10 And you may, you know, even if you have
11 some, you know, eight-hour storage, you don't
12 have enough energy to keep charging the storage
13 to get you through that event, so you need some
14 sort of additional energy supply that you can
15 call on, and right now that looks like gas
16 turbines. You know, it wouldn't necessarily have
17 to be natural gas, but some sort of chemical
18 that, you know, that has those properties, or you
19 can imagine other technologies that would fill
20 that role.

21 COMMISSIONER MCALLISTER: So right at the
22 end you mentioned sufficient affordable
23 electricity. What about a sufficient affordable
24 electrification? You know, I mean, that's a big
25 investment. And where it's relatively easy in

1 our new buildings, but our existing buildings
2 are -- you know, I think we all accept that's a
3 challenge, right, to get into those buildings.
4 And not just electrification, per se, but
5 flexible, you know, demand.

6 And so I guess what are your thoughts
7 about how that fits in, how critical that piece
8 is, you know, sort of, you know, maybe
9 prioritize, you know? How much policy effort
10 should go into that versus the supply as you've
11 described it?

12 MR. SUBIN: Um-hmm. Yeah. A couple
13 points.

14 First, I would say that, you know, it
15 should really be thought of as a transition. So
16 there are capital costs associated with the
17 transition. But once you electrify, that affords
18 you lower fuel costs than we would expect with
19 substitute liquid and gaseous fuels used over the
20 long term in buildings.

21 We do think that we need to retrofit a
22 lot of the existing buildings to meet the 2050
23 targets. And there could be different ways of
24 approaching that. Some of our other work this
25 year showed that if you electrify space heaters

1 in existing buildings that have air conditioning,
2 that there's little or no incremental costs
3 associated with that relative to buying an air
4 conditioner plus a gas furnace.

5 But, yeah, I think there's a lot of
6 attention that's going to be -- you know, the
7 policy is going to need to bring to bear to that
8 question.

9 MR. ROTHLEDER: Kind of related to the
10 earlier question, and that is if -- I guess kind
11 of the expectation is that the gas resources are
12 kind of a bridge type of fuel resource. But
13 you're kind of painting the picture that even out
14 to 2050, you're -- it may be necessary and it may
15 be economic to maintain the gas fleet to maintain
16 reliability and affordability.

17 So I guess it may, I guess, highlight
18 additionally what those gas resources will be
19 using as fuel at that point in 2050, and then
20 what is their capacity factors? Is it a
21 different kind of set of circumstances than what
22 we see today, especially in light of those
23 increasing loads that will start out in about
24 2030?

25 MR. SUBIN: Yeah. We do see, you know, a

1 really different story in, you know, the gas
2 infrastructure and the distribution system and,
3 you know, serving buildings versus the
4 transmission system that's serving electricity in
5 industry. So we do see the potential need for,
6 you know, the large pipes to stay around.

7 In our scenarios we see that the gas
8 turbines would stay around with a pretty low
9 capacity factor, you know, in the single digits.
10 So, you know, that still could be viable. You
11 know, if there's some sort of, you know, capacity
12 payments to them, it still could save a lot of
13 money compared to other options.

14 VICE CHAIR SCOTT: I have -- okay. I
15 have another question for you as well.

16 So on the reliability component, if
17 everything is electrified, as you have rightly
18 noted, that is going to be a huge component of
19 it, in addition to the affordability. Do you
20 have a sense of what types of things we need to
21 be looking at or thinking about to ensure that
22 reliability is built in as we're going that
23 direction? That might be a little bit outside of
24 your study. If it is, that's okay.

25 MR. SUBIN: Yeah. Do you have a more,

1 kind of a more specific --

2 VICE CHAIR SCOTT: Well, you know, I'm
3 just wondering for -- and I'm not really a
4 reliability coordinator. Maybe this is a better
5 question for Debbie or Caitlin. But I know that
6 there's a lot of things that go into -- and
7 maybe -- or maybe for ISO -- into reliability in
8 ensuring everything's balanced and power is where
9 it needs to be when it needs to be there, and all
10 of those things. And I just wonder, as we shift
11 over, are the considerations that we're using
12 today, as we shift to having more things
13 electrified, are the considerations that we use
14 today adequate enough to kind of cover having
15 more and more and more things become electrified?
16 I'm not sure if I'm articulating that very well
17 but --

18 MR. ROTHLEDER: No. I think you are.
19 And if I could just try to highlight that those
20 new loads, to the extent they become resources or
21 opportunities for helping balance the system, I
22 think that's how you help navigate it.

23 And I think that's kind of the question
24 is are those new loads and how do you maintain
25 reliability, that balance, in light of the new

1 capabilities of the resources and demands that
2 will exist at that point?

3 MR. SUBIN: Yeah. And I'll just kind of
4 say, there's different conceptions of
5 reliability, perhaps, on the bulk system scale
6 and the distribution scale. So, you know,
7 certainly we're seeking, you know, this week, you
8 know, continued focus on the local scale. You
9 know, and pathway is -- we're kind of looking at
10 the bulk system scale. So, you know, you have
11 enough storage in these scenarios to provide your
12 kind of hourly balancing. And then, you know, we
13 assume you have enough, you know, firm capacity
14 you can call upon for your longer-term energy
15 needs.

16 COMMISSIONER MONAHAN: Zach, as you note,
17 your analysis didn't assume any new zero-carbon
18 resources. Have you started to explore, I'm
19 particularly interested in hydrogen and fuel
20 cells? And there is some new analysis that
21 indicates it's possible in the next 10 to 20
22 years, fuel cells will become economically
23 viable, and so will hydrogen and using our excess
24 renewables to generate hydrogen as theoretical
25 value.

1 Have you -- has E3 started to do any
2 analysis around that?

3 MR. SUBIN: We're starting to. You know,
4 we've started to look at that in some other
5 jurisdictions. And, you know, really, if you're
6 using, you know, biomethane or hydrogen in CTs
7 (phonetic) to serve as that reliability resource,
8 the scenario really doesn't look that different
9 than if you're using natural gas. It's really a
10 small amount of energy that's, you know, very
11 high value in certain hours.

12 And, yeah, I had another point, but I'll
13 come back to that if I remember.

14 COMMISSIONER MONAHAN: Well, and I guess
15 similarly, I know you've done some analysis
16 around V2G. That could be another zero-carbon
17 resource that is available.

18 MR. SUBIN: Yes, although I'm not sure
19 if -- you know, I think we're starting to look
20 into that. I'm not sure if you'd want to rely on
21 that for one of the multi-day energy
22 insufficiency events.

23 The other thing I'll mention about
24 hydrogen is, you know, if you're really talking
25 about using this resource, you know, one week a

1 year, one week every few years, it may make sense
2 to have a cheap capacity resource, like a
3 combustion turbine, rather than a fuel cell which
4 is much higher efficiency but much higher capital
5 cost.

6 VICE CHAIR SCOTT: Okay. I know we are
7 working to get our next speaker onto the WebEx.

8 Oh, please, go ahead, Ken.

9 MR. RIDER: Oh.

10 VICE CHAIR SCOTT: And then we might,
11 after that, we might just jump so that we can
12 kind of keep on time, but please go ahead.

13 MR. RIDER: Yes. So just to qualify what
14 I heard you say about the economics of keeping
15 around gas pipes and gas turbines, is that
16 relative to the, you know, the 80 percent target?
17 Because, obviously, you know, SB 45 -- or SB 100
18 is putting new limitations on what we have access
19 to; right? So if you have 20 percent capacity to
20 use carbon emissions, it's different if you now
21 suddenly have to sequester or do something more
22 if you do burn that gas.

23 So is that answer qualified around the
24 kind of zero-carbon world or is more just the, I
25 guess, SB 32 kind of constraint answer?

1 MR. SUBIN: I mean, I would say it's not
2 going to change that much in the zero-carbon
3 world because you're talking about, really, the
4 last few percent of generation, you know, that
5 you would have to either offset or use as zero-
6 carbon fuel. And you know, we don't really see,
7 you know, if you just use, you know, solar and
8 battery, it's pretty outrageously expensive
9 because of the, you know, very large amount of
10 overbuild that you'd have to incorporate so that
11 it doesn't seem like that's going to be more cost
12 effective. But maybe, you know, some other
13 option, you know, some sort of advanced type of
14 battery, you know, could play that role.

15 VICE CHAIR SCOTT: So with your
16 indulgence, we'll go just a little bit out of
17 order, and we will hear, Debbie, if you're ready
18 to go next, we'll hear from you next? And then
19 when you're done presenting, hopefully we'll have
20 Melanie on the line and go back to scenarios.

21 MR. GUNDA: Yeah. Ma'am, before Debbie
22 jumps in, I'll just take the opportunity to
23 introduce Debbie.

24 So the way we tried to structure this
25 panel was for Zach and Melanie to provide some

1 scenarios on how to get to the zero -- net near-
2 zero carbon electricity pathways, and for Debbie
3 and Caitlin to kind of talk about, a little bit,
4 on the solutions' side and the impacts and what
5 to think about in that situation.

6 So with that, before Debbie starts,
7 Debbie is an independent consultant working on
8 utility integration of wind, solar and
9 distributed energy resources. She has 28 years
10 of experience in renewable energy and recently
11 left GE Energy Consulting to focus on challenges
12 and solutions to 100 percent clean energy.

13 Prior to GE, she spent 16 years at the
14 National Renewable Energy Laboratory, during
15 which time she was sent to the Hawaii Electric
16 Company to work on wind and solar integration.
17 She's the immediate past Chair of IEEE PEs Wind
18 and Solar Power Coordinating Committee, and a
19 member of SCC 21 which oversees the IEEE 1547
20 standard. She has a BS in Electrical Engineering
21 and Physics from MIT and a PhD from Stanford in
22 Applied Physics.

23 With that, Debbie, it's yours.

24 MS. LEW: Thanks so much, Siva. And
25 thank you very much for inviting me to be here.

1 I'm very honored to be able to talk with you.
2 And I'd also like to thank WIRA for supporting my
3 presence here today.

4 So I'm going to talk here today about
5 reliability and maintaining reliability in a low
6 carbon grid. So I'm going to be talking about a
7 lot of the stuff that Mark Rothleder -- what
8 keeps Mark up at night.

9 I break reliability into different
10 timeframes. And so what's shown here is sort of
11 from the very short seconds timeframe out to the
12 long-term years' timeframe. And in the very
13 short seconds timeframe the things that we worry
14 about here are very high penetration levels of
15 inverter based resources because PV, batteries,
16 fuel cells, these are all inverter-based
17 resources, and they all act differently on the
18 grid than conventional synchronous machines do.
19 And so that has its own challenges and
20 opportunities.

21 In the medium term, I guess you can't
22 really see this, it doesn't matter, we're
23 concerned with the whole system balancing issues,
24 the diurnal mismatch of supply and demand,
25 curtailment, things like that.

1 And in the long term, resource adequacy
2 and the seasonal mismatch of the supply and
3 demand, and those periods, those multiple-day
4 periods, that have already been mentioned of low
5 wind, solar, hydro, and the need to still try to
6 meet our loss of load expectation metrics is the
7 big challenge.

8 And I think most people in the industry
9 would agree that 100 percent clean energy is
10 possible with today's technology and what we know
11 today but it might be every expensive.

12 So the question is: Can we do this
13 smarter and cheaper and in the next 25 years?

14 Now I'm not going to talk so much about
15 the system balancing medium-term piece because I
16 think we have a handle on what to do there. Even
17 though it is challenging, we know solutions;
18 California is undertaking those actions.

19 The system stability piece, I'd like to
20 talk about because I feel like we do not
21 understand these questions very well. And the
22 resource adequacy piece, I'd like to discuss
23 because these are big challenges, as was just
24 discussed, in terms of finding commercial cost
25 effective solutions.

1 So resource adequacy. We all know
2 electrification is essential but we need control,
3 or price signals, or you can make your problem
4 much worse. You saw how much electric growth is
5 going to be growing. I know when we got our
6 electric vehicle, our electricity usage doubled.
7 We need to have some really good signals or
8 controller you can have issues with in terms of
9 trying to balance the system.

10 Optimizing and coupling across energy
11 sectors is going to be a big challenge for all of
12 us. You know, just think about the difficulties
13 we have in integrating across the gas and
14 electric sector. And then think about expanding
15 it to the transportation and heating and other
16 sectors.

17 Obviously, we need to control both sides
18 of the supply and demand balance. So we're used
19 to, today, thinking of demand as something fixed.
20 And we control a bunch of generators to meet
21 that. We're going to need to control both sides
22 of that balance in the future. And then the
23 seasonal mismatch and the multiple days in a row
24 that can crop up, there's certainly potential
25 solutions, as was just discussed with biogas,

1 with hydrogen. And there are ways that could
2 possibly address these solutions and we need to,
3 again, make them cost effective.

4 So I'd like to talk about what I think --
5 these are some of my out-of-the-box musings on a
6 potential future.

7 So, you know, obviously, these are really
8 difficult problems. I think it requires some
9 really out-of-the-box thinking to try to address
10 that.

11 To me, the big lever, the big low-hanging
12 fruit, is controllable or price-sensitive demand.
13 And I think we're going to need to start moving
14 towards dispatching demand.

15 So we all know prices are a really
16 powerful signal; right? If you wanted a four-
17 hour battery, maybe you should think about
18 time-of-use rates. If you wanted more peakers,
19 maybe you should think about coincident peak
20 demand charges. We can do a lot with pricing,
21 but prices alone are not enough information;
22 right?

23 So right now, California is doing time-
24 of-use rates for all customers and that's
25 awesome. And people are thinking about moving to

1 day-ahead pricing, and then maybe even getting
2 more load exposed to real-time prices. But as
3 you think through that, you know, you have a
4 whole lot of load chasing real-time prices, you
5 could actually make some of your balancing
6 problems worse. The prices alone are not enough
7 information. You need to know quantity as well.

8 Even chasing time-of-use rates might
9 cause large step changes in terms of when those
10 peak times start and when they stop. So dispatch
11 and the extent to which we can dispatch demand
12 can help smooth that.

13 And I'd like to suggest, the way that the
14 industry has moved from the idea of must take
15 wind and PV, you know, whenever wind and PV shows
16 up we just take it, to dispatching wind and PV,
17 we may want to think about dispatching more of
18 our demand instead of demand today, which is
19 really must give. You know, whatever shows up is
20 whatever we serve.

21 And along those lines, I'd like to bring
22 up the whole metric that we use. So our loss of
23 load expectation on the bulk power reliability
24 system today is one day in ten years. And is
25 that -- is that needed? And I think these are

1 some provocative questions but I think it's worth
2 thinking about these things as we move to these
3 challenging futures.

4 You know, the distribution system is
5 responsible for much more of our outages than the
6 bulk power system. So could we do with less loss
7 of load expectation on the bulk power system?

8 And then is it necessary for all
9 customers? Maybe some of us would be willing to
10 pay less to have a two-day-in-ten-year loss in
11 load expectation service, just like we have fast
12 and slow internet today.

13 And then today, when we do our planning,
14 we treat demand response as a generator. And in
15 the future, we're going to have all these
16 electrified loads, as Zach was mentioning, that
17 are controllable. So what if we start thinking
18 about that kind of demand response, not as a
19 generator anymore but more as demand that's price
20 elastic? And so the question during the peak
21 periods or the risky periods becomes how much do
22 I want to pay for some number of megawatt hours
23 during this particular time? This could
24 potentially eliminate a lot of the issues around
25 demand response, like what's your baseline and is

1 the demand response there when I need it, and
2 things like that?

3 I would, you know, extend this to think
4 about a future where maybe at your system peak
5 your generation is fixed. You've only got so
6 much wind, so much solar, so much hydro, and
7 however you positioned your storage at that time.
8 And so what determines demand that gets served is
9 how much folks are willing to pay at that moment
10 in time. And if you have a significant amount of
11 price-elastic demand, and we will have more and
12 more price-elastic demand as we electrify more
13 and more of these sectors because transportation,
14 heating, they sort of have inherent flexibility
15 in them, if we do this, the loss of load
16 expectation concept sort of starts to go away,
17 and maybe it doesn't really hold anymore. So
18 these are just some thoughts.

19 I think I'm running out of time. I was
20 going to talk about some lessons learned
21 worldwide. But, basically, there's a lot of
22 really cool best practices out there that people
23 are doing. People can read this at their
24 leisure.

25 I next want to talk really quickly about

1 system stability. This was the other piece of
2 the challenge that I think we don't have answers
3 to.

4 So this is not a smart inverter issue,
5 not a Rule 21 issue at all. The issue here is
6 that, you know, basically, all the invertors that
7 you know about on the grid today are grid-
8 following invertors. They require system
9 strength to operate stably. So what they do is
10 they read the system voltage and frequency and
11 they spit out current that matches that.

12 So you can think about, you know, if all
13 the electricity in the Western Interconnection
14 came from invertors it wouldn't work with these
15 invertors because there's no voltage reference
16 signal for them to read. But it turns out you
17 start running into problems where before you get
18 to 100 percent. And this is why Ireland caps
19 their invertors on their system, the penetration
20 level, it's a different metric but they cap it at
21 65 percent.

22 And this -- you can run into problems
23 before you get into -- you can run into problems
24 when you have high inverter penetration just in a
25 pocket of your system. And this graphic is

1 showing ERCOT, a wind plant, going unstable
2 because of this type of issue.

3 And I'll even add that when you have even
4 moderate annual average penetration levels of
5 invertors on your system, that can translate to
6 very high instantaneous penetration levels.

7 So, you know, stability, when we talk
8 about system stability, there's a bunch of
9 different facets to it. I'm not talking about
10 frequency here because I don't think we're going
11 to have frequency issues in WECC for -- I mean,
12 that will take a while before we have frequency
13 issues in such a big interconnection.

14 But these small signal stability issues
15 and these transient stability issues, these are
16 more localized. And these are things that we
17 don't understand very well.

18 So what options can help? What are
19 people doing around the world to try and deal
20 with this?

21 So in South Australia what they're doing
22 is they're just running some out-of-merit thermal
23 synchronous generators as reliability must-run
24 to maintain grid strength. Obviously, that's not
25 economic for, you know, trying to decarbonize.

1 Fine turning controller settings is
2 something that, you know, all of the inverter
3 manufacturers are improving their invertors.
4 When there are difficult situations, people go
5 out and they try to fine tune settings to make
6 them work. Also building more transmission
7 infrastructure can help alleviate these kinds of
8 problems.

9 Now these three things, they don't get
10 you to 100 percent and they don't get you to
11 really high levels of invertors but they can help
12 you along the way.

13 So the two competing philosophies right
14 now as to what's going to help us with really
15 high levels of inverter-based resources are the
16 synchronous condenser option, maybe we can
17 synchronous condenser our way of this. That's a
18 machine that provides that grid strength, the
19 synchronous machine, but it doesn't provide power
20 and it doesn't burn fossil fuel.

21 Or there's a technology that is out there
22 called grid forming inverter technologies. And
23 the research community is studying now sort of
24 what different types of technologies there are.
25 You know, we need to determine how this is going

1 to interact with the grid, how we would
2 interoperate them, what kind of performance we
3 would want with them. We would then need to
4 commercialize this technology.

5 I will also add that these things all
6 interact, as I mentioned before. And this little
7 graphic on the right is from Texas. So Texas,
8 they put in -- ERCOT put in two synchronous
9 condensers in the Panhandle to try and alleviate
10 this problem. It could lead to some other
11 problems, as shown here. So there's a lot of
12 interactions that have to be considered and
13 studies in this.

14 And with that, I'll end my remarks.
15 Thanks.

16 VICE CHAIR SCOTT: Thank you so much,
17 Debbie, for being here. You always provide such
18 excellent food for thought and really complex
19 topics, but in a clear and understandable way.
20 So I'm delighted to have you as part of the
21 dialogue.

22 I think what I've heard is let's finish
23 the press and then we'll jump in with a whole
24 bunch of questions. And there's a list of
25 questions up here for you.

1 But let's shift to Melanie, who I believe
2 is on the phone now.

3 MS. KENDERDINE: Hi.

4 VICE CHAIR SCOTT: So I'll let --

5 MS. KENDERDINE: I am on the phone.

6 COMMISSIONER SCOTT: Welcome. We're so
7 glad to have you. Let me let Siva introduce you
8 and then, we will do your slides for you from
9 here.

10 MR. GUNDA: Thanks, Melanie, for joining
11 the call. So, Melanie Kenderdine is a principal
12 of Energy Futures Initiative, EFI, and a
13 nonresident Senior Fellow at the Atlantic
14 Council. She is also currently a visiting Fellow
15 at the Energy Policy Institute at the University
16 of Chicago.

17 Ms. Kenderdine served at the Department
18 of Energy from May 2013 to January 2017 as the
19 Energy Counselor to the Secretary concurrently as
20 the Director of DOE's Office of Energy Policy and
21 Systems Analysis. She was responsible for the
22 analysis and policy development in DOE's annual
23 review of Renewable Fuel Standard Program
24 requirements, energy innovation and climate
25 change. She produced two installments of the

1 quadrennial energy review and helped conceive of
2 and develop the energy security principles
3 adopted by G-7 leaders in 2014.

4 As energy counsel to the Secretary,
5 Kenderdine provided key strategic advice on a
6 range of issues, including mission innovation, a
7 22-country plus EU initiative that supports
8 transmission of clean energy RD&D, North American
9 grid integration and security, and modernization
10 of the strategic petroleum reserve.

11 Prior to her service at DOE, Kenderdine
12 helped to establish the MIT Energy Initiative and
13 served as its Executive Director for six years.
14 Kenderdine also started the C3E Symposium series,
15 a joint MIT/DOE program to support the careers of
16 women in clean energy with cash prizes. She
17 still serves as DOE C3 ambassador.

18 Before joining MIT Energy Institute,
19 Kenderdine served as the Vice President of
20 Washington Operations for Gas Technology
21 Institute from 2001 to 2007.

22 From 1993 to 2001, Kenderdine was a
23 political appointee in President Bill Clinton's
24 administration, where she served in several key
25 posts at DOE, including Senior Policy Advisor to

1 the Secretary Director of the Office of Policy
2 and Deputy Assistant Secretary for Congressional
3 and Intergovernmental Affairs.

4 I hope I did that right. So, thank you.

5 MS. KENDERDINE: You did. You did good,
6 although I need to edit my bio.

7 So, anyway, thank you. So, should I
8 begin?

9 MR. GUNDA: Yeah, please go ahead.

10 MS. KENDERDINE: Okay, I'm sorry. And my
11 apologies, we are at a UN Climate Week in New
12 York City and it is absolutely crazy here.

13 And so, we did a study of deep
14 decarbonization in the State of California. It
15 was -- if you go to slide two, it's called
16 Optionality, Flexibility and Innovation, Pathways
17 for Deep Decarbonization.

18 If you go to slide two, okay. And we
19 are, EFI is a not-for-profit corporation. We
20 pride ourselves on, as we did at MIT, quite
21 frankly, you give us -- we get funded to do
22 analyses and projects, but nobody tells us what
23 to say or do. And we pride ourselves on our
24 independence and objectivity. And that's on the
25 slide two.

1 And you can see we did have an advisory
2 group for this study. And you can see the list
3 of names there. We did focus on people in
4 California as much as we could. And so, that's
5 just kind of the set up for this.

6 We did roll the study out, if you go to
7 slide three, and here people are going to find
8 out how I animate slides. Our study approach was
9 to look at 2030 and 2050 targets. We selected a
10 2016 baseline. California uses a 1990 baseline.
11 But let me give you an example. When we go
12 through this, I'll give you an example of why
13 that was bothersome to us, just because so much
14 has changed in the technology space since 1990.

15 So, we used a 2016 baseline. And if you
16 hit the cursor, you see industry coming up there.
17 And the gray is actual emissions in 2016. One
18 thing else -- one other thing I'd say about 1990
19 versus 2016, total emissions are almost exactly
20 the same. Within the sectors, the emissions are
21 different. Okay, so, that's why we were
22 comfortable on total emissions. The sectoral
23 emissions are very different.

24 There you see industry, okay, and you've
25 got a 40-percent reduction from 2016. That's the

1 blue bar. And you've got an 80-percent reduction
2 is the green bar.
3 So, an industry total, if you -- it's 50/50 here.
4 Those are the emission reductions you need from
5 industry.

6 If you click again, those are your
7 residential buildings and your commercial
8 buildings. So, you need 31.4 million metric tons
9 reduction from buildings in total. We did divide
10 it between residential and commercial.

11 The transportation, you need 135 million
12 metric tons between now and 2050. Electricity,
13 you need almost 55 metric tons, agriculture at
14 27. And nonindustrial high GWP, which we ended
15 up not looking at, high industrial, nonindustrial
16 high GWP wasn't even a category in 1990. That's
17 why I said, okay, so that's why we elected to go
18 with 2016.

19 And, but here, if you click, to meet the
20 80-percent target, you need 243 million metric
21 tons of reductions. 71 percent of your total
22 emissions in 2016 are needed from the most
23 difficult to decarbonize sectors. And I'll say a
24 little bit about that in a minute.

25 Okay, click to the next slide. These are

1 -- this is not a policy study. We did not make
2 recommendations. We assumed California's
3 policies. While we were in the middle of this
4 study, SB 100 passed, so that's 60 percent
5 renewables. If you click 60 percent renewables
6 for electricity by 2030, click to SB 100 -- or,
7 SB 32, sorry, 40 percent below 1990 levels.
8 These are the policies that guided us. The
9 Executive Order: economy-wide emissions
10 reductions 80 percent by 2050.

11 If you click again, SB 100, a hundred
12 percent zero carbon electricity.

13 Okay, click again. We looked at SB 1275,
14 one million zero-emission vehicles by 2023 and 5
15 million zero -- click again, 5 million ZEVs by
16 2030.

17 Okay, so those were the policies that
18 guided our analysis. And what we asked, based on
19 a 2016 baseline of emissions by sector: Can
20 California meet these goals? And what
21 technologies does California need to meet these
22 goals?

23 Okay, so, click to the next slide,
24 please. These are sectoral emissions in
25 California, in 2016. Industry is 23 percent.

1 Transportation is 39 percent. That is unusual.
2 The rest of the country, transportation is about
3 28 percent of the emissions. Where California is
4 better is in electricity was at 16 percent of the
5 emissions.

6 I have now gone ahead of myself. Hold on
7 one second, let me get back to that. Buildings
8 is 9 percent of the emissions in California. And
9 agriculture is 8 percent of emissions in
10 California.

11 What you see and what we found in
12 California is that some analyses that we saw
13 embedded electricity into buildings. Okay, but
14 we have separated them out based on California
15 numbers. And this is how the emissions break out
16 by sector.

17 So, these were our targets. Can you meet
18 these sectoral targets? And we did an analysis
19 that assumed a proportionate reduction in
20 emissions. Okay, if you've got to meet an
21 overall target, okay, net zero or 80 percent
22 emissions reductions by 2050, we allocated those
23 emissions reductions to each sector based on the
24 percentage that they contributed in terms of
25 emissions.

1 So, click to the next slide. Okay, and
2 this is what -- the heading on this is wrong.
3 This is -- the heading should be -- this is
4 Greenhouse Gas Emissions Reductions Potential.
5 And it's in million metric tons CO2 equivalent.
6 And we looked at these by sector. Did,
7 basically, mini models for each of these based on
8 a range of factors. Cost, penetration, et
9 cetera, et cetera, and turnover of stock, all of
10 those things, and looked at these by sector.

11 So, each of the bars that you're seeing
12 here are technologies and what we think that you
13 could achieve in emissions reductions with those
14 technologies by 2030.

15 Okay, is that -- is everyone -- is that
16 understood?

17 COMMISSIONER MCALLISTER: Yes.

18 MS. KENDERDINE: Okay, so what I'm going
19 to show you here, okay, so in electricity, click
20 through to the next one. Okay, electricity by
21 far the biggest reductions by 2030 was from
22 natural gas combined cycle with carbon capture
23 and sequestration. So, you get 17.7 million
24 metric tons if you capture the carbon from NGCC
25 plants. And about 50 percent of your in-state

1 power generation in California is natural gas.

2 Renewables, with up to 10 hours' storage
3 is 8 million metric tons. So, it's less than
4 half. And I don't know what 10 hours' storage
5 is, quite frankly. I'll say a little bit more
6 about that in a minute.

7 The -- you go click the next to
8 transportation. And this is by far, and I think
9 it's very relevant to what's going on in
10 California right now, and the Trump
11 Administration all wanting to take away
12 California's authorities to set mileage
13 standards.

14 What we saw in our analysis, by far the
15 biggest emissions reductions you get by 2030
16 would be from efficiency, CAP A standards. And
17 that's the biggest of any technologies and at 22
18 million metric tons. We have electrification of
19 vehicles in here and that is 9.1 million metric
20 tons. So, it's not insignificant, but it's not
21 nearly the largest.

22 Your Low-Carbon Fuel Standard is
23 important for reducing emissions from light-duty
24 vehicles there.

25 If you click again, you go over to

1 industry. Again, in industry by far the most
2 significant potential reductions by 2030 are from
3 carbon capture and sequestration from industry.
4 I'll say a little bit more about that. But
5 industry is, generally speaking, the most
6 difficult to decarbonize, probably next to
7 agriculture, which doesn't typically get looked
8 at in an energy analysis, but we did look at
9 agriculture.

10 If you click again, okay, you go over to
11 buildings. Energy efficiency gets you the most
12 reductions in emissions from buildings. Combined
13 heat and power, I would assume that's going to be
14 largely for commercial buildings, combined heat
15 and power. Electrification gets you a little
16 less than half of what efficiency gets you.
17 That's not to say that electrification is not
18 important and I know that there are policies
19 moving in that direction, but electrification in
20 a 2030 time frame doesn't get you nearly as much
21 as just flat out efficiency does.

22 If you click again, okay, and we are at -
23 - this is agriculture. And the only significant
24 emissions reductions that you can get in
25 agriculture is using -- is capturing biogas from

1 dairy, and landfills, et cetera, et cetera, and
2 using that to make either renewable gas or other
3 fuels, and from biogas. And so, that's the only
4 significant technology that we could find in the
5 agricultural sector by 2030.

6 So, I have this one in twice, okay, for
7 some reason. So, let's skip through that. Just
8 if I didn't make the point enough, okay. Skip
9 through that slide.

10 Okay, and are we now on the slide that
11 says "Sectoral Greenhouse Gas Emissions
12 Reductions"? Are we there?

13 COMMISSIONER SCOTT: Yes.

14 MS. KENDERDINE: Hello? Yeah, yeah,
15 okay.

16 COMMISSIONER MCALLISTER: Yeah, we are.

17 MS. KENDERDINE: Okay. So, if --

18 COMMISSIONER MCALLISTER: Hang on,
19 Melanie.

20 MS. KENDERDINE: Yeah.

21 COMMISSIONER MCALLISTER: And maybe just
22 speed it up a little bit, we've got one more
23 speaker and some questions, and stuff.

24 MS. KENDERDINE: All right, okay.

25 COMMISSIONER MCALLISTER: So, we'll have

1 questions for you as well.

2 MS. KENDERDINE: Okay. So, let's go
3 through this transportation, again 39 percent.
4 The top two pathways get you 40 to 44 percent of
5 the target. This does not assume growth to 2030,
6 okay. So, it's just to give you an idea.

7 Industry, the top two pathways get you
8 half of the way there. Electricity, the top two
9 pathways get you to 100 percent of the target.
10 That is -- remember, that's gas with CCUS.
11 Buildings: The top two pathways almost 93 percent
12 of the way there, almost 100 percent.
13 Agricultural: The top two pathways get you 35
14 percent.

15 So, okay, I'm going to skip through. I
16 think that, yeah, let's go to -- skip through the
17 next slide. Okay, and go to the slide called
18 "Challenges with Integrating Intermittent
19 Renewables." Okay, are you all there, yet?

20 COMMISSIONER SCOTT: Yes.

21 MS. KENDERDINE: Okay, so just click on
22 it, okay. And I believe what you should be
23 seeing coming up are numbers. What this slide
24 is, these are data. It's not modeling, it's
25 nothing like that. These are data from every day

1 in 2017, wind and solar generation. Wind is
2 blue, solar is orange or red. And the numbers
3 that you saw coming up are the numbers of days in
4 2017 where there was little to no wind generation
5 in the State of California.

6 So, if you click now, that's 90 days with
7 no wind, one-quarter of the year. And the
8 circles that are coming up, you have 10, 11, 12,
9 5, 6, 7 days in a row with now wind. So, if you
10 just keep -- and I've just circled them. So,
11 that's one thing you have in California that's
12 problematic from a storage perspective.

13 If you go to the next slide. Seasonal
14 variation in solar and wind in California. Okay,
15 and if you click on the meter, click once,
16 metered solar generation in California was 1.5
17 terawatt hours in January and 3.2 in June. You
18 have the same pattern. The delta there is 1.7
19 terawatt hours, if you click.

20 Click over to wind. You have the same
21 pattern in wind, .6 terawatt hours in January, 2
22 terawatt hours in June. Click again. That
23 delta's 1.4 terawatt hours. The total delta
24 between -- click again -- between winter and
25 summer in wind and solar generation in California

1 is 3.1 terawatt hours. That is huge. For those
2 of you that don't reside in the terawatt hour
3 world, an enormous, enormous difference seasonal.

4 So, you've got 90 days with no wind. You
5 have 10 days in a row with now wind. And you
6 have the enormous differences. And hydro peaks
7 in the same way, too. I've got a slide here on
8 hydro. Let's skip through that. The next slide,
9 just skip through it. It's just showing you huge
10 differences when there have been droughts in
11 California. And hydro has the same pattern as
12 wind as solar, peaking in the summer and
13 troughing in the winter.

14 I'm going to skip through all of these.
15 Skip through the industry. This is just showing
16 you industry's difficult and showing you where
17 your sequestration sites are, and where your oil
18 and gas reservoirs are, your saline formations in
19 California, so that it is possible to sequester
20 that carbon if you capture it from industrial
21 sites.

22 So, quick through, again. There is a tax
23 credit for capturing and sequestering carbon, and
24 for dedicated geologic storage. It's up to \$50 a
25 ton of CO₂. And if you click through again, I've

1 just got the numbers there. The expanded 45Q tax
2 credit. The first of a kind cost. Click through
3 again. Over on the left, fertilizer, biomass,
4 ethanol, natural gas processing are all
5 substantially lower costs to capture from your
6 industrial sector. You're the number one
7 manufacturing state in the country, the first of
8 a kind costs are far less than the tax credit you
9 get for 45Q. That is the point that that is
10 making there.

11 So, let's click through biogas. You've
12 got good biogas sources and that's the only way
13 you can capture
14 -- that's the only pathway we see for
15 agriculture.

16 And I'm going to say one other thing and
17 we can skip the rest of the slides. It is that
18 on the 90 days with no wind, et cetera, et
19 cetera, the 7 days in a row with no wind,
20 California, it's generally speaking, your lithium
21 ion batteries are four hours of storage. We do
22 not see by -- certainly, by 2030, major changes
23 in the duration of storage for wind and solar.
24 And so, it's four hours of storage and you're
25 going 10 days in a row with no wind. And so,

1 that's highly problematic.

2 Ultimately, we think -- not ultimately,
3 we do think you need fuel to run your system.
4 Right now that fuel is natural gas. To run your
5 system reliably with a lot of wind and solar on
6 the system. Right now that fuel is natural gas.
7 We think at some point in the future that could
8 be hydrogen, produced with wind and solar, but
9 that's a long way off and you can't use all of
10 the current infrastructure for that hydrogen, or
11 much of the current infrastructure.

12 So, I'm going to shut up. I know you all
13 are in a hurry, so --

14 (Laughter)

15 COMMISSIONER SCOTT: This is an excellent
16 presentation. Thank you so much for taking the
17 time call in, especially during a busy climate
18 week, I know, in New York.

19 We will go up to our next presenter and
20 then we'll come up to the dais for questions.

21 COMMISSIONER MCALLISTER: So, Melanie, if
22 you could hang on the line for a few minutes and,
23 hopefully, stick around for questions. It
24 shouldn't take too long.

25 COMMISSIONER SCOTT: Yes, please.

1 MR. GUNDA: Thank you. With that, I
2 would like to introduce Caitlin Murphy. Caitlin
3 Murphy is a Senior Energy Policy Analyst in the
4 Economics and Forecast Groups within the National
5 Renewable Energy Laboratory. Her expertise lies
6 in evaluating how energy policies and technology
7 innovation impact the evolution, operation, and
8 environmental impacts of the U.S. energy system
9 through quantitative analysis methods.

10 She has a BS in Earth, Atmospheric and
11 Planetary Sciences from MIT and a PhD in
12 Geophysics from Caltech.

13 With that, it's yours.

14 MS. MURPHY: Great. Thank you, Siva.
15 And thank you, everyone, for this opportunity to
16 present to you on behalf of the broader
17 Electrification Future Study, or EFS team. This
18 presentation will have a slightly different style
19 than the previous studies because at its core the
20 EFS has not taken a deep decarbonization
21 perspective.

22 So, what I tried to do in the slides is
23 really highlight for you the modeling tools and
24 the datasets that we have generated as part of
25 this EFS study, which I hope will be helpful for

1 you in your consideration of the IEPR and your
2 broader planning efforts.

3 So, just as a quick background, the
4 Electrification Future Study, or EFS, is an NREL-
5 led collaboration. It's a multi-year study that
6 was sponsored by the U.S. Department of Energy.
7 And it's being executive with NREL in the lead,
8 but with many external and other National
9 Laboratory research partners.

10 And, really, what the study is seeking to
11 do is address the high-level questions of how
12 much electrification might we expect in the
13 future and how do we plan for that
14 electrification?

15 So, to approach those really large
16 research questions, what we've done is broken
17 them down into smaller chunks to look at sort of
18 in series. So, the first two circles here are
19 what the presentation today will focus on. The
20 first one is what electric technologies are
21 available now and how do we think they might
22 advance over time. So, this is both in terms of
23 cost and performance of the key electric
24 technologies. So, electric vehicles we've talked
25 a lot about today. Air source heat pumps is

1 another key technology. So, we really spin a
2 variety of the energy sectors.

3 The second question here is around energy
4 consumption. How might electrification impact
5 electricity demand and use patterns?

6 These are the two that I'll be focusing
7 on today, but I just wanted to note that we did
8 just recently complete the first phase of
9 analysis for the following three research
10 questions, which are really around how the grid
11 might transform in response to those
12 electrification changes? What the role of demand
13 side flexibility might be in sort of being the
14 translation between this demand side evolution
15 and also the power sector response to it?

16 And, finally, what are the broader
17 impacts of electrification around system costs,
18 potential benefits, and also impacts in terms of
19 emissions and other environmental impacts?

20 So, those three, the first phase of
21 analysis for those three questions, we are in the
22 process of publishing now.

23 Okay, just to start with a couple of
24 definitions of the scope of our study. First,
25 we're defining electrification as the shift from

1 any nonelectric source of energy to electricity
2 as the point of final consumption. So, this is
3 just one of the pillars, for example, that was
4 presented earlier about deep decarbonization
5 pathways. It's only one piece of the puzzle
6 here.

7 And I just wanted to point out that the
8 reason you might see some quantitative results
9 that aren't getting you to your goal is that this
10 is really only one of the pieces.

11 The second sort of scope definition here
12 is that we are looking at the entire contiguous
13 U.S. energy system, so the results that are
14 presented here will be national average values,
15 but the analysis was performed with high spatial
16 resolution. So, all of the underlying datasets,
17 all of the modeling looked at California as its
18 own entity. And even sometimes, within
19 California, we have higher resolution. So, the
20 results here may not be indicative of what you
21 would expect in California, but they show kind of
22 the various datasets that we've compiled as a
23 result of this analysis.

24 In terms of sectoral coverage, we looked
25 at the transportation, industrial, residential

1 and commercial sectors, which accounted for about
2 74 percent of primary energy consumption in 2015.
3 So, that entire box on the right-hand side there
4 is that 74 percent of energy consumption.

5 Everything below the solid black line is already
6 supplied by electricity as its energy source.

7 So, those are the parts that have already been
8 electrified through sort of natural processes.

9 And the parts above it is what we're
10 looking at. Where is the potential in that
11 space? Clearly in buildings, which are the two
12 right columns, they're already well on their way
13 to being fully electrified. Again, at a national
14 scale here.

15 And transportation, on the far left,
16 represents the largest source of potential since
17 very little of its energy is currently supplied
18 by electricity.

19 Finally, our analysis went out through
20 2050, but we did model all of the years going out
21 to that end date of our model.

22 So, I just wanted to highlight, there's
23 just one slide here on sort of the main detail
24 dataset that came out of the first two research
25 questions that we explored as part of the EFS.

1 Here, I just wanted to highlight the results from
2 the transportation sector and the insights that
3 we gained from our modeling of that sector. A
4 lot of this is similar to what's already been
5 presented by the other panelists, so I won't
6 spend too much time on this slide. But just
7 wanted to note sort of the level of detail that
8 we do have available in our datasets.

9 So, the three columns here represent
10 three different scenarios for electrification.
11 The far left one is reference. That would be
12 sort of a business as usual trajectory.

13 Medium electrification is where we
14 explored the impacts of electrification within
15 the sectors that the lower perceived barriers to
16 this fuel-switching component into electricity.

17 And then, finally, in the high
18 electrification scenario, on the far right,
19 that's where we looked at more transformational
20 electrification. So, breaking down some of those
21 existing barriers that we talked about through
22 some of the questions after the first
23 presentation.

24 So, the different rows in this chart are
25 showing different segments of the transportation

1 sector. And, really, these demonstrate the
2 insights that are listed on the left side of the
3 slide.

4 So, the warm shades represent where your
5 electric technologies are taking over the sales
6 share and, ultimately, the stock of your
7 transportation fleet. The top two rows are the
8 light-duty fleet. And we see a lot of potential,
9 even under medium electrification, for battery
10 electric vehicles and plug-in hybrid electric
11 vehicles, in particular.

12 Under more aggressive electrification
13 scenarios, we see that the vast majority of the
14 light-duty fleet transitions over to being
15 sourced by electricity by 2050, in particular.

16 We see more challenges in the medium- and
17 heavy-duty vehicle fleets, but not ones that are
18 necessarily insurmountable. But just sort of
19 raises questions of where does electrification
20 really make the most sense in these medium- and
21 heavy-duty service demands, and where might you
22 be looking for other emissions reductions
23 pathways.

24 So, what we found is that particularly
25 for short haul applications there's a lot of

1 potential for electrification.

2 MR. RIDER: The Y-axis here, it's stock?
3 It's number of vehicles? Is that what the Y-axis
4 is?

5 MS. MURPHY: This one is -- this is
6 sales, I believe.

7 MR. RIDER: Sales.

8 MS. MURPHY: Yeah, but we have a similar
9 chart for stock, also.

10 Finally, the bottom row here is transit
11 buses and that's where we're seeing a lot of
12 potential under both medium- and heavy-
13 electrification, something that you're all very
14 familiar with, already.

15 And just the final bullet point here is
16 to note that this is a sample of the datasets
17 that are available for transportation
18 electrification. But we did look at buildings in
19 industry, and one of the key technologies we saw
20 on the building side, in particular, are the heat
21 pump technologies, which I know you're already
22 moving forward with.

23 So, in terms of what this means from a
24 grid planning perspective, the first metric that
25 we look at is annual electricity demand. So, on

1 the left-hand side of the chart are historical
2 electricity consumption rates. And to the right
3 of the solid black line is our modeled future
4 electricity rates under the three scenarios that
5 I just mentioned before.

6 So, that emerging blue wedge is coming
7 from -- and sorry for the printouts, you won't be
8 able to see that. But on the screen, the
9 emerging blue wedge is the transportation, annual
10 demand growth that's coming from electrifying
11 both light-duty, medium- and heavy-duty fleets,
12 as well as transit buses. You'll see that that
13 demand growth really picks up more rapidly after
14 2030. This is due to both stock turnover times
15 of your vehicle fleets, as well as the cost
16 trajectories that we have, which have those
17 technologies declining in cost over time. And at
18 2030, is really kind of a tipping point where we
19 see a rapid takeoff of the electric vehicle
20 fleets.

21 Also embedded in here is a little bit of
22 growth from the other sectors. The reason it's a
23 little bit more mass is because of the high
24 efficiency associated with some of these
25 technologies. So, as they displace maybe either

1 less efficient electric technologies within a
2 building, you're not necessarily going to see
3 annual demand growth coming out of them, you're
4 more going to see a more efficient utilization of
5 that electricity for especially your space
6 heating needs, for example.

7 In terms of the growth rates that we see
8 in our scenarios, they are roughly consistent
9 with some of the more rapid growth demand periods
10 that we've seen on the U.S. electricity system.
11 Again, taking a national look, this does pale in
12 comparison to the chart I saw in the introduction
13 today, with California's growth in electricity
14 generation, so maybe nothing that concerns you
15 guys.

16 But on a national scale, a lot of people
17 look at this and get a little nervous about the
18 pace of growth. And, clearly, it is a transition
19 from recent years for a lot of the country.

20 But annual demand is not the only thing
21 we need to think about. This is a snapshot here,
22 showing the impact of our high electrification
23 scenario on peak demand at a state level. So, if
24 we just focus on the California pie chart here,
25 the size of the circle represents the top one

1 hour of demand across the years.

2 So, between 2015 to 2050, you do see
3 growth in the size of the bubble, which shows
4 that our peak demand is increasing as the grid is
5 accommodating more electric vehicles and space
6 heating services, for example.

7 But the shading in the pie chart doesn't
8 really change. So, the shading here is showing
9 the timing of that peak demand which, in both
10 2015 and 2050 occurs in the summer and the fall
11 months.

12 In other parts of the country you do see
13 a transition in the season when peaking occurs,
14 which I think is an interesting challenge for
15 those parts of the grid. But in California, we
16 really see it can maybe classified as something
17 of more of the same. So, a lot of peak demand,
18 still, and it's growing over time, but it is
19 occurring in similar regions in sort of a similar
20 pattern over the course of a year.

21 In terms of the downstream impacts of
22 this electrification, here we show again a
23 national average snapshot of the fuel use
24 reductions across our scenarios at a national
25 level. So, the primary impact that we see, if

1 you go from the reference scenario in that kind
2 of grayish black line to the darker red line, the
3 primary impact is the avoided gasoline
4 consumption. So, this is your electrification of
5 the light-duty vehicle fleet. It is -- it does
6 correspond to about a 74-percent reduction from
7 2016 levels, which is clearly not getting to that
8 80-percent, 100-percent level that you're looking
9 for. But again, this is a national level
10 snapshot.

11 The reductions in diesel are more modest,
12 so this represents the fact that we're not
13 electrifying as much of the service demand in
14 that segment.

15 And, finally, the reductions in direct
16 natural gas use, so this is only natural gas
17 consumed by the end-use sectors, are again more
18 modest. I do think this is more representative
19 of other parts of the country where there are
20 challenges associated with switching to electric
21 space heating, especially in the very cold
22 climates. But this does also represent the
23 remaining natural gas consumption in the
24 industrial sectors, where we didn't see as much
25 potential for electricity swapping out as your

1 energy supply.

2 So, just my last slide. I posed a number
3 of the key questions that we identified in our
4 previous study. I know California is already
5 tackling many of these around electric vehicle
6 charging infrastructure. How you -- how the
7 utility interacts with your charging timing and
8 whether there can be coordination there. Also
9 around sort of new building construction and how
10 you focus on electric technologies there.

11 But a few of the questions, I know we
12 talked earlier about the challenges around
13 retrofits. And there's a lot of questions there
14 about how you do get into those buildings and
15 make sure that it's a cost-effective transition
16 for not only the owner, but the resident, and how
17 you deal with all of those tensions within that
18 segment.

19 I think another important question comes
20 up in the industrial sector. Does
21 electrification make sense? And if it does,
22 which parts of it do you target for
23 electrification and where might there be another
24 emissions-reduction pathway that would be more
25 cost effective, for example.

1 So, that's all I have. Thank you very
2 much for your time.

3 COMMISSIONER SCOTT: Thank you very much.
4 Four very thought-provoking presentations for us.
5 With your indulgence, we're hoping, panelists,
6 you can stay for about 10 more minutes, maybe 15,
7 so we can ask a few questions. We have a whole
8 list of burning questions up here for all of you.

9 And, Melanie, I know you might have a
10 hard stop at noon. If so, that's okay. But if
11 you can stay just a few more minutes, too, that
12 would be terrific.

13 I know Commissioner McAllister had a few.
14 Would you like to start?

15 COMMISSIONER MCALLISTER: Really, just I
16 missed the front end of Debra's presentation, but
17 when I walked in, it was music to my ears. And
18 so, I just wanted to follow up on a couple of
19 things.

20 So, you mentioned this -- really, the
21 price, you know, sort of price response of demand
22 and demand response. And that is something I
23 absolutely think, I agree with you it's central
24 to what we need to do and, you know, figure out
25 how to mobilize demand, and matched to supply,

1 and really have that sort of orchestra playing in
2 real time.

3 And yet, you know, we're having a hard
4 time kind of getting demand response to be all it
5 can be. And, you know, and partly that has to do
6 with sort of the fraught nature of rate-making in
7 general, and it just has a lot of issues to get
8 that done in a transparent way.

9 But those aren't the only issues. I
10 mean, we don't have a whole lot of that
11 technology out there at the end use. It's sort
12 of a chicken and egg problem. And I guess, you
13 know, I was actually just in Washington last
14 week, and giving an award to OhmConnect. You
15 know, the Alliance to Save Energy gave OhmConnect
16 an award on dynamic efficiency, which is a new
17 category, right.

18 And what OhmConnect does is sort of like
19 backdoor real-time pricing. And so, what we
20 really need to get to is walk to a front door
21 with rates, and then just have that be part of
22 the ether.

23 I guess I'm wanting your -- I know this
24 is a long preamble, but I'm wanting your thoughts
25 on what that kind of business model looks like?

1 How are we -- who implements? Who goes to the
2 customer? Who implements in a way that does
3 communicate with the ISO at some scale, where we
4 can actually see demand responding to price, or
5 to some other signal that, you know, mimics
6 price. You know, what does that look like in
7 real life?

8 And, you know, I want to help people
9 visualize what the future might look like that
10 does this.

11 MS. LEW: That's a really good question.
12 So, that's a lot of, you know, what we've been
13 trying to do, too, is to think about this and
14 what this, you know, 100-percent future is going
15 to look like, and what you're going to need to
16 make that work, knowing what we know now.

17 And I think the idea of exposing more
18 loads to more price volatility and more, you
19 know, higher peak, off-peak ratios is a big piece
20 of this. Because if you can't get the prices
21 exposed to the loads, then you're not going to
22 change behavior and incentivize anything because,
23 you know, at the end of the day nobody really
24 wants to -- it's just like the energy efficiency
25 thing. Trying to undertake those kinds of things

1 in your commercial facility, industrial facility,
2 or your home, nobody wants to do that kind of
3 stuff.

4 So, getting more of being -- taking the
5 challenge of actually getting those prices out to
6 people and to the loads, I think is a big piece
7 of that.

8 I think another big piece of it is
9 developing more of the sort of plug-and-play
10 infrastructure through codes and standards to try
11 and figure out how to make this easy for
12 aggregators to come in with a -- you know, with
13 their plan for different customer groups.

14 So, like, you know, the Northwest
15 Utilities have their CTA 245, you know, water
16 heater, or control and communication devices that
17 they want to have standard on all electric water
18 heaters. Something like that idea, you know,
19 that could be plug and play with different kinds
20 of appliances that could be agnostic to different
21 types of communication types, and different
22 control protocols, something that's sort of, you
23 know, future-proofed in that way could be really
24 helpful. Right? And that's a perfect role for
25 policymakers is the codes and standards side of

1 things.

2 I think, you know, trying to really
3 start, yeah, greasing the skids for what these
4 aggregators are going to have to do. There's
5 some -- you know, there's some good lessons maybe
6 to be learned from places like Germany. They
7 actually do go and dispatch rooftop PV. And
8 distributed wind. And they're able to
9 communicate and control to, you know, different
10 distributed resources. So, I think, you know,
11 trying to take what other folks are doing and
12 building on that, you know, would be a good
13 start.

14 But definitely, we got to get the prices
15 right. Because nobody's going to care. You
16 know, saving 10 percent of my bill, you know, I
17 don't really care. You've got to save a lot of
18 money to make it worthwhile.

19 COMMISSIONER MCALLISTER: Yeah. Well,
20 so, thanks for that. I guess, so, I mean heads
21 up, we do have this load management authority
22 that we're getting serious about beginning to use
23 and that -- using again, after, you know, a
24 couple of decades. So, stay tuned for that.
25 It's going to be really good to have your

1 participation in the prerulemaking and then,
2 eventually, rulemaking.

3 But we do have some authority in this
4 realm to actually standardize some of this stuff,
5 and in addition to the Building Code. So,
6 there's definitely some exciting pathways, but we
7 have to get it right, and it's a big deal.

8 And my follow-up question is do you have
9 equity concerns? Maybe you're talking more
10 about, you know, commercial, larger
11 installations. But on the -- I know that one of
12 the issues with ratemaking, particularly in the
13 residential sphere, is exposing people to prices,
14 the response to which they don't have a lot of
15 control.

16 And so, if you have a disadvantaged
17 community, low-income folks who just don't have a
18 lot of flexibility in their lives, or somebody's
19 home all the time, or whatever, like do you -- is
20 there kind of a conversation going about how we
21 insulate some of the vulnerable populations
22 against being exposed to real-time pricing?

23 MS. LEW: Right. So, I think it's the
24 same way you do it on the generation side. You
25 know, on the generation side you've got the real-

1 time market, you've got the day-ahead market, and
2 you've got bilateral contracts to hedge against,
3 you know, the volatility in the other markets.

4 So, if you think about it on the pricing
5 side, we've got time-of-use rates, which sort of
6 hedges against volatility and maybe some day-
7 ahead rate, which hedges against volatility in
8 the real-time rate. And customers can sort of
9 choose, you know, maybe where they want to play,
10 depending on what kind of automation and loads
11 they have. So, there might be ways to think of
12 it in those ways.

13 I mean, it's true, you're going to run
14 into equity issues and those are challenging.

15 COMMISSIONER MCALLISTER: Okay. Well,
16 thanks. So, I'm going to pass it along.

17 MR. ROTHLEDER: Can I -- Melanie, are you
18 still on? Did we lose her?

19 MS. KENDERDINE: Yes, I am. I'm sorry, I
20 was just taking myself off mute.

21 MR. ROTHLEDER: Okay. I'll just take a -
22 - or, give you a question real quick. I
23 appreciate your graphs of the production and the
24 multi-day production of the wind. If you were to
25 overlay the diversity and the production

1 capability of the broader set of resources in the
2 west, or offshore wind, do you have a picture
3 that kind of illustrates how that would play out
4 differently as a result of that diversity?

5 MS. KENDERDINE: Well, let me say a
6 couple things. That I look at -- you import a
7 lot of your electricity, 30 percent, California
8 does. And the imports from the northwest, hydro
9 imports from the northwest are -- I looked at the
10 forecast for hydro. It's expected to decline by
11 21 percent in the next century.

12 I also have concerns about other states
13 that are providing electricity to California,
14 that have also implemented their own net zero
15 emissions, you know, et cetera, et cetera. And I
16 think Nevada and New Mexico are in that category.

17 So, there are external influences about
18 the availability of imported resources into
19 California that I think are problematic, and that
20 the state needs to pay attention to.

21 The offshore wind capacity factors are
22 much higher than they are for onshore wind. I
23 believe offshore wind capacity factors can be as
24 high as 60 percent, 65, 60 percent. Developing
25 offshore will give California a better wind

1 resource than it currently has. And so, I think
2 that that's important. I know there are issues
3 with the Navy that also has to be floating
4 offshore wind.

5 And so, that's another thing that's
6 expensive. Floating offshore wind is expensive,
7 but you do get a better capacity factor, yeah.

8 MR. ROTHLEDER: Okay, thank you. And
9 Debra, just are we being aggressive enough in
10 California, or the industry as a whole in terms
11 of developing or requiring grid forming, or
12 leveraging the inverter-based technologies, or
13 are we going to find ourselves 10, 20 years down
14 the line wishing that we had done something more
15 aggressively, and not having leveraged the
16 opportunities now, or can we wait?

17 MS. LEW: That's a really good question.
18 I think what folks are doing today is they're
19 putting in synchronous condensers and then
20 solving the problems that come out from that.

21 I think there is some thought that with
22 grid forming inverters you can do this a lot more
23 cheaply. And, but there's a lot to figure out.
24 We don't even know exactly which type of the
25 different grid forming technologies, you know,

1 makes the most sense. And then, you know, how we
2 would actually make that interoperate with the
3 rest of the system, seamlessly going in and out
4 of following and forming load. There's so much
5 that we need to figure out. So, we really need
6 to get on the ball and start figuring that out
7 now, and then I think, you know, the different
8 OEMs can commercialize the technologies. We can
9 -- you know how long it takes to set up standards
10 in this country. The whole standards-making
11 process of what those performance specs are going
12 to be. I mean, this is something we need to
13 start working on now.

14 COMMISSIONER MONAHAN: Melanie, this is
15 Patty Monahan from the Energy Commission. I had
16 a question about your 2030 versus 2050 analysis.
17 You highlighted the 2030 analysis really well.
18 And, you know, on the vehicle standard size
19 highlighting that the vehicle greenhouse gas
20 emission standards and fuel economy standards,
21 that's the number one carbon reduction strategy
22 for 2030.

23 But when you go out to 2050, you'll find
24 that we have to electrify transportation. So,
25 there's a little bit of a tension, I think,

1 between what the short-term versus the long-term
2 pathway looks like.

3 I'm wondering if you did the analysis
4 through 2050 for the specific pathways and
5 whether you found any other tension points in the
6 electricity industry, buildings, or agricultural
7 sector where the 2030 strategy doesn't align at
8 all with the 2050 strategy?

9 Melanie, are you still there?

10 MS. KENDERDINE: I'm sorry, yeah, I had
11 myself on mute. One thing, I heard you, but you
12 couldn't hear me. I have just walked 12 blocks
13 in Manhattan traffic, so I put myself on mute.

14 The 2050, we don't see the technologies
15 yet, in order to meet the 2050 goals. I think
16 it's highly problematic. And one thing that we
17 did look at and we think that hydrogen, okay, is
18 a usually important focus, and should be a focus
19 of innovation in the 2050 timeframe, and figure
20 out how much of the existing infrastructure can
21 be used in basically a hydrogen future.

22 You asked about tensions. I don't see
23 the long-term, long-duration battery storage that
24 you all need for the types of sources that you
25 have, and the seasonal variation, et cetera, et

1 cetera.

2 We think that hydrogen could serve as
3 basically the fuel that you need to run a system.
4 Right now it's gas, you need that fuel. We think
5 hydrogen is the technology and the fuel source.
6 You have to be able to produce that hydrogen with
7 renewable energy as opposed to producing it from
8 natural gas, in order to get the emissions down
9 from sufficient to meet your net zero targets.

10 And so, not necessarily a tension, but a
11 huge need is to invest in some key technologies.
12 I just don't see the battery technology --
13 there's been a lot of discussion about that here
14 today, to, of battery storage. And there are
15 other issues that I didn't get to in the slide
16 presentation I had. And, of course, long
17 duration storage is something that we should be
18 looking at.

19 But we also have some pretty significant
20 concerns about the metals and minerals for wind,
21 solar, and batteries, and whether that will
22 affect the prices in the future.

23 And as you well know, cobalt is basically
24 coming from one country in the world, that's the
25 Democratic Republic of Congo. And, basically,

1 being mined by five year olds. And that's a huge
2 component right now. We have done a fairly
3 significant down-select in the U.S. to lithium
4 ion batteries. And 22 states manufacture them.
5 And so, looking at some of the metals and
6 minerals for those is another flash point. I
7 think we need to be cognizant of tensions. I'm
8 not sure about tensions.

9 I actually have a question, but I do have
10 to get off the phone. I actually have a question
11 for, I think it was Deb, and it's bothered me for
12 some time. If California electrifies its
13 vehicles, and it should and it's planning to do
14 it, what does that do to tourism from states that
15 don't have electric vehicles?

16 I know tourism is a huge part of
17 California's economy. I used to drive there all
18 the time from New Mexico, when I was a kid. And
19 I don't -- do you have to have duplicate systems?
20 What does that mean? This is something that's
21 been bothering me. We didn't look at that. And
22 just wondering what that means.

23 COMMISSIONER MONAHAN: So, Melanie, I'm
24 going to -- this is Patty Monahan again. I'm
25 just going to respond really quickly. On the EV

1 front, which is that, I mean, a number of western
2 states are working together on this --

3 MS. KENDERDINE: Right, right.

4 COMMISSIONER MONAHAN: -- electrification
5 of transportation. I think what we're seeing is
6 a global trend where light-duty vehicles, within
7 the next 5 to 10 years will be cheaper, just the
8 vehicles themselves. So, there's performance
9 enhancements with electric vehicles. So, I'm
10 happy to talk offline with you about why we see
11 electric vehicles in the light-duty vehicle
12 sector at least, as inevitable.

13 MS. KENDERDINE: Yeah, and I tend to
14 think so, too. I was just curious --

15 COMMISSIONER MONAHAN: And I think we
16 shouldn't get into this -- and, Melanie, I think
17 we need to -- we only have a few more minutes for
18 questions, so let's not go down this rabbit hole.

19 MS. KENDERDINE: Yeah.

20 COMMISSIONER MONAHAN: Happy to talk with
21 you offline.

22 COMMISSIONER SCOTT: Okay, let me turn to
23 --

24 MS. KENDERDINE: It's a transition issue,
25 that's why I raised it. A transition question I

1 had. So, thanks. Thanks.

2 COMMISSIONER SCOTT: Thanks. So, if
3 folks can indulge us for two minutes, Ken has a
4 question, I have a question, and then we promise
5 we'll wrap it up. It's such a fascinating topic.
6 But we did want to take a few extra minutes for
7 questions. So, thanks, everyone, for doing that.
8 Ken, please go ahead.

9 MR. RIDER: Yeah, I'm going to shorten it
10 into just an observation, rather than anything
11 else, and it's really building on what
12 Commissioner Monahan just said. Which is there
13 are pathways to 2030 that might be the least
14 expensive but, then, incompatible perhaps with
15 the longer-term goal.

16 And, really, also what's clear, I mean we
17 have all these presentations today with sectors,
18 and like measures between, but they're more
19 interrelated than ever before. And I think we
20 need to be more cautious than to look at it as
21 this measure in that sector, and really start
22 breaking down the walls that used to be
23 transportation sector and all these other things.
24 But they're all coming together and they're all
25 gelling around, you know, renewable, like clean

1 energy and then getting everything to use clean
2 energy, and it's cross-sector.

3 And I've seen bars that they would switch
4 sizes if you did this thing first versus that.
5 Like, I believe in the E3 report it's like here's
6 how much renewable, just going renewable, and
7 then here's how much electrification. Well, if
8 you do electrification first and then you look at
9 renewables, all of the sudden the bar's changed
10 height, right.

11 So, we have to be cautious in how we
12 perceive these things and just really think of it
13 as a holistic decarbonization plan and be careful
14 about choosing things that work short term versus
15 long term. And, really, we have to bundle it
16 together in a pathway in order to -- a
17 comprehensive pathway in order to be successful.
18 Which you highlighted that issue for me.

19 COMMISSIONER SCOTT: I just had, and
20 Melanie, if you're still on the phone, you can go
21 first. And then, if you want to drop off, please
22 do. Thank you for taking some time with us.

23 It's so great to have Zach, and Melanie,
24 and Debbie and Caitlin here together. So, if
25 there was just one thing that you would highlight

1 or pull forward one key finding, one key strategy
2 that we ought to think about, that you either
3 mentioned or didn't have a mention in, you know,
4 30 seconds each. If you could please say what
5 that is, that would be really helpful.

6 Melanie, if you're still there, please
7 start. She may have gone back to climate week.

8 Okay, Zach, please.

9 MR. SUBIN: Yeah, actually, picking on
10 some more of what we were just talking about, and
11 I wanted to kind of clarify, in answer to Ken
12 Rider's question, one thing that Europe is
13 starting to look at is transitioning the large
14 transmission scale gas pipes to hydrogen as an
15 option. And, you know, the sort of economics
16 would likely be more favorable than doing that
17 for all of the distribution pipes serving the
18 smaller end uses. So, you know, that -- I don't
19 think there's been a study of that in California,
20 so that could be something to look at.

21 COMMISSIONER SCOTT: Great, Caitlin.

22 MS. MURPHY: I did not mention this and
23 it's not even related to my presentation today.
24 But I do think this concept of long duration
25 storage is a really key strategy here. And that

1 could mean, you know, trying to get over the
2 couple of days in a row without wind, but it
3 could mean more the seasonable shift instead.

4 As we look at higher than 80 percent
5 national scale decarbonization studies for the
6 grid, for example, you do start to run into
7 challenges as you get to those last few percents.
8 And that's something that I think would really
9 help some of the transition. So, starting to
10 think about it now is helpful for being able to
11 implement it when it is needed.

12 COMMISSIONER SCOTT: Thank you. Debbie.

13 MS. LEW: I guess my suggestion is that
14 we think carefully to not over-constrain the
15 solution space with too many mandates because
16 there's so much uncertainty as to what
17 technology's going to break through, and become
18 cost effective and, you know, new solutions in
19 the future that I think you want to try and keep
20 your solution set really big. And you want to
21 focus, instead, on greasing the skids, you know,
22 business models for how, you know, demand
23 response will play in the future, or things like
24 that. As opposed to trying to mandate any kind
25 of solutions.

1 COMMISSIONER SCOTT: Thank you. Well,
2 thank you again to our excellent panelists. We
3 really appreciate you being here, all the
4 wonderful information you've provided.

5 (Applause)

6 COMMISSIONER SCOTT: And my understanding
7 is that we don't have any public comments. I
8 don't have any blue cards. Are there any
9 comments on the WebEx?

10 MS. RAITT: No.

11 COMMISSIONER SCOTT: No. Do we have any
12 -- would anybody like to make some burning
13 closing remarks? All right. Well, let me turn
14 it to Heather just to let folks know when the
15 comments on this workshop are due. And again, my
16 thanks to everyone who helped put this together
17 and to everyone who participated today.

18 MS. RAITT: Just a reminder, the comments
19 are due on October 8th. And the information for
20 how to file comments is in the notice. Thank
21 you.

22 COMMISSIONER SCOTT: With that, we're
23 adjourned. Thank you, everybody.

24 (Thereupon, the Workshop was adjourned at
25 2:17 p.m.)


REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a notary public and certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF,

I have hereunto set my hand this 7th day of
November, 2019.



Bridgette Rast
Electronic Reporter

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of November, 2019.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852