

DOCKETED

Docket Number:	19-IEPR-07
Project Title:	Electricity Sector
TN #:	231527
Document Title:	Transcript of 10-03-2019 Workshop on Offshore Wind
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	1/15/2020 12:16:19 PM
Docketed Date:	1/15/2020

CALIFORNIA ENERGY COMMISSION

COMISSIONER WORKSHOP

In the matter of,) Docket No. 19-IEPR-07
)
2019 Integrated Energy Policy) RE: Offshore Wind
Report (2019 IEPR))

CALIFORNIA PUBLIC UTILITIES COMMISSION

AUDITORIUM, FIRST FLOOR

505 VAN NESS AVENUE

SAN FRANCISCO, CALIFORNIA 94102

THURSDAY, OCTOBER 3, 2019

10:00 A.M.

Reported By:
Gigi Lastra

APPEARANCES

David Hochschild, Chair, California Energy Commission

Karen Douglas, Commissioner, California Energy Commission

Mark Gold, Executive Director, Ocean Protection Council

Suzanne Casazza, Advisor to Commissioner Randolph, California Public Utilities Commission

Heather Raitt, Assistant Executive Director, Policy Development, California Energy Commission

Presenters

John Hingtgen, California Energy Commission

Walter Musial, National Renewable Energy Laboratory

Kevin Banister, Principle Power

Ross Tyler, Business Network for Offshore Wind

Robert Collier, UC Berkeley Labor Center's Green Economy Program

Scott Flint, California Energy Commission

Terra Weeks, Senior Advisor to Chair Hochschild

Alla Weinstein, Castle Wind

Sandy Hull, Energy + Environmental Economics

Mark Severy, Schatz Energy Research Center

Molly Sterkel, California Public Utilities

Neil Millar, California Independent System Operator

Scott Flint, California Energy Commission

Necy Sumait, Bureau of Ocean Energy Management

APPEARANCES (CONT.)

Christopher Potter, Ocean Protection Council

Jeremy Potter, Bureau of Ocean Energy Management

Jaime Jahncke, Point Blue Conservation Science

Garry George, Audubon California

Tyler Studds, EDPR

Carrie Pomeroy, California Sea Grant, University of
California San Diego

Sharon Kramer, H.T. Harvey & Associates

Lane Johnston, Responsible Offshore Development Alliance

Rizaldo Aldas, California Energy Commission

Gary Norton, Department of Energy, Wind Energy
Technology Office

Carrie Hitt, National Offshore Wind Research and
Development Consortium

Mike Optis, National Renewable Energy Laboratory
(Via WebEx)

Benoit Bizet, Centre for Global Cooperation, Danish
Energy Agency

Jeff Kehne, Magellan Wind

Public Comment

Michael Winkler, Redwood Coast Energy Authority

Charley Lavery, Operating Engineers Local 3

Lauren Cullum, Sierra Club California

Danielle Mills, AWEA-CA

Bruno Geisher, IDEOL

INDEX

	Page
Introduction	
Heather Raitt, California Energy Commission	6
Opening Comments	
David Hochschild, Chair, California Energy Commission	8
Karen Douglas, Commissioner, California Energy Commission	10
Mark Gold, Executive Director, Ocean Protection Council	12
Suzanne Casazza, Advisor to Commissioner Randolph, California Public Utilities Commission	14
Panel 1: Global Overview of Offshore Wind	16
Moderator: John Hingtgen, California Energy Commission	
A. Walter Musial, National Renewable Energy Laboratory	16
B. Kevin Banister, Principle Power	21
C. Ross Tyler, Business Network for Offshore Wind	29
D. Robert Collier, UC Berkeley Labor Center's Green Economy Program	36
Panel 2: Offshore Wind and the California Market: Opportunities and Constraints	51
Moderator: Scott Flint, California Energy Commission	
A. Terra Weeks, Senior Advisor to Chair Hochschild	53
B. Sandy Hull, Energy + Environmental Economics	62
C. Alla Weinstein, Castle Wind	73
D. Mark Severy, Schatz Energy Research Center	79
E. Molly Sterkel, California Public Utilities Commission	85
F. Neil Millar, California Independent System Operator	93
G. Scott Flint, California Energy Commission	101
H. Neczy Sumait, Bureau of Ocean Energy Management	106

INDEX (CONT.)

	Page
Panel 3: Status of Research, Data Collection, and Other Initiatives to Support Environmental Analyses and Public Outreach in California Moderator: Christopher Potter, Ocean Protection Council	114
A. Jeremy Potter, Bureau of Ocean Energy Management	115
B. Jaime Jahncke, Point Blue Conservation Science	123
C. Garry George, Audubon California	127
D. Tyler Studds, EDPR	131
E. Carrie Pomeroy, California Sea Grant, University of California, San Diego	137
F. Sharon Kramer, H.T. Harvey & Associates	
G. Lane Johnston, Responsible Offshore Development Alliance	151
Panel 4: Research Opportunities Supporting Development and Deployment of Offshore Wind Technology in California Moderator: Rizaldo Aldas, California Energy Commission	175
A. Gary Norton, Department of Energy, Wind Energy Technology Office	176
B. Carrie Hitt, National Offshore Wind Research and Development Consortium.	183
C. Mike Optis, National Renewable Energy Laboratory (Via WebEx)	189
D. Benoit Bizet, Centre for Global Cooperation, Danish Energy Agency	197
E. Jeff Kehne, Magellan Wind	204
Public Comments	218
Closing Remarks	228
Adjournment	230
Reporter's Certificate	231
Transcriber's Certificate	232

P R O C E E D I N G S

1
2 OCTOBER 3, 2019 10:12 A.M.

3 MS. RAITT: Good morning everybody. Welcome to
4 today's workshop on offshore wind. This workshop is
5 part of the Energy Commission's proceeding on the 2019
6 Integrated Energy Policy Report. We call it the IEPR
7 for short. And I'm Heather Raitt, the Assistant
8 Executive Director for Policy Development.

9 And folks who are unfamiliar with the IEPR, I'll
10 just give a little bit of background on it. It's a
11 report we do biannually, with an update on the off
12 years. It assesses major trends and issues facing the
13 state's electricity, natural gas, and transportation
14 sectors. And in it, we develop policy recommendations
15 for the governor and legislature to conserve resources,
16 protect the environment and public health, ensure
17 reliability and enhance the economy.

18 So, with that, just a few housekeeping items.
19 Today's workshop is being broadcast through our WebEx
20 conferencing system. So, it's being recorded. And we
21 also have a court reporter, who is developing a written
22 transcript. And both of those will be posted on our
23 website, the Energy Commission's website.

24 We do have a very full agenda. And I thank all
25 our presenters for being here today. And do request

1 that you try to stay within your assigned time limits,
2 so we can get everybody through.

3 Also, for the folks, for the presenters, if you
4 could introduce yourselves each time you speak, just to
5 say your name, it helps folks in the audience and WebEx
6 be able to follow along.

7 And we will have an opportunity for public
8 comment at the end of the day. You can sign up with our
9 Public Adviser; she's at the table at the entrance, to
10 let us know that you'd like to make comments at that
11 point.

12 And for folks on WebEx, you can use the raise
13 your hand feature to let our WebEx coordinator know that
14 you'd like to make comments. And if you, by any chance,
15 change your mind, you can also use that same feature to
16 let us know you don't want to make comments.

17 Written comments are due October 18th. And the
18 notice for this workshop and the meeting schedule gives
19 you information about how to do that.

20 All the materials for this meeting are posted on
21 the Energy Commission's website and information for how
22 to find them is on the meeting schedule.

23 And before passing the dais over to
24 Commissioners and our executives, we'll just hear a
25 quick safety announcement.

1 (Safety announcement broadcast)

2 MS. RAITT: Okay, thank you. Go ahead and pass
3 it on to Commissioners and executives, thank you.

4 CHAIR HOCHSCHILD: Well, thank you, Heather and
5 good morning to everyone, and welcome to today's
6 workshop. I especially want to thank my friend and
7 colleague, Commissioner Karen Douglas, who has shown
8 extraordinary leadership on this issue and, really, so
9 grateful to her for bringing her multitude of talents on
10 renewables and planning to this question of the future
11 of offshore wind in California.

12 And, also, to Mark Gold, the new Executive
13 Director of the Ocean Protection Council for, first of
14 all, being willing to come up and do the job from L.A.
15 and bring your talents to this great need.

16 I just want to open by saying that I spent a lot
17 of time in this room, a little over ten years ago, on
18 the design of the California Solar Initiative, which was
19 an audacious, bold approach to try to get a new industry
20 up to scale. And there was a lot of critics who called
21 that mythology.

22 You know, this year we hit one million solar
23 rooftops in California. And so, I want everyone here to
24 have an expansive sense of possibility about what we can
25 do with offshore wind. We are in a moment where new

1 technology, particularly in the clean energy space, can
2 really flourish and go mainstream. And everybody in the
3 room here has a role to play. Folks in the industry,
4 investors, policymakers. I see Admiral McGinn hiding in
5 the back there. He's been an incredible leader, you
6 know, from the military's perspective over his long
7 career, and now in the private sector. And so many
8 others here.

9 And so, we should all take that to heart and
10 work together, as best we can, to craft a pathway here.

11 Let me also add that as we're going, now, to 100
12 percent clean energy and folks are following what has
13 happened, it's been one year since we signed the 100-
14 percent law. Hawaii was first, we were second, and now
15 it's law in Washington, Nevada, New Mexico, Wisconsin,
16 Connecticut, New York, Maine, District of Columbia, and
17 Puerto Rico, and a number of other states are moving it
18 through. Almost 30 percent of the population of the
19 U.S. lives in a state that's committed to go to 100
20 percent clean energy.

21 But something else equally important is going
22 on, which is the services that the electric grid
23 provides are expanding. Right. We're adding about
24 20,000 electric vehicles per month to the roads in
25 California. We have 650,000 on the road today.

1 And in the building sector as well, since May of
2 this year nine cities and one county have adopted
3 natural gas bans on new construction or an
4 electrification preference. So, things like water
5 heating and passenger vehicles that were never conceived
6 of to be supported by electricity, now are. And that's
7 growing.

8 And so, the need for electricity and the need
9 for a diverse portfolio of renewables is really
10 important. That's why, one of the reasons I,
11 personally, am really excited about offshore wind is it
12 complements rooftop solar, and utility-scale solar
13 beautifully, and it adds to the diversity of our clean
14 power mix.

15 So, I want to thank everyone for being here
16 today and engaging in this discussion, and all the hard
17 work that the staff did to set this up.

18 And with that, let's go to Commissioner Douglas.

19 COMMISSIONER DOUGLAS: Well, thank you, Chair
20 Hochschild. And I've been excited about this workshop
21 for quite a while. It's such a tremendous opportunity
22 to bring in experts on offshore wind from, really, not
23 just around California or around the U.S., but from
24 around the world to come provide their expertise and
25 knowledge in this forum. And help inform the state as

1 we think about our best opportunities and paths forward
2 to take advantage of this tremendous, potential
3 renewable energy resource.

4 As the Chair mentioned, we have a 100 percent
5 clean energy goal. And I'm always quick, when I talk to
6 industry, to say, you know, there is so much renewable
7 energy that we're going to need to reach that goal. And
8 this is really, you know, about figuring out how you
9 best position and understand this market, and the
10 opportunities. And, also, the planning, and the
11 geography, and the stakeholder community, and the
12 science.

13 And how do we bring all of this together to
14 realize the tremendous opportunities that offshore wind
15 can present to California? Not only as we move to meet
16 our clean energy goals, but also in terms of investment,
17 and development, and jobs, and other benefits.

18 So, I'm really excited to hear from the
19 speakers. We're going to hear a global overview of
20 what's happening around the world. That information is,
21 you know, A, not easy to find. Or, it can be easy to
22 find, but you really have to know what you're looking at
23 and how to find it. And, B, it's constantly changing.
24 So, we're going to get a really up-to-the-minute
25 snapshot of what's going on around the world, and that's

1 very exciting.

2 We'll look at the state of play in California
3 and who's been doing what, and where. And I'm hoping to
4 hear recommendations from speakers and from the public
5 about what the state, in your view, should be doing or
6 should be doing more of as we move to understand and
7 benefit from the potential here.

8 And we'll have some specific discussions of
9 research. Research that has been done. Research that's
10 underway. There's actually a tremendous amount of
11 research in this area. I don't think we currently have
12 a handle on how we can benefit from everything that's
13 being done that we are aware of, or cognizant of, let
14 alone research that's being done in other parts of the
15 world that we might be able to build on and take
16 advantage of. So, I think we have work to do there.

17 And I'm hopeful that this forum will -- I know
18 it will be tremendously informative. But I'm hoping
19 we'll take from it some really specific action items,
20 ultimately, as we digest what we hear today.

21 So, thanks to the CPUC for hosting this event.
22 And I think that's my opening. Go ahead.

23 MR. GOLD: I'm Mark Gold and I'm Executive
24 Director of the Ocean Protection Council. And I'm glad
25 to be here, frankly, because it's a wonderful learning

1 opportunity for me. Personally, this is not an area
2 that I've spent a heck of a lot of time on. I've worked
3 a great deal on the oceans for the last 30 years. But
4 this will be a great opportunity to do so.

5 If you don't know the Ocean Protection Council
6 very well, we help set the coast and ocean policy for
7 the State of California.

8 As part of our own effort to support
9 California's transition to a decarbonized energy future,
10 we've been working closely with the CEC, as well as the
11 Office of Planning and Research, and State Lands
12 Commission to evaluate the environmental impacts of
13 offshore wind. And these are impacts to marine life and
14 cultural resources, in particular.

15 And, currently, we're even funding an effort
16 and, hopefully, it will get underway in the next month
17 or so, to start assessing these potential impacts.

18 So, we want to make sure that when we actually
19 do move forward -- I'm not saying if, I'm saying when we
20 do move forward with offshore wind, as part of
21 California's renewable energy portfolio, that we're
22 doing it right. And I think that's really important.

23 And so, our lead on energy, if you don't know,
24 is Chris Potter. He'll be on a panel later today. And
25 he has led our efforts working with the CEC, as well as

1 all other state agencies, with BOEM, and the BOEM Task
2 Force, the State Marine Renewables Energy Working Group,
3 BOEM, NOAA, and the NGO community. And so, he's been
4 doing that for the better part of the last 20 years or
5 so.

6 So, just glad to be here today and learn from
7 all these presentations. Thanks.

8 MS. CASAZZA: Good morning and thank you to the
9 CEC for organizing today's event. My name is Suzanne
10 Casazza and I'm a Legal and Policy Advisor for CPUC
11 Commissioner Liane Randolph.

12 Unfortunately, Commissioner Randolph and her
13 fellow CPUC Commissioners are attending the Utility
14 Supplier Diversity En Banc today, so are not present.
15 But I am representing her today and excited to hear
16 today's discussions and share with her what I learn from
17 the presentations.

18 And I do apologize in advance, unfortunately, I
19 will need to leave when we break for lunch, so I'm only
20 here for the morning session.

21 And by way of background and to offer some CPUC
22 perspective, Commissioner Randolph is the assigned
23 Commissioner in the Integrated Resource Planning
24 proceeding at the CPUC. An IRP, the CPUC sets out the
25 optimal portfolio of supply and demand side resources to

1 achieve our state's ambitious greenhouse gas emissions
2 reductions targets within the electric sector, which
3 you'll be hearing more about today from Branch Manager
4 Molly Sterkel.

5 The IRP process uses publicly available data and
6 engages in robust modeling to determine the optimal
7 energy infrastructure necessary to meet the state's
8 goals at the lowest cost. And we always want to make
9 sure we are including what we call candidate resources
10 in our modeling.

11 Candidate resources are available for our model
12 to select as part of our low carbon future portfolios,
13 as long as we have sufficient publicly available cost
14 and information data about the resource that can be
15 included.

16 And so, one of the challenges in developing
17 inputs and assumptions has been how to address
18 technologies like offshore wind, where some of the
19 available research and data collection is still ongoing
20 and in the nascent stages.

21 As an update and a bit of a preview, tomorrow
22 CPUC Energy Division analysts will be releasing our
23 proposed inputs and assumptions document for the 2019
24 and 2020 IRP planning cycle, which will provide an
25 update of our latest thinking. We're using a UC

1 Berkeley study and drawing from some source material
2 there about the potential for offshore wind.

3 Look forward to the discussions today and thank
4 you, everyone, for participating.

5 MS. RAITT: Great, thanks. So, we'll move on to
6 our first panel on global overview of offshore wind.
7 And our moderator is John Hingtgen from the Energy
8 Commission.

9 And just to note one change to the meeting
10 schedule, unfortunately Edgare Kerkwijk is not going to
11 be able to join us this morning.

12 So, John, go ahead. Thanks.

13 MR. HINGTGEN: Yes. The first panel will
14 discuss the global and national offshore wind market,
15 what has happened and what is currently happening
16 globally. Some of the useful lessons for California,
17 and some global cost trends and how they translate to
18 the California market.

19 The first speaker will be Walter Musial. Mr.
20 Musial is the principal engineer and wind platform lead
21 at the National Renewable Energy Laboratory.

22 MR. MUSIAL: Thank you, John. I'd like to thank
23 the Commissioners for inviting me here and for
24 organizing this. Good morning.

25 Since I'm the first speaker, I guess I'll set

1 the stage for the technology and why we think floating
2 offshore wind is important for the State of California.
3 I work at the National Renewable Energy Lab, so we're a
4 national lab working for the Department of Energy. And
5 whereas we're very excited about what's happening on the
6 emergence of offshore wind on the East Coast, we see
7 offshore wind as a national resource.

8 And we're just as excited about what could
9 happen here in California. But recognizing that the
10 technology here is going to have to be different than
11 what they're installing on the East Coast. We need
12 technology that is floating in the water, rather than
13 fixed to the bottom, because the water depths are deeper
14 in the Pacific as everyone -- most people here know.
15 But I want to say that out loud.

16 So, this is not just a new technology that is
17 the next thing in line. This is something that I want
18 to try to make a business case for. And we're -- I'm
19 controlling my slides. So, my first slide really deals
20 with why we think this is important and why we think it
21 can succeed.

22 When we look at any resource, we look at, well;
23 does it have enough capacity to make a difference? And
24 the answer is clearly yes. In floating offshore wind,
25 58 percent of the resource in offshore wind, nationally,

1 is in deep water. In California, it's more like 95
2 percent of that resource. So, and there's plenty of it.

3 We've found, and this is yet to be demonstrated
4 in a lot of places, but we've found that the siting
5 conflicts can be lower if we go into deeper waters,
6 further from shore, which is the case for floating
7 offshore wind. This matches very well with the wind
8 visions that the DOE has already created in terms of
9 their scenarios, and we've already stated that there
10 will be about 86 gigawatts, potentially, of offshore
11 wind, probably more. And we can't do that without
12 developing the floating resources.

13 We've shown in studies, and I can show you many
14 of them, where floating costs can be equal to or even
15 possibly lower than the costs for fixed-bottom systems,
16 once those technologies have been matured. And we're
17 seeing that realization globally as the new technology
18 is evolving out of Europe and Asia. And soon,
19 hopefully, in the Pacific here.

20 So, I think this all fits together with the
21 policy of the United States, all of the above, and
22 developing that will ultimately put these local regions
23 in a very good economic position. Not just to support
24 their own energy futures, but as an export market to
25 create technology for other regions.

1 So, this is the business case. It's very
2 strong. We can demonstrate those points.

3 And I just want to kind of move to the what's
4 really happening globally. And we look at this chart.
5 This came from a market report that we just recently
6 published, by NREL. And we update this information all
7 the time.

8 So, if you just look at what's happened, there's
9 only been a few demonstration projects put in the water.
10 All of them have been very successful, in my opinion.
11 And there's a lot of -- what we're doing is we're moving
12 to a new phase of pilot -- or, from prototype scale
13 projects to pilot scale projects, which will further
14 demonstrate not just that the technology works, but the
15 technology can be commercialized.

16 And so, we're in this kind of proof-of-concept
17 phase right now, that you can see these turbines. But
18 the next phase is this pre-commercial phase. The pilot
19 scale, ten times bigger. Technology that is
20 representative of what we might be putting into the
21 water soon, but not at the same project scale. And
22 these projects have all the attributes that we need, but
23 they can't demonstrate the LCU, the levelized cost of
24 energy, because they're too small in size.

25 But they will demonstrate, for investors, the

1 capability that we need to move on to the commercial
2 phase, which is actually in the process of -- some of
3 the tenders are being planned right now. As you've seen
4 in California, we have call areas. They're not lease
5 areas, yet, but they soon will be. And in Europe, the
6 same thing is happening. So, those areas will become
7 the first commercial projects as we go forward.

8 We've done quite a bit of research and gathered
9 together cost information. This chart shows the cost
10 data that we've accumulated from multiple sources for
11 floating technologies, including some of our own models
12 that we can verify. These cost trends are moving down
13 faster than we thought.

14 To be honest, I did a report on California just
15 three years ago, which is now obsolete because there's
16 new information that's come in to tell us that the costs
17 can be even lower than what we thought they were.

18 So, we're looking at targets somewhere around
19 \$60 per megawatt hour for offshore wind. And that's
20 using the information that we have in the current
21 models. So, we're very optimistic about those costs
22 even continuing to come down beyond that. So, these
23 curves are -- that big, blue line is kind of the
24 composite line of all those different projections that
25 come from various sources around the world.

1 We just did a recent cost study, and this is my
2 last slide, on Oregon. And this is, you know, a
3 neighboring state, of course, with similar wind
4 resources. And we looked at five sites. Each of those
5 curves represents a site. Based on our projections,
6 these sites in Oregon can come down to --
7 hypothetically, if we look at those sites around that
8 target, \$60 per megawatt hour for levelized cost of
9 energy.

10 So, we're optimistic that these prices, these
11 costs rather, can be sustained with the technology
12 trajectories that we're on right now. And I think
13 that's the message I want to leave you with, and go to
14 the next speaker, I guess.

15 This is our boat trip out to Block Island.

16 MR. HINGTEN: Okay, if there are any questions
17 from the Commissioners, we can take those or we'll move
18 on to the next speaker.

19 Okay, our second speaker is Kevin Banister.
20 Kevin is the Vice President of Development for Principle
21 Power.

22 MR. BANISTER: Thank you. Thank you, John, and
23 thanks very much for the opportunity to speak at the
24 workshop. It really is exciting. And I think
25 especially coming on the tail of the last three days

1 that we've had also here in San Francisco, it really
2 does feel like a moment where people are starting to
3 embrace the opportunity, and see what's possible, and
4 start to get excited about doing the hard work that will
5 enable offshore wind to reach its potential here in the
6 Pacific.

7 So, my name is Kevin Banister, with Principle
8 Power. The company's actually headquartered here, just
9 across the Bay in Emeryville. So, though it's a global
10 industry, we do have the makings of a California born
11 and bred industry.

12 This slide is actually a little bit outdated.
13 We talked about growth and our company now has something
14 more like 90 employees. But again, our headquarters are
15 here, just a few miles away.

16 We have strong backing from global energy
17 players. And I think one of the reasons we like to
18 reference the backing that we have is it's really just a
19 demonstration of the quality and the capability of the
20 backing that the overall industry has, and the type of
21 enthusiasm that the offshore wind industry has received
22 from capially-rich, industrial players who know how to
23 get things done in the ocean.

24 The WindFloat is a proven technology today, on
25 the back of a five-year deployment that concluded a

1 couple years ago off the coast of Portugal. But, of
2 course, the WindFloat is not the only technology that
3 has proven its technical viability. I think we have
4 some of our friends in the room from Equinor and IDEOL,
5 in particular, who also have some very successful
6 deployments that we've been excited to see.

7 I'll talk a little bit about our project
8 pipeline, because I think it's representative of some of
9 the status that Walt was referencing. Really, how we're
10 moving from precommercial projects and now, as a
11 company, are starting to look to the commercial scale
12 opportunities, really around the world.

13 So, here is a picture of the WindFloat offshore
14 Portugal. Well, not quite offshore. Very nearshore in
15 Portugal. That's an 8.3-megawatt turbine, so from MHI
16 Vestas. This is a, you know, state-of-the-art flagship
17 type of product from MHI Vestas. And we think it's a
18 really great indication of the comfort, now, that the
19 turbine suppliers even are having in these floating
20 structures that our project has been able to use one of
21 those turbines.

22 So, really quickly, just to talk about some of
23 the design emphases that we've made with the WindFloat,
24 because I think it's representative, again, of the type
25 of potential that floating offshore wind can have here

1 in California. We've designed -- our design is
2 prioritized, really, the reduction of costs and risks
3 throughout a project's lifetime.

4 So, we've tried to focus on developer preference
5 in terms of the siting flexibility that floating
6 structures can provide. And then, even with turbine
7 agnosticity [sic]. We want the developer to be able to
8 choose which turbine they use for a project.

9 And then, with all phases of the project we've
10 taken into consideration that the cost and risks -- if
11 we want to reduce cost and risk for a project, we need
12 to reduce cost and risks through all the phases of the
13 project. So, this structure has inherent stability, and
14 a shallow draft both at port and then in transit to its
15 location.

16 The key side final assembly and commissioning
17 means that with a technology like this we can affix the
18 turbine at key side, and then tow out the fully
19 assembled unit. So, that means that we don't need the
20 heavy lift vessels for the risky, challenging operations
21 offshore, which is especially relevant here in the
22 deeper water. And, these vessels just simply aren't
23 available currently on the West Coast of the U.S.

24 And then, because of the inherent stability of
25 the system, there's a low pretension requirement for its

1 mooring, meaning that the commonly available vessels
2 that we do see here, prevalent in the West Coast can
3 support deployments for this technology.

4 And then, really, it's sort of an O&M revolution
5 brewing here because of the opportunity to tow the unit
6 back to shore and conduct whatever large correctives
7 might be required, maybe that require a large crane, or
8 something like that.

9 The points also being that the developer can
10 always make an economic choice. You can do the smaller
11 maintenance in situ, and then tow to shore for the
12 larger requirements that inevitably will arise in a
13 commercial scale project over its lifetime.

14 To give a sense of the type of acceptance that
15 floating wind is starting -- has really been receiving,
16 we have worked with a lot of the different
17 classification societies around the world. And, of
18 course, receiving class approval is a prerequisite to
19 receive financing for a project, and often even to build
20 the project. So, we've been successful with the various
21 players in the world.

22 Under different conditions, using different
23 turbines, under different regulatory requirements. Once
24 again, really just an indication of the global
25 applicability of these floating wind solutions.

1 Currently, we are under construction or under
2 advanced stages of development and design for three of
3 the precommercial projects that Walt referenced. You
4 saw a picture of one of our units for the WindFloat
5 Atlantic project. That's really being installed today,
6 more or less, off the coast of Portugal. Ultimately,
7 that will be a 25-megawatt project, again featuring 8.3
8 megawatt turbines.

9 Next year, we'll be deploying five additional
10 units off the coast of Scotland, featuring 9.5 megawatt
11 turbines. So, again, the state-of-the-art turbines.
12 Once complete, that will be the world's largest floating
13 offshore wind array.

14 And then, in the following year, we'll be
15 deploying an additional three-unit project off the
16 Mediterranean Coast of France.

17 So, by the end of 2021, our company alone will
18 have 100 megawatts of projects installed. And,
19 obviously, we're excited about the other sort of players
20 in this field who have their own precommercial project
21 plans under development and underway.

22 I mentioned our desire to be turbine agnostic.
23 the projects that we're developing today look to be
24 using the MHI Vestas machine, but we've been successful
25 developing designs with, really, the world's premier

1 turbine suppliers. This is an important consideration
2 for developers who often -- they may have some sort of
3 preferred contractual status with a developer. It may
4 be that at particular sites one turbine will have a
5 better performance for one reason or the other. And so,
6 this is a key part of the design for us is being able to
7 work with any turbine supplier, and we've done that.

8 I'll close here quickly but wanted just to
9 mention that California is in line here to become a part
10 of the -- genuinely in line to become a part of the
11 global offshore wind movement, and really stake the
12 leadership position that Walt briefly referenced.

13 So, we're a part of the Redwood Coast Energy
14 Authority's proposed project off the coast of Humboldt
15 County. We're really excited about the potential there.
16 Really excited, one, about the wind resource. Two,
17 about the potential for the port to be developed and
18 become a real center of economic activity for the
19 northern part of the state.

20 Also, really excited about the existing sort of
21 ecosystem that exists up in the northern part of the
22 state as it relates to the Schatz Energy Research Center
23 and Humboldt State University. Really, a remarkable
24 opportunity for investments to follow investments that
25 have already been made and create a standard of

1 excellence and, perhaps even, you know, the Pacific
2 capital of floating offshore wind right here in
3 California.

4 To reinforce some of Walt's message about costs,
5 these are projections that we've made. The dots on
6 here, it all comes from Walt, actually. The dots are
7 our project prices, the strike prices from European
8 projects that have been announced, so the dots are real.

9 The green band is our projection for where costs
10 will be going with the WindFloat structure.

11 So, just to say that we agree with Walt's
12 analysis about where costs are going for floating
13 offshore wind.

14 So, just to wrap up, floating wind is
15 technically viable, it's been proven in WindFloat
16 projects and by other companies' projects around the
17 world. The WindFloat addresses the industry's bottom-
18 fix foundation challenges. Challenges that cannot be
19 overcome here in the West Coast because of water depth.
20 Companies like Principle Power are already executing on
21 these precommercial projects. In the next few years,
22 our company alone will have 100 megawatts of projects
23 installed, not even to mention the other project that
24 are underway that will -- that are also important for
25 the market.

1 And then, we expect floating wind to be deployed
2 commercially by the end of the decade. And when I say
3 by the end of the decade, I really mean globally. There
4 are clearly opportunities in California and elsewhere
5 for commercial deployments long before the end of this
6 coming decade, in the middle of the decade. Our
7 expectation is that by the end of the next decade
8 floating wind really will be a key part of the energy
9 infrastructure around the world.

10 Our view is that the key for market leadership
11 is to advance to the next scale projects and to prepare
12 for the development of utility scale commercial
13 projects.

14 Thank you very much.

15 MR. HINGTGEN: Our next speaker will be Ross
16 Tyler. Ross is the Executive Vice President of the
17 Business Network for Offshore wind.

18 MR. TYLER: Good morning. Thank you very much.
19 I might just take this down because I'm on the camera
20 and I'm not Heather.

21 I'd just like to thank the Commissioners for
22 including the Business Network for Offshore Wind. Let's
23 just go to the beginning in today's event. So, thank
24 you very much.

25 So, the Business Network for Offshore Wind is a

1 not-for-profit organization and we focus exclusively on
2 offshore wind. We do not look at any other renewable
3 energy's technologies.

4 Our main premise has been to educate, inform and
5 -- the business community about the opportunities to do
6 with offshore wind. And our whole focus is looking to
7 develop and grow a strong, efficient, U.S.-based
8 offshore wind supply chain with which to build and
9 maintain the offshore wind farms of the future.

10 We're working in 11 states. We've held, in the
11 last six years, 42 different events relevant to offshore
12 wind. We have over 330 members. And the members range
13 from the developers, some of which are in this room,
14 some of the technology developers and all the way
15 through to supply chain groups that can be involved in
16 vessels, or survey work. So, I think we have the full
17 suite of representation for the supply chain.

18 So, I'd like to just start with this slide to
19 sort of give a bit of global context, really, because
20 offshore wind, and I'm talking primarily of fixed bottom
21 offshore wind, has been Eurocentric for the last 30
22 years. And it's taken the 30 years to produce about 20
23 gigawatts of offshore wind.

24 This slide really, I think, illustrates the
25 future. And we should be thinking about offshore wind,

1 both fixed bottom and floating offshore wind in a global
2 context. We're no longer looking at offshore wind in
3 silos of being European, or being U.S., or being Asian.
4 But we need to be thinking of it on a global basis.

5 And this has come from IRENA, the International
6 Renewable Energy Agency. And it's projection is that in
7 the next 30 years globally we're going to go to a total
8 of 521 gigawatts. So, I think the individual years are
9 really not so important, but the main message here is
10 that globally we are about to accelerate and we need to
11 be thinking about this global environment as we plan and
12 work forward.

13 This slide, the next two slides are courtesy of
14 NREL. So, thank you, Walt, for you and your team's
15 work. And this basically shows the global offshore wind
16 pipeline by the different continents. And you can see
17 here that we had last year a growth of 42 gigawatts
18 within the pipeline, which exceeds what the Europeans
19 actually installed in the 30 years.

20 So, you can see we have this huge potential.
21 And North America has its place and should continue to
22 have its place going forward.

23 This is, again, from NREL and shows the forecast
24 predicted to 2030. And you can see there are two sets
25 of data that's leading to a very high value of gigawatts

1 globally, whether it's 154 or 193, the message is we're
2 on a high growth rate.

3 So, just to quickly look at where we stand as a
4 nation, on the right-hand side you can see, basically,
5 the map of the areas that have either been leased by the
6 Bureau of Ocean Energy Management in federal water, or
7 are about to be leased, and which of the developers have
8 secured those leases and are already underway with the
9 fixed bottom offshore wind developments.

10 And then, on the left-hand side, as you can see
11 off the coast of California and Hawaii, we have areas
12 that have been identified and have yet to be leased but
13 are in the process with Bureau of Ocean Energy
14 Management.

15 I think it's important to also remember that we
16 do have, in addition to the West Coast with its deep
17 oceans, and it's through this development of floating
18 offshore wind technology that we are able to now include
19 the West Coast and Hawaii. But also, the Gulf of Maine
20 is looking at bringing in floating offshore wind.

21 So, the supply chain considerations, which is
22 our area of expertise, obviously there's going to be
23 some similarities to the fixed bottom of anything that's
24 above the water. Except for the hull. Obviously, the
25 hull, the floating platform has to be a replacement to

1 the fixed bottom foundation. We also need to be
2 considering a supply chain involving the mooring lines,
3 the anchor systems, and the dynamic subsea cables.
4 These are new elements to the supply chain and we need
5 to be thinking about sourcing these in the global
6 context.

7 So, some of the supply chain drivers. What I'd
8 like to just point out is because of this global growth
9 that we're experiencing and witnessing, the traditional
10 suppliers, such as some of the turbine manufacturers,
11 are finding that they have a very healthy pipeline. So,
12 we should not be thinking that just because we suddenly
13 received all our permits that we can now make an order
14 and we can receive our turbines by next Tuesday.

15 Right now, some of the predominant turbine
16 manufacturers have a healthy order book that exceeds
17 three years. So, we need to be thinking in advance for
18 how to fulfill our supply chain.

19 So, this slide basically illustrates that if we
20 are thinking small, and small scale, that it makes
21 commercial sense probably to buy an import from
22 elsewhere. If we go to scale, and I would say that
23 California has the scale and the potential scale, then
24 we also, California has the potential to start thinking
25 about manufacturing and taking a strong ownership in the

1 supply chain presence. And that supply chain presence
2 should not be thought of just to supply the floating
3 offshore wind farms off its coast, but along the entire
4 West Coast, and Hawaii, and the rest of the world.

5 So, in the supply chain, apart from importing or
6 manufacturing, we need to be thinking of ports. I think
7 we've all heard about the ports all week and it will be
8 a continued part of the discussion because we need to
9 have the facilities with which to either do the
10 manufacturing, or do the assembly and, certainly, the
11 deployment.

12 And on those ports, we're going to have to have
13 the right equipment. The turbines are getting larger.
14 The towers are getting taller. And as the main
15 components get larger, then I would suggest that some of
16 the floating platforms will also have to increase in
17 size.

18 And so, we need to have the right space. We
19 need to have the right equipment with which to manage
20 this changing supply chain. And, furthermore, we need
21 to have the right people, who are trained and skilled to
22 do the right functions.

23 Just a quick show of what we are doing at the
24 Business Network. We are -- we have a portal online,
25 which we're calling WindLink. And it's a form of a

1 registry, so businesses are able to come in and
2 basically self-register. There are over 560
3 subcategories that actually helps define what the
4 company can do. And as you can see, as the activity on
5 the East Coast, the Northeast Coast has built up with
6 the fixed bottom foundations, we're getting the
7 beginnings of a resource both in terms of primary,
8 secondary, and tertiary supply chain.

9 And I would suggest that as offshore wind starts
10 to take further presence off the West Coast, California
11 will start to look very similar.

12 So, on a global basis, again I would just like
13 to point out that we need to be thinking beyond just
14 having floating offshore wind, or offshore wind in
15 general supplying to replace existing electricity needs,
16 as we transition to a cleaner form of generation. But
17 we need to be thinking about the future in terms of
18 future demand for electricity.

19 And one of them, as you're all aware, I'm sure,
20 is that we have electric vehicles in terms of a
21 potential shift in transportation. But I also would
22 like to just emphasize or highlight that there is a
23 growing interest, particularly in Europe, to use
24 floating offshore wind to generate electricity to
25 perform electrolysis for the generation of hydrogen and

1 the hydrogen market could well be a growing opportunity
2 with which offshore wind can be part of.

3 And just as Commissioner Douglas mentioned about
4 research and development, my understanding is that the
5 European Union has put \$15 billion towards research for
6 the hydrogen market.

7 And that's all I have.

8 MR. HINGTGEN: Okay, thank you. Our final
9 speaker on this panel will be Robert Collier. He's a
10 Policy Researcher at the UC Berkeley Labor Center.

11 MR. COLLIER: Good morning. I'm here to speak
12 of the results of a recent study that the UC Berkeley
13 Labor Center carried out under a grant from the Ocean
14 Protection Council, thank you, in conjunction with E3.
15 It was essentially a two-part study. One part that we
16 conducted was a workforce analysis of offshore wind
17 results in Europe and around the world, the East Coast,
18 and policy options for California.

19 The other half, which E3 will discuss in the
20 next panel, was regarding grid integration.

21 So, regarding our portion, this is the report
22 that just came out. Briefly, there are previously
23 published projections that offshore wind, if built out
24 to a max of 18 gigawatts, could create as you see the
25 numbers on the screen, the 13,000 direct jobs in

1 manufacturing and in construction, 4,000 odd jobs in
2 O&M.

3 But we found, from looking at the results of
4 offshore wind in Europe especially, the UK especially,
5 that projections are useful, but by no means accurate
6 predictors of final performance.

7 So, rather than looking at the strict numbers,
8 it's better to look at the -- it's perhaps more useful
9 to look at the qualitative issues raised from other
10 experiences.

11 Britain, the world's number one in offshore
12 installation, has created about 7,300 jobs in the
13 offshore wind sector. This has been a great
14 disappointment to British Labor Unions, who expected
15 previous projections of much higher employment and a
16 much more localized supply chain.

17 Britain has taken a relatively hands-off laissez
18 faire approach to the sector, assuming it would --
19 market forces would drive job creation. It has
20 generally not done so. The British government is now
21 playing catch up. It released a wind sector deal, which
22 is the term they call a new plan, sectoral plan, a
23 government/industry alliance, in which the government
24 will spend about \$360 million rehabbing ports, et
25 cetera. It has rehabbed the Port of Hull and drawn a

1 Siemens Blade Factory. So, the British government is
2 now playing catch up with a much more interventionist
3 stance to compensate for its earlier, more hands-off
4 strategy.

5 Germany has taken a more interventionist
6 strategy. For example, the Port of Bremerhaven heavily
7 developed with government support. However, it has been
8 successful in creating about as many jobs as Britain has
9 in total, in Bremerhaven. But recently it --
10 Bremerhaven essentially bet on the wrong horse. The
11 companies that it drew to the port are now going
12 bankrupt and only one is left.

13 So, Germany shows that intervention works some
14 of the time, but not all of the time.

15 Denmark, a successful example of direct, heavy
16 sustained government intervention over many decades, is
17 quite successful in terms of, again, about as many
18 offshore wind jobs as Britain as a whole. Heavily
19 export oriented. And it has created an industrial
20 cluster and a port cluster especially around the Port of
21 Esbjerg.

22 China, of course, as with pretty much any
23 industry is in a class by itself. Just in the past few
24 years it has risen exponentially to become the world's
25 number two and in the coming years, next few years it

1 will be the world's number one. Currently focused on
2 the domestic market. But it is widely expected to
3 become an exporter.

4 So, even though California is 5,000 odd nautical
5 miles from China, with the associated shipping costs, we
6 cannot expect automatically that supply chain jobs will
7 be located in California. China and other nations will
8 be stiff competitors.

9 So, the global, you know, the offshore wind
10 industry, as many have said, is indeed global. And
11 California, yes, we're far away, but we are not an
12 island. We must think of how we compete, what we offer
13 against other locations for that supply chain.

14 Briefly, the U.S. experience, of course, there's
15 only 30 megawatts of offshore wind in the water off of
16 Block Island, Rhode Island. But as you know, the East
17 Coast states are going gangbusters, have committed to
18 over 20 megawatts -- 20 gigawatts, sorry, by 2035. And
19 they are in a race for developing ports, spending state
20 government money to developing ports. Each state is
21 hoping that their port will attract factories and
22 activity.

23 It's important to understand that the regulatory
24 agencies of the East Coast states, most of them have
25 greater legal authority than those in California, CPUC,

1 CEC, CAISO, to directly impose labor standards and local
2 content requirements on offshore wind developers.
3 Largely because NYSERDA is an off taker. NYSERDA has
4 the power to impose conditions on its contracts. Ditto
5 New Jersey. Ditto Connecticut.

6 So, you see prevailing wage PLA requirements are
7 in New York, New Jersey, Connecticut, Maryland. And the
8 local content requirements in New York, Maryland and New
9 Jersey. Heavy investment in ports development in all
10 the states.

11 California would have to work more indirectly on
12 imposing local content, even if that's not exactly what
13 it's called, and high labor standards if the state were
14 to take a high road approach looking to maximize
15 benefits to labor and communities.

16 And I'm here, essentially stealing from a report
17 that the Labor Center produced for the -- where are we
18 here? For the Workforce Development Board. It is about
19 to be released, finally, after intensive interagency
20 review. It essentially reviewed the entire A to Z state
21 employment policy for workforce impacts and policy
22 implications and produced an exhaustive list of policy
23 recommendations.

24 There are many tools. I won't repeat them.
25 From CWAs, CBAs, responsible procurement policies,

1 skills standards, such as SB 54 for the state's
2 refineries. Training partnerships, the new High-Road
3 Training Partnership could be adapted, would be an ideal
4 candidate for offshore wind. Not just the state, but
5 municipal power agencies, such as LADWP, have a great
6 opportunity to transit power plants, such as the plants
7 that Garcetti wants to close, Harbor, Haynes, and
8 Scattergood, to offshore wind.

9 As I mentioned, sort of more details than you
10 ever want to read are in this upcoming report,
11 forthcoming report that should be out in the next month
12 or two.

13 People, everyone has mentioned sort of the
14 Gordian Knot is the ports and the supply chain.
15 California, of course, lacks a wide variety of ports
16 that don't have clearance problems, bridge problems
17 because the fully assembled platforms and turbines would
18 have to be towed erect out from the port to the ocean.
19 For example, that eliminates the San Francisco Bay Area.
20 The Golden Gate Bridge. Much of L.A. Long Beach Ports.
21 Port directors, when I interviewed them, said -- of
22 active ports said, yes, we'd be glad to move your stuff,
23 but not to lease hundreds of acres for months or years
24 at a time. We do through put. We move things. We
25 don't have static manufacturing operations.

1 So, identifying port space will be tough.
2 Creating a constellation of possible available ports
3 will take some active proactive work and possibly some
4 bending of elbows by regulatory agencies and
5 politicians, state leaders.

6 But, you know, the great potential, which is a
7 fascinating example of, you know, how ambitious can we
8 be, is the Port of Humboldt Bay. Which, as you know, is
9 hundreds of acres of industrial wasteland with poor land
10 transportation, a port and docks that are crumbling.
11 You know, could that become the Port of Esbjerg in
12 Denmark, which as you see which is the main, the largest
13 single port for offshore wind in the North Sea.

14 The Danish government has spent hundreds of
15 millions of Euros developing that port. The Danish and
16 local governments.

17 So, again, it would take unusually proactive,
18 you know, industrial policy by the State of California.
19 That's not something that the State of California
20 normally does, pick winners, industrial policy.

21 But if you wanted to go down that road, the road
22 of offshore wind, that's really the direction you're
23 going to have to go.

24 So, finally, floating platforms, I'll just leave
25 on the screen. One has to be aware that not all

1 platforms are alike. Matter of fact, they're all very
2 different in terms of their workforce impacts, the
3 amount of labor that they would need in California.
4 Some would be almost entirely imported. Some would be
5 built in California. Some would need major port rehabs
6 and, you know, hundred-million-dollar port renovations,
7 others would take very little.

8 So, be clear about the different impacts of
9 platforms.

10 But, generally, the overall message that I think
11 everybody here at this panel and in the three days of
12 conference that we had earlier this week, go big or go
13 home. This will require a major commitment by the
14 state, which is not the sort of thing that the state
15 regulatory agencies or politicians want to do. But that
16 is what is needed. So, I think the choice is clear.

17 The potential for workforce benefits, community
18 benefits is amazing, but it requires a significant
19 gamble and commitment by the state. Thank you.

20 MR. HINGTGEN: Okay, if the Commissioners have
21 some questions for the panelists?

22 COMMISSIONER DOUGLAS: I've got a couple and
23 others may, as well.

24 So, we -- unfortunately, our speaker who was
25 going to speak in more detail to the Asian market, I'm

1 told had to get to Singapore.

2 MR. HINGTGEN: He wasn't able to attend, yeah.

3 COMMISSIONER DOUGLAS: Correct. But I did have
4 some chance to look at his presentation and another one
5 from a representative from Japan, and those were
6 docketed.

7 I just wondered if anyone, if Walt, or anyone
8 else on the panel can speak in a little more detail to
9 the scale and anticipated timeline of commercial
10 projects in Asia?

11 MR. MUSIAL: I don't have that data in front of
12 me. We did report that, a lot of that in the market
13 report that was published in August. And I would refer
14 you to that document.

15 The trends that we're seeing, though, indicate
16 that China is probably going to be the dominant player
17 in the world over the next decade. And so, we'll see
18 China taking more and more market share, and probably is
19 the -- I wouldn't say the technology leader, but the
20 technology coming from China will be driving a lot of
21 the new developments. So, I think we should be watching
22 that very carefully.

23 COMMISSIONER DOUGLAS: Super, thank you. And
24 anyone else on that?

25 MR. TYLER: I'd just like to add --

1 COMMISSIONER DOUGLAS: Is your microphone on?

2 MR. TYLER: Thank you. I'd just like to add
3 that South Korea is also looking to put something in the
4 water of scale. They're looking to put a gigawatt of
5 floating offshore wind in the water very soon, I believe
6 2022. And I think that just echoes what Robert said,
7 which is go big or go home.

8 COMMISSIONER DOUGLAS: And, Ross, since you
9 spoke up, I had a question for you, too. I was
10 intrigued with your mention of the research in Europe on
11 hydrogen. And I wondered if you could talk a little bit
12 more about what's happening and how they are relating it
13 to offshore wind. Presumably, they're using offshore
14 wind to make renewable hydrogen.

15 MR. TYLER: So, I'm not -- I know about the
16 European Union investment just because I've shared a
17 panel with a gentleman who's from the European Union.
18 And he was giving an outline of how the EU is looking to
19 move forward with different R&D, and hydrogen was a
20 specific line item that they're looking at. And you are
21 right, they are looking at using offshore wind with
22 which to create the electrolysis, and to try it. And I
23 think there are some developers. I'm not sure if
24 they're in the room, but there are one or two developers
25 that are based in Europe, that are actually looking to

1 do this on a trial basis. Maybe my colleagues on the
2 panel know more about it.

3 COMMISSIONER DOUGLAS: All right. Well, we have
4 a -- go ahead.

5 MS. RAITT: Sorry, Commissioner, this is Heather
6 Raitt. I just want to do a time check. This is when
7 we're scheduled to move on to the next panel. But, you
8 know, if you have pressing questions, I'm just going to
9 put that out there.

10 COMMISSIONER DOUGLAS: I might have one or two
11 more, but I'll try to be quick. I think we have a
12 speaker from the Danish Energy Agency. And I know we
13 had some conversation about that, so maybe he can speak
14 to that a little bit as well.

15 It's interesting because as we move towards a
16 zero-carbon economy, we have to get more creative about
17 how to use renewable electricity to supplant fossil
18 energy through the economy. And, of course, generating
19 renewable hydrogen is a possibility and it also -- you
20 know, hydrogen can be transported in different ways than
21 electricity. So, anyway, I'd love to hear more about
22 that later.

23 I just had maybe two more questions. A question
24 for you, Walt. We were hoping to be able to see more --
25 you know, the maps that NREL has created on the offshore

1 wind resource off of California are very useful and
2 that's what everyone still tends to look at.

3 But we were wondering the degree to which we can
4 get more hourly data, so that we can see not only where
5 the resource is stronger, but hour to hour how it
6 varies. Can you speak to that at all?

7 MR. MUSIAL: Yeah, and I hope that there's a
8 speaker later to talk to this. But we've been very
9 fortunate to get some good support from the Bureau of
10 Ocean Energy Management to look at the resource. Again,
11 we have a new study that's going to begin, as we speak.
12 I think we just -- we just got the funding last week.
13 And we'll be looking at the resource in California
14 extensively, down to a five-minute time series, all the
15 way to the annual averages.

16 The resource assessments that have been done in
17 the past probably need improvement. They used an older
18 technology. They didn't have bias corrections. They
19 didn't have the best ensemble averaged approach, I would
20 say, to that data.

21 And we're going to do a much deeper dive into
22 the resource this time and, hopefully, we'll get the
23 information that's necessary. Not just for predicting
24 annual averages, but for actually integrating it with
25 the grid. You know, I could go on, but I think that's

1 probably enough to know for that. Thanks to BOEM for
2 that.

3 COMMISSIONER DOUGLAS: That would be
4 exceptionally helpful. Do you have a time frame? So,
5 you just started, right?

6 MR. MUSIAL: We're just starting now, yeah. I
7 think that, you know, to put a timeline on that, by next
8 summer we should have some results for that.

9 COMMISSIONER DOUGLAS: Okay, great. Thank you.
10 I just had one more question and then I'll stop.
11 We started the panel five minutes late, so we're only
12 going over a little bit.

13 Just for Robert, you know, I appreciated your
14 presentation. You've done some really good work in the
15 area of trying to understand, you know, ports, and
16 workforce, and local content, and all the rest. And,
17 you know, you made a reference to us needing to do more
18 to understand the constellation of what could be done at
19 different California ports, and sort of the art of the
20 possible.

21 Because as you note, a number of our largest,
22 busiest ports don't really have the space for industrial
23 activity.

24 So, do you have any further recommendations for
25 how to maybe get a handle on some of those questions?

1 MR. COLLIER: Yes. To be candid, one of the
2 parts of our report that dropped by the wayside was
3 going to be a detailed port-by-port analysis. Not even
4 analysis, just reporting. Of talking to each single
5 port authority director, and asking how much acreage do
6 you have? What type of acreage? Where is it? How
7 about water acreage for putting a barge? Do you have it
8 for a long-term lease? And go port by port.

9 And I think what's -- really, no analysis is
10 needed, but that sort of data I think has not been done.
11 Certainly, the only ports analysis was done by Mott
12 MacDonald in 2016, I believe it was, was more of a broad
13 overview of port needs. But I think you just need
14 somebody to go port by port, talk to the port directors,
15 say what do you got? Where do you have it?

16 And I think the results you're going to get are
17 going to be kind of scary because there's not a whole
18 lot there, really.

19 COMMISSIONER DOUGLAS: Yeah, they're going to
20 show some real constraints.

21 MR. COLLIER: They're what?

22 COMMISSIONER DOUGLAS: They're going to show
23 some real constraints without a doubt.

24 MR. COLLIER: Yeah. So, what then you do with
25 that information? I mean, this isn't rocket science.

1 But I think you need that information port by port.

2 That would be my recommendation.

3 COMMISSIONER DOUGLAS: Okay. The last question
4 for you. You showed a chart with local content analysis
5 for different kinds of platforms only, right?

6 MR. COLLIER: Yeah.

7 COMMISSIONER DOUGLAS: And that was just based
8 on the materials that they're made out of or --

9 MR. COLLIER: Yes. And the production methods
10 that the developers have showed, and many of them have
11 videos, helpfully, about their methods.

12 COMMISSIONER DOUGLAS: Okay. Yeah.

13 MR. COLLIER: And so, I got the Northern
14 California Director of the Building Trades to help me in
15 analyzing what type of specific trades would be needed
16 and how much labor would be needed for each of these
17 specific production methods.

18 COMMISSIONER DOUGLAS: Okay.

19 MR. COLLIER: And, again, the differences are
20 marked.

21 COMMISSIONER DOUGLAS: Awesome. Thank you.

22 MR. COLLIER: Thank you.

23 COMMISSIONER DOUGLAS: Those are all my
24 questions.

25 MS. RAITT: Okay, great, it sounds like we can

1 thank our panelists for being here. And thank you,
2 John, for moderating.

3 And we'll move on to the second panel on
4 Offshore Wind in the California Market: Opportunities
5 and Constraints.

6 And so, folks can -- if the panelists could come
7 and make your way to the front tables and we'll get
8 ready.

9 (Pause)

10 MS. RAITT: Okay. I think, since we do have a
11 full day, we'll just go ahead and jump into our next
12 panel. If everyone can find their seats?

13 So, this panel is being moderated by Scott Flint
14 of the California Energy Commission.

15 And I just wanted to note that in a few cases
16 we've received some updated presentations, or a new
17 presentation, and so we will be updating those on our
18 website probably tomorrow, but that we will have it all
19 up there.

20 So, take it away, Scott. Thank you.

21 MR. FLINT: Thank you, Heather. Good morning
22 Commissioners, executives and the participating
23 audience. Sorry my back's to you, but we'll probably
24 use the podium to bring you more in.

25 So, this panel is on Offshore Wind in the

1 California Market: Opportunities and Constraints. And,
2 really, today is all about identifying the opportunities
3 and talking about how we start to deal with the
4 constraints that are identified. As we start looking at
5 offshore wind, more questions are coming up than
6 answers, immediately.

7 So, our panel today, through the panel
8 discussions today listen for opportunities and
9 constraints as we hear about what we're already starting
10 to think, what we need to think about, and how we start
11 thinking about integrating offshore wind into our state
12 energy planning efforts.

13 So, first, we have Terra Weeks, Senior Advisor
14 to Chair Hochschild, of the California Energy
15 Commission. She'll be followed by Sandy Hull from
16 Energy + Environmental Economics, E3. Next will be Alla
17 Weinstein from Castle Wind.

18 Folks on the WebEx, please note that that's a
19 change in speaker order. Sandy will go before Alla.
20 Your agenda still has the old order.

21 Then, next, we have Mark Severy from the Schatz
22 Energy Research Center at Humboldt State University.
23 Followed by Molly Sterkel from the California Public
24 Utilities Commission. Then, Neal Millar from the
25 California Independent System Operator. The next is

1 some other guy from the California Energy Commission.
2 I'll be giving a brief presentation and trying to time
3 myself. And then, to bring us to close for the panel,
4 Nocy Sumait from the Federal Bureau of Ocean Energy
5 Management.

6 So, speakers, you have about eight minutes and
7 I'll try to hold you to that because we have a big
8 panel. You can speak from the table or from the podium,
9 whatever you're most comfortable with.

10 MS. WEEKS: I'll do podium. Oh, I think this is
11 your phone. Someone's phone is up here.

12 I am Terra Weeks, Senior Advisor to Chair
13 Hochschild at the Energy Commission. I'm also serving
14 as Program Manager for SB 100 Joint Agency Report across
15 agencies.

16 And so, first, I'm going to talk about how SB
17 100 fits into our larger climate and energy goals, and
18 then kind of dive into some of the details of the Joint
19 Agency Report.

20 So, as many of you know, California has the
21 ambitious climate energy targets, which have been
22 ratcheted up over time. So, on the greenhouse gas
23 emission side we have a target of reducing back to 1990
24 levels by 2020. And then, an additional 40 percent
25 below that by 2030 and 80 percent below by 2050.

1 And Governor Brown last year, before he left
2 office, also signed an Executive Order to reach economy-
3 wide carbon neutrality by 2045.

4 And our renewal portfolio standard, RPS,
5 determines the amount of electricity retail sales that
6 are procured from renewable resources. And this has
7 been a key policy lever to help us reach our greenhouse
8 gas emission targets.

9 And so, the first target was 20 percent by 2017,
10 followed by 33 percent renewable by 2020. And then,
11 Senate Bill 100, signed last year, increased the initial
12 target of 80 percent renewable by 2030 to now 60 percent
13 renewable by 2030. And then, also established a goal of
14 100 percent clean electricity by 2045. And this is
15 actually broken into 60 percent renewable by our current
16 definition, and then the last 40 percent will be zero
17 carbon, which I'll discuss more later in the
18 presentation.

19 And we're actually already ahead of our
20 renewable energy target. So, today we have 34 percent
21 of our electricity coming from renewable resources,
22 ahead of the 2020 target of 33 percent.

23 And although our greenhouse gas emission targets
24 are economy wide, in the electricity sector we're
25 already well ahead of schedule. And so, you can see

1 that our latest data show, for 2017, we're well ahead of
2 the 2020 target, which is that 1990 level line. And
3 we've actually already exceeded the 2030 target of 40
4 percent below 1990 levels.

5 And the main takeaway from our clean energy
6 story so far is really that we have decoupled GDP from
7 emissions. And so, as you can see here that as our GDP
8 and population have grown, our emissions have continued
9 to decrease.

10 In fact, our GDP growth has outpaced the rest of
11 the United States and allow California to grow into the
12 fifth largest economy in the world.

13 And our clean energy sector in California now
14 employs five times more workers than the fossil fuel
15 industry, with over half a million jobs statewide. And
16 we're also home to nearly 40 percent of the solar jobs
17 in the country.

18 And we're actually seeing these trends across
19 the U.S. So, when you look at the fastest growing jobs
20 in any sector, also the top two are PV installer and
21 wind technician. And this has largely been driven by
22 long-term policies. The color looks kind of weird.

23 But as the Chair mentioned earlier, California
24 was the second state, after Hawaii, to establish a 100
25 percent clean energy target. And now, a total of nine

1 states, plus D.C. and Puerto Rico, have established
2 goals to get to 100 percent clean energy.

3 And as mentioned, now nearly 30 percent of
4 Americans are living in a state or city committed to 100
5 percent. And this accounts for about 20 percent of
6 national electricity supply.

7 And so, as we're seeing this kind of
8 unprecedented movement, really, toward clean electricity
9 across the country, we're now focusing on how to best
10 leverage the clean electric grid to decarbonize other
11 sectors. And so, you can see here that electricity
12 itself only accounts for 15 percent of statewide gas
13 emissions.

14 But there's real opportunity, particularly in
15 the transportation and building sector, which together
16 account for half of our statewide emissions. And if you
17 include petroleum refining, it's actually closer to 60
18 percent.

19 And as Chair Hochschild mentioned, we're seeing
20 trends in this direction across both sectors. So, on
21 the transportation side, you're probably well aware that
22 electric vehicle adoption is gaining momentum rapidly.
23 We have 627,000 EVs on the road in California today, and
24 are on our way to our target of 5 million by 2030. And
25 we're seeing a lot of innovation, both on the charging

1 side, both in technologies and new business models, and
2 in vehicles, particularly around medium and heavy duty.

3 And then, on the building side we're seeing a
4 lot of technological innovation around heat pump water
5 heaters, space heaters, clothes dryers, and induction
6 stoves, as well as local policy innovation, as was
7 mentioned. And so, starting with Berkeley in July, we
8 now have nine cities, plus a county in California that
9 have established local policies to either ban natural
10 gas in new construction or favor electric -- all
11 electric new construction.

12 And so, as these trends continue, the clean
13 electricity grid will increasingly serve as, really, the
14 clean energy backbone economywide.

15 So, now, to kind of dive into some of the
16 details of SB 100. So, the bill calls for eligible
17 renewable energy and zero carbon resources to supply 100
18 percent of all retail sales to end-use customers by
19 2045.

20 In addition, the bill calls for the California
21 Energy Commission, Public Utilities Commission, Air
22 Resources Board, the three agencies to draft a Joint
23 Agency Report, due to the California Legislature by
24 January 1st of 2021. And the report is to be done in
25 consultation with the California balancing authorities

1 and through a public process.

2 And so, the report is to include a technical
3 review of the policy, including technologies,
4 transmission, safety, affordability and reliability.
5 Also include an evaluation of the potential benefits and
6 impacts on both system and local reliability. Looking
7 at the nature of anticipated financial costs and
8 benefits to utilities, including rate impacts. Barriers
9 and benefits of achieving the policy, and then also
10 start thinking through alternative scenarios to actually
11 achieve 100 percent clean electricity.

12 And so, we've assembled an interagency team on
13 the staff level, which is led by the SB 100 principals
14 from each agency, who are CEC Chair David Hochschild,
15 CARB Chair Mary Nichols, and CPUC Commissioner Liane
16 Randolph. And we will be hosting a series of workshops
17 over the next six months or so, through a robust public
18 process, and then develop the report over the course of
19 the next year.

20 And so, our goals for the report are, obviously,
21 to meet the statutory requirements. Also, to provide
22 direction to the electricity market and coordinate
23 planning processes of the three state agencies,
24 including the integrated resource planning process,
25 renewable portfolio standard, IEPR and others.

1 And for this first report, we really want to
2 make sure that we're forming consensus on interpretation
3 of the statute, including considerations around the
4 definition of zero carbon resources.

5 And so, we're really trying to kind of balance
6 and incorporate all these different facets of the
7 policy. So, including reliability, particularly as we
8 integrate more intermittent renewable resources on the
9 grid, looking at resource diversity and flexibility, as
10 was mentioned, as really key tools to ensure
11 reliability.

12 Energy equity, ensuring that all Californians
13 have access to the benefits of clean electricity. And
14 affordability is really key, especially as we electrify
15 other sectors, including transportation, heating, and
16 others.

17 We also want to make sure that we're allowing
18 flexibility for innovation and emerging technologies
19 that are not yet commercialized or scaled, including
20 offshore wind in California. And then, of course,
21 considering environmental impacts, particularly looking
22 at land use and water use.

23 And so, as I mentioned, going to 100 percent
24 clean is actually 60 percent renewables by our current
25 definition, which is located in this left-hand column.

1 And then, 40 percent zero carbon, for which we do not
2 have a definition for, and that's going to be one of the
3 main focus areas of this report.

4 And so, some resources under consideration now
5 are existing contracts for large hydro and nuclear,
6 carbon capture applications, and others. And many of
7 the comments that we've received to date are encouraging
8 us to kind of err on the side of being technology
9 inclusive and allowing for a lot of flexibility from
10 different resources.

11 So, just a quick overview of our timeline. We
12 are now hosting a couple of scoping workshops, so we're
13 going to have three across the state. We had our first
14 workshop in Fresno, on Monday. We're going to hold
15 another one in Redding and one in Diamond Bar over the
16 next few weeks. And we're just confirming timing for
17 those coming up.

18 And so, these are really opportunities to
19 solicit regional feedback and start kind of homing in on
20 the exact topic areas of the report.

21 And so, after our scoping workshops, we're going
22 to finalize our topic areas workshops, which we'll hold
23 over the next six months or so. We plan to have a draft
24 for review by next summer and then submit the report to
25 the legislature the beginning of 2021.

1 And so, these are our tentative list of
2 workshops. Again, these will be finalized after we
3 receive feedback through our scoping workshops. But I
4 would say for the offshore wind community, probably the
5 two that are of most interest are the scenarios and
6 technologies workshop. So, we can really make sure that
7 we're using the correct assumptions around offshore wind
8 development in our modeling and scenarios.

9 And then, also the reliability workshop,
10 particularly as offshore wind can complement other
11 renewable resources, namely solar.

12 And so, I really encourage everyone to stay
13 engaged with SB 100. There is a lot of overlap between
14 the content we're covering in this workshop and SB 100.
15 The best resource is to just go to the SB 100 webpage,
16 which is on the Energy Commission website, and it's
17 linked to on our home page so, hopefully, easy to find.
18 And there, you'll find links to both the document, and
19 you're welcome to submit comments at any time, and our
20 Listserv. So, you can sign up to receive notifications
21 about workshops and other events.

22 And as always, I am a resource, so please feel
23 free to reach out to me with any questions, even if it's
24 just I can't find the docket. I don't know how to use
25 your website. I'm happy to be a resource.

1 And with that, I will turn it over to the next
2 speaker. Thank you.

3 MR. FLINT: Thank you, Terra.

4 Our next speaker is Sandy Hull from Energy +
5 Environmental Economics, E3.

6 MR. HULL: Hi, everyone. This is Sandy Hull.
7 I'm a managing consultant at E3. And I'm going to talk
8 about a couple of the recent studies we've done looking
9 at the value of offshore wind and California's long-term
10 energy mix.

11 And so, we'll talk about a couple of the long-
12 term needs that offshore wind can help fulfill in the
13 state's energy plans. Specifically, dive into two
14 recent studies we did, one for Castle Wind and one with
15 Rob Collier, supporting the OPC. And I'll close with a
16 couple of areas where I think there's room for further
17 study as we try to plan for and assess the opportunities
18 of offshore wind in California.

19 A quick disclaimer. Both of these studies we
20 did were utilizing the RESOLVE model, which is a
21 capacity expansion tool. It's used to support the
22 California CPUC's IRP process. This work that we've
23 done here is outside of the IRP process. It is not
24 endorsed by the CPUC. So, just need to put that up
25 front.

1 But diving in here, I won't dwell on this, but I
2 think one important thing to recognize is where
3 California is today and where it needs to go in its
4 long-term energy plans. I think Terra did a good job
5 framing the long-term goals that are in place in the
6 state. And I think it's important to know right now
7 California has a pretty diverse set of renewables in
8 that 34 percent. We have a mix of about 10 percent
9 solar, 10 percent wind, and a lot of kind of diverse
10 other renewable sources like geothermal, biomass.

11 But in order to meet the state's long-term
12 energy goals, I think we have fewer and fewer
13 alternatives that really scale to meet the size of the
14 demand, especially as we're looking to the longer term
15 where we're electrifying other parts of the economy.
16 Specifically, transportation and buildings.

17 So, in the IRP, the last cycle of the CPUC IRP,
18 we've identified about 20 gigawatts of new renewables
19 needed by 2030, with most of that being composed of wind
20 and solar. But the scale grows substantially when you
21 look at the 2040, 2050 time frame, with the state
22 needing potentially 100, 150 gigawatts of new
23 renewables. So, I think that is a whole different order
24 of magnitude than the planning we've done over the past
25 several years.

1 Right now, the state has, you know, about 12
2 gigawatts of utility scale solar. When you look at our
3 forecasts we've done, with some of our deep
4 decarbonization work for the CEC, we're looking at tens
5 or a hundred gigawatts of solar, so maybe ten times
6 what's on the grid today. So, this is a whole different
7 scale. And I think our resource options are a lot
8 narrower at this scale. We don't have tens of gigawatts
9 of geothermal. We don't have tens of gigawatts of
10 biomass.

11 And so, our models historically have shown a
12 great reliance on more and more solar, storage and, you
13 know, to the extent possible, more in-state wind.
14 There's not a lot left in California. And so, we've
15 also looked at incorporating new transmission and
16 delivering out-of-state wind from New Mexico or Wyoming.
17 But that's also limited in scale and limited in what you
18 can actually get built, just given that it's difficult
19 to site those big, interstate transmission lines.

20 I think the real value and potential role of
21 offshore wind is that it's another kind of rare,
22 scalable resource and it really complements solar, which
23 is the most abundant resource that we currently have in
24 our planning models for California.

25 So, if we look at adding offshore wind as a

1 resource option in these long-term planning studies,
2 what we see is that we can greatly reduce the reliance
3 on solar and storage in the future. And this,
4 ultimately, offers a lot of savings. Solar's really
5 cheap today. It's come down greatly in cost. I think
6 it's one of the big success stories of the state. But
7 we're facing a scenario today where solar has less and
8 less value. We've served more of the hours in the
9 middle of the day with solar energy. We're starting to
10 see over supply in those hours.

11 And so, to continue to rely on solar in the
12 future, as the only scalable resource, we would need
13 increasing amounts of expensive battery storage, and the
14 cost to integrate that solar is going to continue to get
15 higher.

16 So, solar plus storage is an increasingly
17 expensive solution if we really want to fully
18 decarbonize the grid and start serving more of those
19 evening hours, where we still have GHG emissions that
20 need to be offset.

21 So, the value off offshore wind is that it
22 actually complements solar really well and reduces the
23 need for all of that battery storage if you want to
24 serve energy in the evening hours.

25 Both of these studies, we've done recently, show

1 that for every megawatt of offshore wind you add, you're
2 reducing the amount of solar and battery storage you
3 need substantially. A megawatt of offshore wind might
4 offset that 1.7 megawatts of solar in the longer term,
5 and over a megawatt of battery storage.

6 And, ultimately, that's the value proposition of
7 offshore wind. It's that it's profile is more aligned
8 with the long-term needs and complementary to solar in
9 terms of its ability to serve those remaining evening
10 hours, where we still have a lot of GHG emissions left
11 in the grid today.

12 And a quick illustration of this is a sample
13 week of generation. This is using some of the existing
14 offshore wind speed data. And what we'll see here is
15 that while solar is generating all of its energy in a
16 pretty concentrated, maybe eight hours of the day when
17 the sun is highest in the sky, offshore wind is going
18 to, in general, show a tendency to ramp up in the
19 evening hours as the sun's setting. It doesn't do this
20 every day. But on average it's going to help serve that
21 need.

22 And then, also, offshore wind is going to have
23 to have periods where it's blowing and generating energy
24 substantially throughout all the evening hours. And
25 that's really where the value proposition of offshore

1 wind is, is that ability to basically serve baseload
2 energy throughout the night and reduce our reliance on
3 gas plants that are currently running throughout all of
4 those hours.

5 So, it's the emissions reduction value. It's
6 the ability to retire more gas plants, rather than rely
7 on those gas plants. And avoid over building on solar
8 and building a lot of energy storage to shift all of
9 that energy outside of those few hours when solar tends
10 to generate. So, that's the value proposition of
11 offshore wind.

12 I'll talk quickly about two studies we've done
13 to try to quantify that value proposition. And I want
14 to highlight that one challenge in these studies is
15 identifying the cost of offshore wind. I think we can
16 quantify the value well. But what the optimal amount of
17 offshore wind is and what it's net value proposition is
18 really depends just how cheap it can get and how fast.

19 So, we've taken a couple different approaches in
20 these studies. With Castle Wind, we've used a set of
21 industry cost estimates about, in the ballpark, I think,
22 of \$65 a megawatt hour by 2030, is roughly where that
23 ends up. I think that's consistent with all of the new
24 studies coming out on costing for floating offshore
25 wind.

1 And we identified what the economic value
2 proposition is for California putting offshore wind on
3 the grid. What the grid savings would be. And what the
4 total capacity might be at that cost level.

5 For the report we did for the OPC, we did not
6 take a stance on the cost of offshore wind. But,
7 rather, we assumed a couple different scales of
8 deployment and looked at the value proposition, and what
9 offshore wind would be worth when deployed in different
10 places and at different scales.

11 I think both of these studies come to very
12 consistent results on the value of offshore wind, how
13 that compares to the cost of offshore wind, and what the
14 scale of this opportunity is.

15 A quick note on the cost assumptions. In the
16 Castle Wind study, our costs that we assumed were
17 actually, you know, potentially conservative in the
18 longer run. I think they came in a little bit lower
19 than NREL's cost assumptions in the near term and
20 assumed a similar trajectory to the 2018 NREL annual
21 technology baseline, just as a reference point.

22 But the latest NREL studies actually show even
23 steeper cost reductions farther in the future. And I
24 think we're looking forward to seeing more and more
25 studies coming out on the cost of offshore wind.

1 I think the tendency in all renewables and cost
2 forecasting we've seen is that these costs tend to fall
3 faster than anyone expects. And I think this is a key
4 caveat in these results is that we're using, you know,
5 today's estimates. But, really, these studies need to
6 be continually iterated on as we get better and better
7 ideas about the costs of offshore wind and just how
8 quickly industry can beat last year's estimates.

9 The findings in the Castle Wind study were that
10 offshore wind looks economic by 2030 or 2035, in every
11 scenario modeled, and is increasingly in higher demand
12 in the future as the state's GHG emission targets get
13 lower and the cost of offshore wind gets lower.

14 So, we see, basically, an increasing need and an
15 improving resource and cost profile for offshore wind
16 that leads to a demand on the order of, potentially, 7
17 to 9 gigawatts in the 2040 time frame. And that has the
18 opportunity to save ratepayers around \$2 billion in that
19 present value.

20 So, this is a big opportunity. This is
21 something that's not currently in the state's resource
22 planning, or at least in the last IRP cycle. But I
23 think it's clear that this needs to be part of the
24 planning process going forward.

25 Shifting gears, the study we did with the OPC

1 focused on characterizing California's offshore wind
2 resources in a little bit more detail, versus the Castle
3 Wind study which took a more generic approach at valuing
4 offshore wind.

5 So, for the OPC, we took a look at what the
6 possible and ideal zones for resource development would
7 be in California. And, basically, took the existing
8 California offshore call areas and tried to identify
9 other zones that kind of fit the ideal constraints for
10 development. So, both technical potential, in terms of
11 good wind speed, you know, water depths that are viable
12 for development. And then, also accounting for
13 constraints around marine sanctuaries, fisheries, navy
14 exclusion zones, and then distance from shore.

15 And so, we identified a couple additional
16 resource areas in Northern California. And you add up
17 all these zones, we have over 20 gigawatts of really
18 ideal potential for offshore wind just here. Obviously,
19 there's an ongoing discussion around all of the great
20 offshore wind resources farther south and whether those
21 can be developed, subject to navy constraints.

22 But I think the big takeaway here is we have 20
23 plus gigawatts, all in the ballpark of about 50 percent
24 capacity, so very strong offshore wind resources. And
25 if you developed all of these, this is a big chunk of

1 the state's future energy needs. So, not a lot of
2 resources like this, that are this scalable in the
3 future.

4 In terms of what offshore wind would be worth to
5 California, this was the other key takeaway from our
6 study with the OPC. And this gets a little bit
7 technical. But, effectively, we put offshore wind into
8 the grid planning model and looked at the potential
9 savings versus a future where we don't have offshore
10 wind as a resource option and look at what the avoided
11 costs would be or the value of offshore wind.

12 And what this is showing is that offshore wind
13 is worth in the order of magnitude of \$70 to \$80 a
14 megawatt hour to the grid. So, if you can beat that in
15 terms of cost, it's a winning proposition. If offshore
16 wind can be built for \$65 a megawatt hour and it's
17 saving the grid 70 plus, it's an economic resource.

18 And what we've shown is that that value of
19 offshore wind only increases in the future as our GHG
20 goals get lower.

21 And another thing we've modeled here is what
22 that value proposition is for the first gigawatt, second
23 gigawatt, up to 10, 20 gigawatts. And the value is
24 pretty robust. Unlike solar, where you start to have a
25 saturation effect on the grid, where you start to over

1 generate and over supply the grid in certain hours,
2 which we're already seeing today at about 10 gigawatts,
3 12 gigawatts of solar. In California, offshore wind
4 actually is going to continue to be worth 70 plus
5 dollars a megawatt hour at this 20-gigawatt scale. So,
6 I think that's really important to note. It's showing
7 that even if we build out, you know, all of those
8 resource zones we identified, the offshore wind
9 economics are going to continue to look pretty strong,
10 assuming costs come in as everyone's planning.

11 MS. RAITT: Time check.

12 MR. HULL: So, just to wrap up. I think one
13 challenge that we, you know, want to flag for further
14 study is that a lot of those ideal resource zones we
15 identified are in Northern California. If you'll look
16 at the existing transmission grid, it's up and down the
17 center of the state and largely designed to serve all of
18 the load in Southern California.

19 So, I think this is a big area that needs to be
20 assessed in order to really capture the value of
21 offshore wind. So, this is something we didn't, you
22 know, get the chance to look at in a lot of detail. I
23 know there are a number of people here who've started to
24 study this. But I think, in order to really seize this
25 opportunity, there needs to be a comprehensive look at

1 where the best offshore wind zones are, where the
2 transmission opportunities are.

3 We know of a couple kind of low-hanging fruit,
4 where there are existing power plants on the coast that
5 are retiring and freeing up transmission capacity. But
6 to interconnect something on the scale of 10, 20
7 gigawatts, it's going to take a much more comprehensive
8 planning effort and transmission effort.

9 And then, lastly, you know, as we're modeling
10 all of this, we would always love to have better data to
11 really assess these opportunities. So, I'm happy to
12 hear about some of the efforts underway to collect more
13 information on a more granular level on things like wind
14 speed.

15 So, I think we have a lot of the initial work
16 underway, but I think there's -- this is a big
17 opportunity. And, you know, what we've identified is
18 that there needs to be further study of this resource
19 and the kind of long-term value it offers in
20 California's planning needs.

21 MR. FLINT: Thanks Sandy.

22 The next panel presenter is Alla Weinstein from
23 Castle Wind.

24 MS. WEINSTEIN: Thank you for having me here,
25 Commissioners. It's a pleasure to talk about offshore

1 wind.

2 Castle Wind is a joint venture between EnBW
3 North America, which is a whole-owned subsidiary of EnBW
4 in Germany, a large utility, and Trident Winds. Trident
5 Winds is based in Seattle. Looking at the deep-water
6 offshore wind development in the United States.

7 When Trident Winds submitted unsolicited lease
8 request back in January 2016, I don't think anybody was
9 really thinking about offshore wind, yet. And it was a
10 wakeup call. And at that time, both Commissioner
11 Douglas and Commissioner Hochschild asked me a question:
12 Why should we bother about offshore wind?

13 Well, it took us three and a half years to
14 answer that question, but I think we answered it. Why
15 should you bother? Because it is a great saving and
16 because based on the studies that was done, I don't
17 think California can get to meeting its statutory
18 requirements of SB 100 without offshore wind. It is
19 needed. And it is needed in large scale.

20 And so, what's important to think about why and
21 what we need to do to get so that California can realize
22 the benefit of offshore wind.

23 I'm going to repeat some numbers that Sandy said
24 because it's important to remember them. The savings
25 are almost \$2 billion, but it can only come with

1 installation of 10 gigawatts of offshore wind by 2040.
2 However, you can't assume that 2040 comes and it will be
3 all installed. It has to be planned. And
4 infrastructure, in particular, will need to be prepared
5 for it.

6 Supply chain can come. Investors are there.
7 Industry can develop ports and everything that's needed,
8 as long as there is a goal and commitment by the state
9 to those targets.

10 And so, if we look at going down the road and
11 looking at 2030, when the offshore wind already becomes,
12 or coming into the IRP model, we need to look at maybe 5
13 gigawatts by 2030 and 10 gigawatts by 2040, such that we
14 can prepare the infrastructure and get the investments
15 in place.

16 So, offshore wind offers resource diversity,
17 reliability and adequacy. Those are all the words that
18 are very important to CPUC and the CAISO. And that's
19 exactly what the resource does.

20 It is a new resource. Even though the
21 technology had to be developed, it has been developed.
22 And so, what we're asking for is actually set a goal for
23 accepting the new resource into the energy mix.

24 We are entering industrialization of offshore
25 wind, not necessarily R&D stage, because R&D stage

1 already passed as you saw, and as you heard from
2 technology developers.

3 I'm going to just give a couple of slides, just
4 in the interest of time because there are a lot of
5 panelists that are sitting there.

6 But again, I reinforce, I do want to reinforce a
7 couple of things. We all hear about the duck curve and
8 we all know what it means, so I'm not going to repeat
9 all the scary numbers of 3 hours and 13 gigawatts that
10 has to come online. But what's important -- and I'm not
11 sure if this thing will work. Well, yeah, it will.

12 I do want to point out one line. This black
13 line on the chart is the value. During the day of
14 renewable energy sources, solar, onshore wind in
15 California, potential onshore wind from Wyoming and New
16 Mexico. And this line is offshore wind. And you can
17 see that during the day, during the years, during the
18 months you will have the highest value of the resource
19 available to the State of California.

20 Again, repeating some of the things from Sandy,
21 it is a significant reduction in cost to the State of
22 California because you don't have over build to
23 compensate for solar and storage with a resource that
24 actually can be available at the time when it needs to
25 be available, providing reliability, adequacy, and

1 system diversity.

2 We heard some numbers. You've managed to
3 install 18 and a half gigawatts of offshore wind. By
4 the end of 2020 and going into 2021, you'll have over
5 200 megawatts installed in Europe and other parts of the
6 world.

7 What California can do, which California does
8 very good, is scale. Scale matters. Like Rob said, go
9 big or go home, because without it you can't get from
10 here to there. And so, that is where California can
11 shine. Yes, we had to go to Europe to develop
12 technology. Thank you, Europe, for all the money you
13 spent on developing it. Now, let's put it to use and
14 put it to use in good commercial scale.

15 Yes, the area's constrained. We do know that.
16 But we also know that there is plenty of capacity
17 available in the Central California, and we do call on
18 the State of California to work with Department of
19 Defense, to work with BOEM to clear out parts of the
20 area that is actually physically constrained. It's
21 constrained by the sanctuary on the east side of the
22 area. It's constrained by the physical canyon on the
23 west side of the area. So, constrained will not expand
24 the area, but try to use as much as you can in that
25 particular area called, generally, Morro Bay.

1 And it is something that we do ask the state to
2 put a lot of attention in trying to work out solution
3 with Department of Defense.

4 So, in summary, the state needs to have a goal.
5 Industry will come. Supply chain will come. But it
6 will not come, as we saw what happened in the United
7 Kingdom, if the goals are not there. The only thing
8 we're asking is commitment to the goal. The rest, the
9 industry can bring as necessary.

10 The issues could and should be resolved and we
11 are all hoping that those issues will be resolved
12 between Department of Defense, and the State of
13 California, and BOEM.

14 And we are really on the verge of
15 industrialization of the technology and this is where
16 California can actually say we did it. We did
17 industrialize. And we will have more installed capacity
18 of floating offshore wind than probably anywhere else in
19 the world because of the demand, because of the size,
20 because of the scale of the resource.

21 Competitive criteria that we will be looking at
22 going down the auction, needs to include industry best
23 practices. Because without it, it will not happen in
24 California. California is a state that is very
25 particular of what they accept and what they don't

1 accept. There's quite a number of projects that fell
2 into the boneyard because they were extracted by the
3 local communities. And so, local communities do matter
4 a lot and industry best practices do matter a lot.

5 To that extent, Castle Wind worked very closely
6 with the City of Morro Bay, and now we have a community
7 benefits agreement and the local fishermen. And the
8 local fishermen when from skepticism to the support of
9 offshore wind because they see the benefit of it. That
10 becomes extremely important.

11 Monterey Bay Community Power signed the MOA for
12 a thousand gigawatts because they believe that they will
13 be able to have customers and the demand for that power.

14 So, we're ready, able, and willing to do it.
15 Industry's ready. Investors are ready. We just need
16 you to set up the target. Thank you.

17 MR. FLINT: Thanks, Alla.

18 Next, we have Mark Severy from Schatz Energy
19 Research Center, Humboldt State University.

20 MR. SEVERY: Thank you Chair Hochschild and
21 others on the panel for inviting me today. I appreciate
22 the opportunity.

23 I'm Mark Severy. I work at the Schatz Energy
24 Research Center at Humboldt State. We're doing a
25 variety of studies on the North Coast to investigate the

1 potential and feasibility for offshore wind.

2 First, I want to thank our project funders,
3 including the Bureau of Ocean Energy Management, the
4 California Ocean Protection Council, and the California
5 Governor's Office of Planning and Research, as well as
6 the partners. Our partners helping us do this work,
7 including PG&E, and others.

8 We have a variety of research topics that are
9 under study, but today I'm just going to focus on the
10 resource assessment and the grid compatibility on the
11 North Coast. We've probably all seen this map before.
12 You have, on the right side, California's offshore wind
13 resource and this is just an annual average of wind
14 speeds. And on the left side is the North Coast. The
15 highest wind speeds are concentrated up there. And
16 then, that green box outlines the Call Area on the North
17 Coast.

18 And here's just some example footprints of what
19 the potential size is of different wind farms. So,
20 there's a 50, a 150, and then 2 gigawatts if you built
21 out the entire Call Area.

22 So, our study's looking at these three scales to
23 investigate what's the generation profile from this
24 resource and then, what are the transmission issues that
25 need to be overcome to accommodate this type of

1 generation.

2 So, some of our basic assumptions are outlined
3 here. We have the three sizes and they're using 12-
4 megawatt turbines in each case.

5 First, before we go into summarize results, I
6 want to look at three weekly profiles to show how does
7 the generation profile change over time. And these are
8 all going to be from just randomly selected weeks in the
9 month of July.

10 So, first, this is a week of variable
11 generation. There's periods of high generation, near
12 max capacity, periods of low generation and places in
13 the middle.

14 This is a week in July where it's nearly
15 producing 100 percent for six days of the week.

16 And, lastly, there's also extended periods of
17 low generation where there is not enough wind speed to
18 go beyond the cutoff speed of the turbines, or the cut
19 in speed of the turbines.

20 If we look at these same data over the course of
21 a year, in a generation duration curve, you can kind of
22 see how this plays out. There's 30 percent of the time
23 where the wind farm is producing its rated capacity and
24 then, on the right side of this chart, there's 20
25 percent of the time where the wind farm is producing

1 zero megawatts.

2 Similarly, we can break this down by season and
3 by hour of day. And I think this is important to look
4 at this, not just in an hourly -- or an annual average
5 but, actually, how does it break down over the day. And
6 so, if you look at the average, you see that it's
7 actually quite flat and consistent between seasons and
8 between parts of the day. And this is specifically on
9 the North Coast.

10 And then, the capacity factor for this area is
11 about 46 percent based on our modeling. But if we add
12 behind this the distribution of where the wind speeds
13 fall, it's a little bit hard to see with the light, but
14 there's a large area -- like, most of the time it's
15 either at zero or high capacity. So, if you see the
16 green band at the bottom, that's between the median and
17 the 25th percentile. And then, the bluer band at the
18 top, that is showing the 75th percentile is actually at
19 max capacity.

20 And so, some of the key takeaways from this is
21 there's just a widespread in power production in all
22 seasons and in all hours. And that when you look at the
23 annual average, that's not very representative of what's
24 being produced at any moment during the day.

25 Next, I just want to motivate some of the

1 reasons for why transmission upgrades are necessary in
2 Humboldt County. And this is an overly simplified look
3 at power flow in that area. But, first, we can just see
4 what the load is in Humboldt County. It's about 800
5 gigawatt hours per year. Current generation for large
6 power plants is approximately 600 gigawatts per year.
7 There's another 400 or so proposed, new generation in
8 the area.

9 And then, if we just compare that the potential
10 for offshore wind for a 50 or 150-megawatt hour -- or,
11 megawatt wind farm, you see that it drastically changes,
12 or it's a large fraction of what is currently up there.

13 So, there are three major transmission corridors
14 coming into and out of Humboldt County. There's 215
15 kilovolt lines going east and a 60-kilovolt line heading
16 south. Their right of ways are small, they're in
17 mountainous terrain, and the existing infrastructure is
18 also very small.

19 These are some pictures taken outside of
20 Bridgeville, on the 115-kilovolt line heading east. If
21 we take that line all the way east, this gives a good
22 visual of what the existing transmission looks like
23 compared to, for example, a 500 kilovolt WAPA line. So,
24 you just see there's a big difference and a lot of
25 changes that would be needed to accommodate offshore

1 wind development.

2 So, and that's what our study's investigating.
3 We're kind of in the early phases now, but we're working
4 with PG&E to do a transmission power flow analysis to
5 estimate what the infrastructure upgrade costs are. And
6 then, so what the cost and what infrastructure's
7 required to suit this. We're looking at transmission
8 going east, transmission going south and then, also, a
9 high voltage DC cable going under the sea.

10 And kind of to end, I just want to say that
11 transmission is a big constraint. And there's a variety
12 of different aspects of this. It's a technical
13 constraint from an infrastructure and electricity grid
14 management perspective, but it's also an environmental
15 and a stakeholder issue as well. There's a lot of
16 environmental impacts associated with upgrading a
17 transmission line, and there's also a lot of stakeholder
18 considerations that need to be taken into account.

19 So, our work is kind of about a third or a
20 quarter of the way done and we'll be having final
21 reports towards the spring and summer of next year.

22 Thank you.

23 MR. FLINT: Thank you, Mark.

24 Our next presenter is Molly Sterkel from the
25 California Public Utilities Commission.

1 MS. STERKEL: Good morning. I'm the first
2 speaker officially starting past the noon hour. I
3 apologize about that. Thanks very much. Good
4 afternoon, Commissioners.

5 I'm going to spend a few minutes giving you a
6 brief overview of the IRP process, the integrated
7 resource planning process at the CPUC. What it does.
8 How it works. What it can do.

9 I'm also going to tell you that our electric
10 system is on track to meet its very aggressive
11 greenhouse gas emission targets for 2030. And that is
12 very, very fantastic news, especially if you're looking
13 for a talking point. Because if you run into Greta
14 Thunberg in the hallway, in your upcoming travels, you
15 really want something good to tell her.

16 But it's very challenging news if you're sitting
17 in the audience today, as an offshore wind developer.
18 Because you're hearing these two opposing points of
19 view. One is that we need to, you know, work very hard
20 to get to our very aggressive goals. But on the other
21 hand, we're well on our way to meeting them. So, what
22 can we do?

23 In the middle of all that confusion is the
24 state's integrated resource planning process. So, I'm
25 going to try my best to try to meet two audiences here.

1 One that might not know much about IRP, and the other
2 that might want to know how IRP and offshore wind fit
3 together.

4 I am not changing the slides by changing my
5 computer. Let's see if I can fix that. Okay, there we
6 go. Just give me one second.

7 Okay. So, our electricity system is definitely
8 on track to meet its very aggressive 2030 goals of
9 getting to the statewide electric sector target of 30 to
10 53 million metric tons. We can do this with existing
11 policy.

12 As of 2016, we were at 83 million metric tons in
13 the electric sector, as Terra's slide showed earlier,
14 with just over 30 percent of RPS in the electric sector.

15 SB 100 puts us on target for 60 percent RPS by
16 2030 and that will get us close -- in the 40s of the
17 million metric tons.

18 And the Commission's 42 million metric tons
19 target by 2030 will likely be achieved with existing and
20 known resource types that are already quite proven in
21 California.

22 However, deep decarbonization scenarios that go
23 below 36 million metric tons by 2030 might require new
24 technologies and market transformation. So, there's
25 really two things going on here. If you go below the

1 existing targets all the modeling shows, whether it's
2 paid for by the CPUC and done through the integrated
3 resource planning, or if it's done by outside parties,
4 and they can often come and talk here, it shows that
5 you're going to need some variety of new technologies
6 and market transformation.

7 However, there's a high degree of uncertainty
8 around demand forecast and what those new technologies
9 can provide. So, that's why the state's integrated
10 resource planning process is really challenged.

11 So, one of the other key considerations for
12 policymakers is that the electricity market is
13 tremendously fragmented. Market fragmentation with over
14 20 CCAs, over 14 ESPs. We have legislation last year
15 increasing direct access in California, the Herzberg
16 bill. We have over -- we're predicted to have over 50
17 percent of PG&E's load served by CCAs by 2021.

18 That means that your buyer, your market, your
19 off taker for whatever the integrated resource planning
20 proceeding says, is challenged.

21 So, in the -- I just wanted to throw up here,
22 you know, we're not -- I'm actually, probably not
23 supposed to do this as a California State employee. But
24 in the big red here, this is China's emissions. This is
25 the U.S. emissions. You have to get down to this little

1 dot over here to get to California's emissions. This is
2 2016 figures. So, 340 million metric tons.

3 So, I was just telling you that we are on track
4 to get to 40 million metric tons in the electric sector.
5 We're going to go from like the 80s today, and then ten
6 years from now we're going to be in the 40s.

7 But if we go to 30, we're going to need new
8 technology. We're going to need new market procurement
9 structures.

10 And why I put this slide up here is to emphasize
11 to you that we're talking about going big or going home
12 for a mere 10 million metric tons. So, anyone who's
13 going to get us to push below 10 million metric tons
14 better believe that there's going to be serious looks at
15 costs, and risks, and reliability impacts. Because it's
16 a lot you're asking to go in an override-global-
17 emissions perspective not very far. Okay.

18 And so, it's not to say that we're not going to
19 do it, it's just to say that, you know, the last bit is
20 going to be really hard. This is very consistent with
21 what Terra's presentation said, which is we can get a
22 lot of the way there. We can get to like 80 percent of
23 our SB 100 targets without too much difficulty. But
24 it's that last bit that's going to be really hard. So,
25 we're going to do really tough analysis on it. And

1 that's what the IRP is here to support our decision
2 makers to do.

3 So, I think I've covered most of these things.
4 I've got -- I want to hit slide 8. This is IRP in
5 California. These slides will be available to you in
6 case you are relatively new. Statutory basis for IRP.
7 IRP framework.

8 Okay, so IRP is a two-year planning process. It
9 merges with the California Energy Commission's demand
10 forecasting process, done in the IEPR, which is the host
11 of today's workshop. And it also merges with the
12 California ISO's transmission planning process, who
13 you're going to hear from Neil next.

14 But we do a two-year process. And in year one
15 we adopt a greenhouse gas planning target and we create
16 a reference system plan. So, we sort of -- we do a ton
17 of modeling. We get a ton of inputs and assumptions and
18 we say what's the best way to get there from here if we
19 were planning -- essentially, if we had some old-
20 fashioned world view, where we could plan it all
21 together, and we were in a centralized planning system.
22 And we're not in a centralized planning system, so
23 that's why it takes us two years.

24 In year two, we ask the load-serving entities to
25 develop and deliver plans. And then, we aggregate those

1 together as a preferred system plan. And then, when we
2 add them up, we see if it all works. And that's why we
3 do a two-year process.

4 And we've gone through this cycle one time and
5 we're at the beginning of kicking off the second round
6 of it. So, tomorrow, you heard Suzanne preview that
7 we're going to be releasing the 2019 inputs and
8 assumptions. And in that, you will see assumptions for
9 offshore wind, using NREL's 2019 annual technology
10 baseline, as well as many other details over the course
11 of 50 odd pages.

12 And then, we're going to use those inputs and
13 assumptions and we'll give you draft, preliminary draft
14 staff results looking at what the modeling shows us.

15 And I don't think it's going to surprise you
16 that it's going to be very consistent with what non-CPUC
17 entities have found in their recent modeling, which has
18 already been discussed on today's paneling -- panel.

19 So, anyway, we do -- so, we're going to do this
20 IRP framework. We do this capacity expansion model,
21 dah, dah, dah.

22 Okay. I want to show you one more I chart.
23 This chart was put up by Sandy earlier. I think it was
24 maybe on one of his first slides. And this is the
25 results from last go-round in integrated resource

1 planning. So, this is an example of what the selected
2 2030 resource mix would be. And the first column shows
3 you what it will be in the baseline. This is basically
4 what we adopted in our plan.

5 A 42, it says at the bottom, 42 RSP references a
6 plan using the 2017 IEPR. And then, the next three
7 columns show you what happens to the total amount of
8 resource build out you need if you want to go 32 with
9 existing transmission only, or if you allow new
10 transmission to Wyoming and Texas, or if you allow new
11 transmission and any out-of-state wind.

12 So, essentially, these three bars show you that
13 regardless of whether you do or do not allow new
14 transmission, if you want to get from 42 to 32, you're
15 going to build a lot more gigawatts of new resources.

16 And so, in this modeling cycle, that you're
17 looking at the results here, we did not have offshore
18 wind as a candidate resource for selection. However, in
19 this next upcoming round, we will have offshore wind as
20 a candidate resource. And you're going to see, very
21 likely, very similar results. Because offshore wind and
22 out-of-state wind have the same acronym and have the
23 same impact on the model. Okay. You like that one,
24 Alla? You can have it. You can use that one.

25 MS. WEINSTEIN: The same acronym, I like the

1 acronym.

2 MS. STERKEL: You like that one? Good, okay.

3 Anyway, the last thing I'll say is this is a
4 slide, and you can see lots of these if you join the IRP
5 fan club, where you get from today, 2018 -- or, I guess
6 that was last year, to 2030. And it shows you, you
7 know, the type of resource. And it shows you that in
8 this slide you get the purple. Purple is, in this case,
9 battery storage. You can kind of get a lot of the way
10 to 2030 with just solar. And then, by 2030, you see
11 that you need battery storage.

12 And then, this affect just gets amplified as you
13 go beyond 2030, as you go to either deeper carbon
14 reductions, or as you go to 2045. Either which way you
15 change the lens, the amplification of you need something
16 else after 2030 is going to occur. And so, we'll look
17 at lots of sensitivities around cost.

18 Next steps are on the next slide. And that is I
19 think the modeling and progress, the third bullet there
20 is what you want to hear. Offshore wind is included in
21 the 2045 framing study, with results to be released
22 soon. And that's an ARB study, which we've collaborated
23 with the Air Resources Board on. An offshore wind
24 sensitivity analysis is going to be included in the main
25 IRP process.

1 So, thanks very much. The links for all of the
2 IRP things, if you would like to become a full-fledged
3 member of the IRP fan club are up there on the slide.
4 And I'll take your questions later.

5 MR. FLINT: Thanks, Molly.

6 Next up, Neil Millar from the California
7 Independent System Operator.

8 MR. MILLAR: Thank you very much. And
9 recognizing I'm between the rest of you and dinner --
10 lunch, I'll try to keep this moving.

11 So, Neil Millar with the California ISO. I just
12 wanted to mention up front we're strongly supportive of
13 broad diversity in resources. I just picked a
14 representative day from last year, showing that this was
15 a profile of the load and what resources were meeting
16 the load.

17 As the solar wanes, unfortunately, the load
18 continues in California to stay on for another couple
19 hours before it starts to drop off. That's a daily
20 cycle issue we do have to look at.

21 On this particular day, as the solar was
22 dropping off, which is expected, wind made a
23 surprisingly strong appearance that day, while gas-fired
24 resources were positioned to pick up the requirement as
25 the solar dropped off, together with imports. We

1 actually had a bit of a strong showing from the onshore
2 wind that helped meet some of that requirement.

3 Now, the uncertainty factors about what's going
4 to show up is always an issue in managing these types of
5 resources. So, resource diversity is very attractive to
6 us.

7 Now, I was going to talk about our transmission
8 planning process and generation interconnection
9 processes. Both of these are focused on what we're
10 actually ready to move on or initiate action on between
11 now and over the next ten years. So, they're not
12 looking out so much 20, 30 years, as saying what do we
13 need to start moving on today, or how are we moving
14 projects through that need to be initiated over the next
15 few years.

16 Our annual transmission planning process is
17 coordinated with the Energy Commission's integrated
18 resource planning -- sorry, the Energy Commission's IEPR
19 process, which is where we draw our forecast information
20 from, as well as the Public Utilities Commission's IRP
21 process which, in particular, provides the resource
22 portfolios that we use for our resource planning.

23 In our transmission planning process, we focus
24 on reliability needs, policy needs, as well as overall
25 economic transmission opportunities. And planning for

1 renewable generation development clearly falls into that
2 state and federal policy bucket. So, we really rely on
3 the coordination we have with the state agencies for
4 those efforts.

5 Our generator interconnection process is a
6 little different. It's an open access framework. It's
7 open to competition. It's largely first come, first
8 serve, and there's a lot of competition for generators
9 seeking to get connected. It's not an academic study
10 process. It's meant to winnow down and move forward
11 with the projects that are ready to move forward. And
12 it's also designed to push out the projects that
13 actually aren't ready to move forward, so that they
14 apply when they actually are.

15 It's a two-stage process because we get so many
16 applications each year. The first of study helps us
17 winnow down and provide an initial level of requirement
18 for a relatively large number of generation in each
19 area. The second year takes the people that were
20 willing to put some money up and keep moving forward and
21 provided them with results that then would be the basis
22 for contracting initiating projects.

23 Obviously, if the transmission is already moving
24 forward as part of the policy-driven framework, through
25 the coordinated efforts with the Energy Commission and

1 Public Utilities Commissions, generators seeking to
2 locate in those areas are advantaged both from a
3 certainty that the transmission will be there or is
4 already moving forward, as well as some cost advantage
5 knowing that the grid's already being reinforced for
6 their needs.

7 I know the numbers here are too small to see,
8 but I'd ask you to focus on the picture. This is a
9 picture of our Queue Map, the generators that were in
10 our interconnection queue at some stage as of July 24th.
11 It is constantly a moving target.

12 The offshore wind projects are represented by 8
13 gigawatts of applications here and 1.6 gigawatts up at
14 the North Coast area. That's out of, though, at the
15 time, 53 gigawatts of renewable generation applications.

16 There's also a number there of 36 gigawatts of
17 energy storage projects. Most of those are coupled with
18 either a wind or solar project. There are some that are
19 stand alone, but the majority are coupled with one of
20 the other renewable projects.

21 Now, I mentioned this shifts fairly quickly. As
22 of September 26th, the 8,000 megawatts off of the
23 Diablo, Morro Bay area had already dropped to 3,600. We
24 did have projects drop out of the queue that weren't
25 ready to continue moving forward. The projects that are

1 up in the North Coast area are still hanging in.

2 One issue I do need to point out here, though,
3 that is a challenge for our studies is that there's
4 actually a technology gap issue where a number of the
5 projects tell us they're planning on using HVDC
6 technology to bring their power ashore, but they're all
7 giving us AC models right now because there's a lot of
8 difficulty in actually providing models for the DC
9 technology they plan on using.

10 That needs to be fixed because if we can't study
11 it, we can't hook it up, putting it bluntly. So, that
12 is a real technology issue for us that products are
13 being designed they can't -- functional models can't yet
14 be provided to us for study purposes.

15 So, a few observations about available capacity,
16 and I do have another picture of the transmission
17 system, I'd like -- especially given some of the earlier
18 comments, I'd just like to touch on.

19 That, yes, the most obvious place for bringing
20 offshore wind ashore is where there's already the
21 transmission infrastructure. And for it to be
22 available, it's because some other power plants that are
23 already retiring.

24 So, in the North Coast area, very tight for
25 capacity. Even some of these smaller projects are

1 triggering larger transmission upgrades. Generally,
2 more at the 115-kV level, as opposed to having to move
3 up to a higher voltage.

4 But if you are looking at a larger project, the
5 nearest 500 kV grid is 200 miles inland. And that would
6 require some major cost to get to those points. Or, a
7 marine cable coming down the coast. Those options are
8 available, but neither of them are inexpensive or fast.
9 We need to know about them and properly take those into
10 account to make sure they're working with the other
11 things on the system.

12 In the central area, with Morro Bay and Diablo
13 Canyon's anticipated retirement -- Morro Bay already
14 retired. Diablo Canyon retiring. We do see capacity
15 available there for roughly half the numbers. You know,
16 we were looking at 3, 4 gigawatts can be accommodated
17 with the existing system as these units are dropping
18 off.

19 We're hearing 8 to 20 gigawatts. Eight would be
20 a problem. Twenty means redesigning a lot of our
21 existing grid, putting it bluntly.

22 So, there are implications. That's not to say
23 they can't be done, but it can only be done if we see it
24 coming, if these targets are set longer term, and the
25 planning and infrastructure development gets underway

1 fairly quickly.

2 One example, though, there are competing uses
3 for these facilities. We have other types of
4 generation, including energy storage projects that are
5 also in that queue and are seeking to move forward. And
6 we're not preserving capacity for one type of project in
7 favor of another. It's an open access framework we're
8 in. If projects are ready to move forward, we carry
9 them forward.

10 One consideration from the system side is that
11 one of the midway Diablo Canyon, 500 kV circuits is
12 being considered to be repurposed to reinforce the 230-
13 kV system in the area. If we want to retain flexibility
14 to retain that full capacity out of the Diablo area, it
15 will start costing us money to preserve that capacity.

16 So, those are issues that we need to integrate
17 into the holistic planning process, instead of just
18 moving forward one small decision at a time, or we might
19 end up where we don't expect to be.

20 Once we get past the 4-gigawatt level, as I
21 mentioned, we could be looking at implications on the
22 much larger, 500 kV backbone, and our ability even to
23 transfer power back and forth between Southern and
24 Northern California. So, these are things we're looking
25 at but, again, need the resource planning in place to

1 actually take it beyond a conceptual consideration.

2 One other point I just wanted to make is that as
3 we rely more, and more heavily on different types of
4 renewable resources, we're also having to consider a
5 broader range of scenarios in all of our transmission
6 planning. The specific type of circumstances, the blend
7 of resources that actually show up at any given hour, of
8 any given day can be across a broader range of
9 possibilities. And having more flexibility from the
10 transmission side is going to become more important.

11 Now, proving that you need the reinforcement is
12 going to be more of a challenge because, contrary to
13 what you may have heard, transmission is not that
14 popular in some parts of the country.

15 Okay, it's not popular in any part of the
16 country.

17 (Laughter)

18 MR. MILLAR: You need a very solid case to get
19 transmission built, not that it might be helpful. We
20 need stronger cases and we need to work with the state
21 agencies to build those cases.

22 One scenario I just wanted to put up here was
23 that in February of this year, we actually had one of
24 those unusual situations where even though there were
25 high hydro conditions in the Pacific Northwest, their

1 load took off. We ended up exporting hydro resources
2 out of Northern California. No one ever expected that
3 we would be exporting hydro north, out of California.
4 There were limits there that actually we started to
5 encounter. We knew of those limits for years, but they
6 hadn't been an issue before.

7 So, we are running into a broader range of
8 operating conditions that the system needs to manage,
9 and that's only going to increase as we move forward.
10 This will just be another part of that pie.

11 Sorry for taking that long, but I'll look
12 forward to any questions. Thank you.

13 MR. FLINT: Thanks. Thanks, Neil.

14 Our next presenter is Scott Flint from the
15 California Energy Commission. I know we're getting near
16 lunch, so I'll go as quickly as possible. And you've
17 heard me talk enough in other venues, anyway.

18 So, it's not a surprise that we're looking at
19 drilling down on identifying on what's going on, and
20 what we need to do to bring offshore wind in these
21 different areas of California, these different areas
22 that we're talking about.

23 And it's no surprise to everyone in this room
24 that California has an abundance of offshore wind
25 resource.

1 In late 2017 and 2018, CEC began to take a look
2 at which areas might work best for offshore wind
3 generation, off the coast of California. Staff, working
4 with the Bureau of Ocean Energy Management staff, and
5 supporting activities of the BOEM California Offshore
6 Wind Task Force, started taking a more drill down
7 approach of looking to identify these areas.

8 And first, we identified and then applied
9 technical criteria, jurisdictional permitting
10 considerations, and operational considerations to
11 identify areas that might work.

12 So, here, we're talking about technical
13 considerations such as wind speed, average wind speed
14 greater than 7 meters per second, annual average. The
15 depth to the ocean floor, so that we could allow for
16 anchoring. Distance from transmission and proximity to
17 load center, and then distance from ports to support the
18 workforce, the construction, and the maintenance of
19 these facilities.

20 And then, also, from BOEM's perspective, looking
21 at their jurisdiction to permit, which is three miles
22 offshore and not in marine sanctuaries. So, the first
23 map kind of turns into this map, where we have areas on
24 the North Coast and the South Coast to focus in on.

25 So, for illustrative purposes, I'll just walk

1 you through some of the South Coast areas. So, this is
2 a large, large area and some of the benefits of the
3 South Coast areas are they're closest to load center,
4 and have available transmission, or transmission that
5 might be available at some point in the future.

6 And in the North Coast, they have the highest
7 wind speeds off the California shore, the best wind
8 resource, and some of the best in the world.

9 So, within these larger areas, we looked a
10 little -- started to dig a little deeper. And so, with
11 BOEM's help, we did some modeling, looking closer at
12 different and more detailed wind speed data for wind
13 power, generating a wind power curve, and then looking
14 at depth and distance, and coming up with a simple model
15 that optimized for those three things.

16 And so, you see that black and grayish area
17 superimposed here on the map. The darker, the better.
18 So, within those areas there are areas that showed up as
19 being more optimal from the technical standpoint.

20 And we cleaned up this area down here by also
21 eliminating some areas too far from transmission. We
22 also explored, using existing data, the seabed slope and
23 the substrate type as best as possible.

24 Then, we took all that and looked at other
25 constraints, again using existing information. So,

1 here, we looked at things like potential overlap or
2 implications to existing uses, such as traditional ocean
3 uses, fishing and recreation, industrial activities,
4 existing leases, undersea cables, shipping lanes, vessel
5 traffic, various ocean habitats, important areas for
6 marine birds and marine mammals. And, of course, we
7 also looked at commercial interests. And we did this
8 for both the North and South Coast.

9 One trend that we did find out -- some trends we
10 found doing this sort of look are about 20 miles
11 offshore you consistently find a better wind resource
12 and also, usually, lower biological conflicts. Not
13 zero, but they get lower the farther offshore.

14 The same thing with commercial fishing
15 conflicts. And also, further offshore fewer visual
16 considerations that will need to be examined as we move
17 forward.

18 Southern California and the Northern California
19 both have constraints from DOD operations. Obviously,
20 more so of an issue on the South Coast.

21 So, from this work and extensive outreach,
22 feedback and public comments from extensive outreach to
23 elected officials, local governments, fisherman groups,
24 partner agencies, universities, research institutions,
25 citizens, environmental and user groups, ocean user

1 groups, we took that sort of input information in, too.
2 And BOEM selected these areas that came out in the
3 October 2018 call.

4 So, you see the larger areas that were
5 identified on the North Coast for the first time on this
6 map, plus the Humboldt call area there in the center, in
7 darker blue.

8 And the same thing on the South Coast, using the
9 same sort of identification effort, you have the Morro
10 Bay and then the Diablo Canyon subareas there.

11 So, I just wanted to quickly walk you through
12 that and say that we -- again, it's no surprise why
13 we're focusing on the areas that we focused on. The
14 good news is there's opportunity to look at explore
15 other in other areas beyond the call areas that we're
16 currently looking at. And the other good opportunity is
17 the call areas, based on existing information, seem to
18 be areas that are optimized for technology purposes and
19 will likely -- likely may be some of the areas with
20 lower conflicts with the other uses of the ocean, and
21 ecological concerns.

22 But we know there are constraints in those areas
23 from those issues. And this work has also pointed us in
24 to investigate where we need to fill data gaps related
25 to identifying those constraints and how to deal with

1 those constraints as we move forward.

2 So, after lunch, you'll hear in those panels a
3 little bit about where we're going to fill those data
4 gaps. And thank you very much.

5 Our next speaker, and last speaker, Necy Sumait
6 from Federal Bureau of Ocean Energy Management.

7 MS. SUMAIT: Good afternoon. It's a pleasure to
8 be here. Thanks for the opportunity.

9 I was asked to confirm industry interest. And
10 for any of us that have been together for the past three
11 days, and you've heard it this morning, I confirm
12 there's industry interest, so we can all go to lunch.

13 (Laughter)

14 MS. SUMAIT: But I do have a few slides. So, as
15 Scott said, we've been working with the Energy
16 Commission. It's been a pleasure to work with the state
17 under the leadership of Commissioner Douglas to identify
18 and just explore the opportunity for offshore wind
19 offshore California, both in the North Coast and the
20 Central Coast.

21 We have reached out through different interest
22 groups, put in data in the database, and it's in a
23 transparent manner, and we came up with three call areas
24 that Scott described.

25 In the Northern area, we have what we call the

1 Humboldt call area. That's approximately about 206
2 square miles. It's roughly 21 miles offshore Eureka.

3 In the Central Coast, we have two call areas and
4 that is the Morro Bay, roughly 312 square miles, and
5 about 24 miles offshore. Cambria and the lower site is
6 the Diablo Canyon call area and that's about 556 square
7 miles, and about 22 miles offshore Los Osos.

8 So, we did issue the call for information. We
9 received over 106 comments. And one of the things that
10 was also useful is that we received nominations of
11 interest. So, 14 companies expressed nominations of
12 interest. All the names here are familiar to you. You
13 know, there's at least two or three companies there that
14 are also active in California, that is not even on this
15 list, yet. So, clearly, companies are responding to the
16 possibility for offshore wind here, in the state.

17 We do have a qualification process for these
18 companies. Basically, they have to be in good standing.
19 We look at their technical qualifications, what they've
20 done in the past, the team they bring forward, and
21 financial qualifications, as well. And just to make
22 sure that, you know, everything is in order.

23 And, you know, we go through and at the end of
24 the day these companies are termed legally qualified.
25 They are assigned a BOEM number and they can participate

1 in a future auction.

2 Prior to any auction, we are also going to be
3 able to receive other companies, who haven't been
4 prequalified, so they can be qualified for a future
5 auction. So, any of these companies can bid going
6 forward. And, you know, we may see others as well.

7 So, this is just a snapshot of, you know, who,
8 what, and about what kind of projects have been
9 proposed. On the two call areas, we have two companies
10 that expressed interest in just one of the call area,
11 either just on the North Coast or one on the Central
12 Coast. Three companies actually picked a particular
13 area within the call areas. But the rest of them just,
14 you know, will be interested in anything that is
15 identified going forward.

16 The project size that was talked about ranged
17 all the way up to 2,500 megawatts. And turbine sizes
18 that were proposed are about 6 to 15 megawatts.

19 So, you know, going forward, what the next step
20 for BOEM would be is to identify wind energy areas on
21 which we will do a NEPA review for potentially lease
22 issuance.

23 I don't really have much more. This afternoon,
24 you'll hear from our studies group. BOEM has a very
25 robust studies program. It's already been talked about

1 a little bit this morning and you'll hear a little bit
2 more from Jeremy and, specifically, he'll highlight some
3 of the environmental studies that we do do.

4 And to the extent that we can inform the state
5 in terms of the IRP, the IEPR, and even in the ISO
6 process, we would be certainly interested in doing that.
7 And maybe, we can get NREL to speed up the hourly
8 profiles, as long as it's -- so that it can be timely in
9 any input that's received from the state.

10 So, with that, that is really all I have.

11 MR. FLINT: Thank you, Necy.

12 We are 11 minutes over, so I defer to the dais
13 for next steps.

14 COMMISSIONER DOUGLAS: All right, we have some
15 very quick questions, but we're hoping to wrap in six
16 minutes or less for lunch.

17 A question for Sandy, for E3. To what degree
18 did you incorporate transmission and distribution costs
19 in the cost modeling you did?

20 MR. HULL: Yeah, so the models we ran
21 incorporated NREL's costs for offshore wind and
22 effectively that was the -- we had two cost scenarios
23 for Castle Wind. One used the NREL costs, one used
24 costs provided by Castle Wind. Both incorporated some
25 generic transmission upgrades.

1 I think what's challenging is knowing how
2 transmission costs would vary at different scales of
3 build out. So, we did not get into detail on that. But
4 we did include kind of nominal transmission costs for a
5 gen tied to shore.

6 COMMISSIONER DOUGLAS: Okay.

7 MR. FLINT: For the transcript and folks on the
8 WebEx, that was Sandy Hull answering. Folks, please
9 repeat your name if you answer. Thank you.

10 CHAIR HOCHSCHILD: This question, I think is
11 Alla, although I should have probably asked it at the
12 last panel as well. It's just about the policies and
13 incentives that are currently available to offshore wind
14 developers and other related industries that we should
15 be mindful of.

16 I mean, it's the ITC, you know accelerated
17 depreciation. Are there, for example, the possibility
18 of using enterprise zones in any of the assembly areas,
19 or any other policies at the state or federal level
20 looking ahead you think will be particularly important
21 to sustain, or strengthen, or new policies that don't
22 yet exist to help drive down costs?

23 MS. WEINSTEIN: I think if you look at how
24 things developed in Europe and on the East Coast, in
25 particular, probably a little bit more applicable to the

1 United States. What drove creation of the supply chain,
2 what drove things to happen on the East Coast were the
3 state targets. It's when the state set the target,
4 things happen. Because supply chain and developers
5 cannot just do things without knowing what the pipeline
6 is going to be. As was demonstrated by a number of
7 studies and, particularly, Rob mentioned the UK, turbine
8 manufacturers will establish turbine facilities, or
9 fabrication facilities locally, if they see the pipeline
10 for the next ten years. That's what they need.

11 And the same thing would be with ports. If the
12 ports need to be redeveloped, as we're already seeing on
13 the East Coast, developers are investing in the ports to
14 redevelop them, as long as they can see the pipeline.

15 So, it all comes together. At the same time the
16 state, really the only thing the state did is set up the
17 target.

18 Now, on the East Coast, you have states that
19 procure energy. California does not procure energy.
20 So, certain conditions are different. But if the state
21 sets the target and we know what we are trying to
22 achieve, then the industry will be able to develop a lot
23 of capabilities.

24 CHAIR HOCHSCHILD: Right. No, I'm very familiar
25 with the value of targets. But I'm saying in the solar

1 industry we had a target, right, but we also had a whole
2 bunch of policies in place, you know, in terms of rate
3 design, and rate metering, and interconnection
4 standards, and state tax credits, and permit
5 acceleration, the whole suite of policies that
6 accompanied the target that were critical.

7 I mean, so I don't know if anyone else on the
8 panel has any specific thoughts on that. And,
9 certainly, folks in the panels to come this afternoon,
10 that's a question I'm interested in. What else do we
11 need to do to support -- whatever the state target ends
12 up being, to support cost reduction?

13 COMMISSIONER DOUGLAS: So, I just had one
14 more -- I guess, probably more of a comment. So,
15 Scott's presentation was brief and high level. We're
16 hoping to have more information from him, in writing,
17 that will go through datasets, and sources, and logic
18 model how it's put together so folks can really see that
19 in more detail.

20 And, Neil, appreciated your presentation. And,
21 you know, we do need to do some thinking together about
22 how to understand the big picture, you know, different
23 levels of scale, different geographies, and what does
24 that mean on the transmission side. Because, obviously,
25 using sort of a stock number for what transmission costs

1 might be isn't going to cut it, as we really get there
2 and try to get there with our analysis.

3 So, you know, I don't exactly know how to do
4 that, but I think it's definitely important to go to the
5 next level there.

6 We've got one minute, let's do it. So, I think
7 we've conferred a little bit up here. We're going to
8 cut lunch a little bit short in order to be on time.
9 So, if everyone could please try to be back by 1:30,
10 we'll start up again at 1:30.

11 MR. FLINT: Thank you, panel members.

12 (Off the record at 12:44 p.m.)

13 (On the record at 1:39 p.m.)

14 MS. RAITT: Great. So, just a reminder, we are
15 going to have public comment at the end of the day. So,
16 if you want to make comments, you can talk to our Public
17 Adviser, who just stepped away. But she is normally at
18 the table right there, Rosemary.

19 So, we'll go ahead and get started on our third
20 panel on the Status of Research, Data Collection, and
21 other Initiatives to Support Environmental Analyses and
22 Public Outreach in California.

23 And the Moderator is Chris Potter from the Ocean
24 Protection Council. Thank you.

25 MR. CHRISTOPHER POTTER: Thank you. Good

1 afternoon Commissioner Douglas and Assistant Secretary
2 Gold. Thank you for this opportunity to moderate a
3 panel on the status of research, data collection, and
4 other efforts to support environmental analyses and
5 public outreach around offshore wind development in
6 California.

7 Initial efforts have enabled the state, in
8 collaboration with the Bureau of Ocean Energy Management
9 to begin assessing tradeoffs and compatibility of
10 offshore wind with a range of ocean uses and identify
11 environmental issues that need to be investigated during
12 the planning phase.

13 It's important to note that important
14 environmental studies are already underway and being
15 conducted by West Coast researchers. Funding for this
16 research has been provided by the Bureau of Ocean Energy
17 Management, the Ocean Protection Council, the Energy
18 Commission and foundations. You'll learn more about
19 these studies, momentarily.

20 But last, but not least, environmental NGOs and
21 industry have begun an initiative to identify
22 environmental research needs.

23 The first speaker today is Jeremy Potter, Chief
24 of the Environmental Sciences Section at the Bureau of
25 Ocean Energy Management's Pacific Region Office.

1 MR. JEREMY POTTER: Good afternoon. Are there
2 slides? Oh. Oh, thank you.

3 My name is Jeremy Potter. I'm the Environmental
4 Sciences Section Chief for the Bureau of Ocean Energy
5 Management, in the Pacific Region. It's a pleasure to
6 be here with you today.

7 And in the brief period of time that I have, I
8 want to make sure to at least spend a bit of time
9 hitting the priorities that both Commissioner Douglas
10 and Executive Director Gold highlighted at the very
11 beginning in terms of there's a universe of amazing work
12 going on as it comes to offshore, science related to
13 offshore wind energy. Trying to keep up with that is
14 pretty close to impossible, but we need to do a better
15 job of it, and we need to do a better job of
16 coordinating future efforts.

17 And I can speak for BOEM to say that that is
18 something that I'm dedicated to making happen. OPC, CEC
19 and BOEM staff are actively talking about how to do a
20 better job of that. If you have any recommendations on
21 how BOEM can do a better job now or in the future, I
22 would welcome any of your thoughts.

23 But jumping straight to BOEM, briefly. We
24 categorize studies, we fund a number of scientific
25 efforts every year. We categorize them in two different

1 ways. One being resource assessment, the other being
2 environmental studies.

3 The resource assessment front, when Walt talked,
4 he gave a really good description in the very beginning
5 about resource assessment. I think, in terms of
6 characterizing wind energy resources, also, even
7 electrical grid constraints are types of studies that
8 BOEM has worked to fund in conjunction with PN&O, NREL,
9 also Humboldt State University.

10 But that's not the purpose of this session.
11 This session is on the environmental studies, which is
12 the other category of BOEM studies that we do fund.
13 When we talk about environmental studies, we're thinking
14 in terms of what are the data information we need to
15 appropriately assess the potential environmental impacts
16 of offshore energy development?

17 I'm going to briefly give a little bit of
18 context about the studies program, but then dive into a
19 couple new and emerging studies that BOEM's very excited
20 about doing with our partners, and I think many of you
21 would be interested in, as well.

22 BOEM has an annual environmental studies
23 process. It starts in a couple weeks from now, really.
24 It goes for about a year. It starts with reaching out
25 to stakeholders, inviting external ideas for concerns or

1 study ideas that we should consider funding.

2 Parallel to that, our internal scientists
3 develop ideas that we should also be considering. We
4 consider those efforts in parallel by identifying,
5 prioritizing, and then ultimately selecting for funding
6 which studies we want to fund on an annual basis.

7 So, this week is actually a really interesting
8 time because we are in the process of finalizing the
9 funding for this coming year's work, but we're also just
10 starting the idea or process of thinking about next
11 year's work.

12 So, jumping to highlights of four different
13 studies. If I did a verbal -- looked for verbal
14 concurrence in this room of people that have a high
15 degree of confidence in government, multiple government
16 agencies, I'll say federal government agencies to highly
17 effectively and efficiently coordinate activities
18 amongst themselves across federal agencies, I don't
19 think there would be a lot of takers.

20 This is an example of why you should have hope.
21 I think this is a great example of how those groups, in
22 conjunction with nonfederal partners can do an amazing
23 job of doing some really big things together. It takes
24 work. It takes time. Sure, there's problems, but you
25 figure them out.

1 I will say that our biggest concerns that we
2 hear about from stakeholders, it typically isn't deep
3 water habitat information. Certainly, it does come up.
4 Sensitive habitats like deep water corals, cold seeps
5 are things that are brought up, but it's not of the top
6 three that we always hear about. The top three being
7 things like marine mammals, birds, fishing activities.

8 That said, as you've heard from several people
9 this morning, wind --if there is wind development
10 offshore California, it's going to be in deep water.
11 And you need deep water habitat information to
12 appropriately assess the potential environmental
13 impacts.

14 Moreover, if you compare offshore California to
15 areas in the Atlantic and in the Gulf of Mexico, for the
16 most part, there are some exceptions, especially in
17 Monterey Bay, but we do have less information about
18 these types of habitats off the West Coast, than we do
19 in those areas, for a variety of reasons. That said,
20 there is a lot of good information out there. And
21 getting additional regional information, regional
22 contexts for where these habitats are and how they
23 relate to each other is really important when we
24 consider future, potential environmental impacts.

25 All that context is to say that in the last

1 three years, among three federal agencies, the Bureau of
2 Ocean Energy Management, NOAA, and USGS, along with
3 partners primarily at the Monterey Bay Aquarium Research
4 Institute, we've executed 22 different cruises to do a
5 combination of mapping and visual habitat
6 characterization in deep water areas.

7 What's very exciting is next Monday a major
8 expedition is starting underway out of Newport, Oregon,
9 and going to work all the way south, both inside and
10 outside national marine sanctuaries, to try to further
11 this regional context.

12 The website, which just went live today, you can
13 look at the bottom of the slide. There will be live
14 streaming -- anybody that's following along at home,
15 scientists, the public, can see the live video feeds
16 going on, to see for themselves what is offshore
17 California.

18 Jumping -- I've already flagged marine mammals
19 as one of the things that we hear most about and,
20 obviously, needs a lot of attention. One of the
21 questions that we hear is about what is the risk
22 associated with entanglement of marine mammals?

23 Okay. Now, ideally, you'd have a system or
24 platform out there that you can go study and look
25 historically about what information, how many marine

1 mammals have been entangled. That doesn't exist. So,
2 how do you start cracking that nut as far as what is the
3 information that you need to appropriately assess what
4 that question is and what the risk is.

5 Well, we started last year with trying to
6 actually just look visually at what this would look
7 like, get a better sense of scale. PNNL did a visual
8 simulation of humpback whales' perspective on wind
9 energy farming. But that's not enough.

10 So, what we're starting, what we have just
11 initiated now, in conjunction with PNNL, is actually
12 trying to do a computer simulation of what that behavior
13 and the interaction would be. Again, it just got
14 started. It's not due for completion until 2023. But
15 it is underway. It includes digitally, morphologically
16 accurate computer models of two different species of
17 marine mammal, as well as Leatherback Sea Turtle. Also,
18 doing two different layouts for wind energy development
19 and then, looking at simulating the interactions.

20 Two, over water migration movements of black
21 brant. As I mentioned, birds are a big topic that
22 always frequently come up, needs attention when it comes
23 to environmental analyses. Why I think this is
24 particular important is it gets back to the stakeholder
25 issue that I mentioned at the beginning.

1 This was not a topic that was high on BOEM's
2 radar to be thinking about, the black brant specifically
3 were not. It was what we heard about through meetings
4 with the State of California, as well as through our
5 annual studies process. When we received that
6 information, we started paying a lot of attention to it.

7 More importantly is BOEM, at least the Pacific
8 Region, does not typically fund single-species studies.
9 We have always, to the best of my knowledge, only funded
10 avian studies that are multi-species. This is the first
11 one that is prospectively single species, it's not
12 awarded, yet. It's pending this year's fund and we
13 don't have an appropriation. Assuming it comes, this
14 will be a study that we are planning to fund. Which is
15 trying to get a better sense of the migration patterns
16 of black brant, largely because of the stakeholder
17 concerns listed on the slides that you see in front of
18 you.

19 And last, this is one that if you think about
20 any of the slides that I present tonight, I hope you
21 think about this one.

22 I admit, I am not amazingly passionate about
23 marine mammals. I like the really deep-water stuff,
24 right. But every once in a while, there are these
25 projects that come up that you hear about the science,

1 you hear about what they're trying to do, and you hear
2 from the scientists about their vision for what could be
3 done. And this was one of those projects that really
4 gets you. At least it got me.

5 Everybody that hears about this project gets
6 very excited about it and sees how they could play a
7 role in it. This is one that we need help with. It
8 initially developed as an idea. You can read about it
9 on the slides. But think about it in these terms that
10 never before, that I can say, do you get both spatially
11 and temporally robust data when it comes to marine
12 mammal abundance and distribution. Right, you can do
13 one or the other.

14 What we wanted to do was, thinking about off of
15 Humboldt, how do you do that in a small area? How do
16 you get them both at the same time? And drifting
17 passive acoustics buoys are how we're -- was proposed by
18 NOAA and some of our BOEM scientists to do it. And it
19 was really intriguing. And it's actually, relatively
20 low cost.

21 If you tried to do this across the entire
22 California current ecosystem, there is no way that you
23 could fund that with the traditional technologies. That
24 being fixed moorings, aircraft visual surveys, ship-
25 based surveys.

1 But if you think about drifting passive acoustic
2 buoys, you can do that in a small area. Yes, it costs
3 some money. But if you wanted to scale up to the entire
4 California current ecosystem, you could actually do that
5 with a relatively reasonable amount of funds. It's
6 never been done before and we're trying to get there.

7 What BOEM is preparing to allocate funding
8 towards is the smaller, initial effort, which is focused
9 on Northern California. We're actively in discussion
10 with NOAA right now. But we're looking for partners
11 right now so that we can successfully expand that up to
12 the entire California current ecosystem.

13 And I've gone over my time by one minute. I
14 apologize. Thank you.

15 MR. POTTER: Thank you.

16 Our next speaker is Dr. Jaime Jahncke. He's the
17 Director of the California Current Group at Point Blue
18 Conservation Science.

19 DR. JAHNCKE: Hello and thank you for the
20 invitation to be here today. I work for Point Blue
21 Conservation Science. Our mission is to conserve
22 wildlife and ecosystems through science, partnerships,
23 and outreach. And for the purpose of this project, we
24 have a collaboration that brings together, also, the
25 Conservation Biology Institute.

1 What we aim to do is to use available data to
2 identify offshore wind energy areas. And the reason for
3 this is that during the common process to BOEM there was
4 a large series of comments that requested a transparent
5 and objective analysis to identify siting locations and
6 additional research to identify key data gaps, and
7 models that have the ability to be updated as new data
8 comes forward to better inform you of the siting
9 locations. And, also, the explicit presentation of
10 uncertainty.

11 So, the goal of our work is to promote
12 transparent and objective decision making around the
13 selection of locations and types of renewable energy
14 development.

15 The background for this is that there was a lot
16 of investment from BOEM and the California Energy
17 Commission in developing the California Offshore Wind
18 Energy Gateway and Database. And there's a lot of
19 information there, over 700 datasets, and they have not
20 all been synthesized into a few products that are easy
21 to understand. So, that's where we wanted to
22 collaborate.

23 Our objectives: Identify sea level locations
24 for renewable energy; identify data priorities and gaps,
25 conflicts, and tradeoff with wildlife and human uses;

1 examine the areas that have been already identified by
2 BOEM; and eventually suggest additional ones, and
3 disseminate these results widely to managers, to
4 industry and to stakeholders.

5 Our approach is like, basically, to bring all
6 the data back into Point Blue servers to conduct a data
7 search simply to understand, you know, what are the
8 critical datasets that needs to be included, what are
9 the vulnerabilities, what are the risks. Assess the
10 quality of the data, bring it back up to date and put
11 together an optimization analysis.

12 For this, we will be partnering closely with the
13 Conservation Biology Institute that is working on
14 additional models using that logic framework for this,
15 that will bring in some stakeholder input as part of the
16 assessment. This will help us with our prioritization
17 but provide a sensitivity and evaluate for our analysis.
18 And we'll have a series of products that I will describe
19 in a bit.

20 I guess most of you are familiar with this graph
21 that was also shown by Scott a little bit ago. This
22 provides a landscape of the offshorewind resource along
23 the West Coast of California. Then, they separated the
24 areas that are not available because they are protected
25 or because they have busy shipping traffic in it and

1 suggested a bunch of polygons where potential
2 development could happen.

3 But before, I saw the slides earlier today from
4 Scott, I have not seen and others have not seen wildlife
5 and human use data being considered in this analysis.
6 So, that's where we come in. There is a lot of concern
7 about deep sea habitat, as were mentioned early on, for
8 fish and migrating fish species, sea birds, whales, the
9 multiple human uses that occur along the coast, and
10 coastal resources.

11 And so, we will be getting together with the
12 stakeholder community to identify which are the key
13 science-based datasets that are critical for this
14 analysis, working with them to figure out what are the
15 vulnerabilities that we are talking about, and what are
16 the risks to each one of the species and habitats, and
17 then bring those together into the models.

18 The deliverables will be a new, large-scale
19 analysis that shows -- it's a map that shows locations
20 where you can maximize energy production and you will
21 minimize potential impacts with wildlife and humans.
22 And then, a series of fine-scale analysis where we will
23 go into detail about the data availability within the
24 selected areas, or the core areas. Looking at the data
25 types, quality, resolution, the extent of the series,

1 and trying to identify the gaps for that particular
2 location.

3 We believe that the outcome of this work will be
4 recommendations on offshore energy siting that are
5 guided by and based on a comprehensive analysis of all
6 the data you guys have collected over the last three
7 years. Our analysis would include a quantification of
8 impacts to habitat, species, and ocean uses. We'll
9 account for the energy potential in a rigorous way from
10 the perspective of multiple stakeholders. And we will
11 try to provide a measure of uncertainty so that you guys
12 know the different risks that you are taking by making
13 different decisions.

14 This work is funded by the Ocean Protection
15 Council and we appreciate that. Thank you.

16 MR. CHRIS POTTER: Thank you, Jaime.

17 Our next speaker is Garry George. He's the
18 Clean Energy Director with the National Audubon Society.

19 MR. GEORGE: Hi. And I think I'll just give my
20 presentation from here, if that's okay. I don't have a
21 PowerPoint and that will be faster.

22 I want to thank the Ocean Protection Council,
23 the Energy Commission and the CPUC for inviting Audubon
24 here today. As you know, we're a hundred-year old
25 organization. Our mission is to protect birds and the

1 places that birds and people need now and in the future.
2 We're local everywhere in North America, especially in
3 California, where we have 49 chapters, three state
4 offices, and about 75,000 members and supporters.

5 And we wanted to call your attention to our
6 climate report of 2015, which revealed that 314 North
7 American species of birds are seriously threatened with
8 losing their climate suitability of their breeding and
9 wintering ranges. Depending on how we do with our
10 emission reductions, and that some may go extinct by
11 2080 because of climate. So, we have a hundred-percent
12 clean, carbon-free energy future to meet emissions goals
13 to protect those birds and that's a conservation outcome
14 for us.

15 We've been working on offshore wind probably
16 since 2016, since the first kickoff in Morro Bay, with
17 our NGO colleagues. We've been asking, and asking, and
18 asking for data gap analysis, more data, more data
19 collection, et cetera. And I just wanted to say that I
20 want to thank the Ocean Protection Council, and BOEM for
21 the great research that they're doing in response to
22 that. It's fantastic to see, three years later, that
23 we're actually kicking it off.

24 And, you know, this is very impressive for us.
25 The brant study is new to me. That's fantastic. Thank

1 you. We've been concerned about that.

2 So, there is one major priority for Audubon and
3 that is that there is no verified technology to actually
4 monitor what happens to birds offshore in California or,
5 actually, in the East Coast as well. And so, we think
6 that's a priority for developing those new technologies.

7 And I want to just acknowledge that the
8 Department of Energy just gave \$2.3 million in grants
9 for those kinds of technologies. And I would suggest
10 that in any way that the agencies can also provide some
11 support for that, for the development of these new
12 technologies. And if the developers of the energy can
13 do that now, before those machines go into the waters, I
14 think that would be really, really helpful and we
15 consider it a priority. I don't know how you can
16 address impacts or do adaptive management if you don't
17 know what's happening. So, that's a priority for us.

18 We'd also like to say that the BOEM Call Areas
19 were really identified around commercial interest. And
20 so, we never really had, and the state had to respond to
21 that. So, we never really had a state-driven,
22 stakeholder-driven, data-driven analysis of the
23 California offshore waters for areas to avoid, other
24 than a quick analysis that Scott did, that was very
25 good.

1 And so, we think that maybe included in the IEPR
2 could be a consideration of a long-term evaluation of
3 the role of offshore wind energy and, also, maybe a
4 process to actually create what I would consider to be
5 least conflict areas. To help the industry avoid those
6 areas and also identify where transmission might be more
7 -- to just get ahead of the BOEM process a little bit
8 and to maybe interject some of our own California values
9 and the protection of our natural and marine resources
10 that we love so much.

11 So, in summary, the research and data collection
12 is very, very important to us and we prioritize that.
13 We participate and collaborate with the industry often,
14 nationally with some of the biggest generators in the
15 United States, in the American Wind and Wildlife
16 Institute, where we've been able to facilitate millions
17 of dollars in research that will help them avoid and
18 minimize impacts to our birds.

19 We don't know how to build a wind project and
20 they don't necessarily know how to conserve birds. So,
21 this info sharing relationship is really, really key.
22 And it's done very well.

23 We've also been a participant, for four years,
24 in the Avian Solar Working Group, which is resolving
25 conflicts with birds and PV solar.

1 And we've just started a California Offshore
2 Wind Working Group, and I'm going to turn it over to my
3 colleague, Tyler Studds, from EDP, to talk about where
4 we are today.

5 MR. STUDDS: Thanks, Garry. Did somebody leave
6 a phone up here? Okay. All right.

7 MR. CHRIS POTTER: So, for the record, Tyler is
8 with EDP Renewables. He's a Project Development Manager
9 there.

10 MR. STUDDS: Good afternoon and thank you very
11 much for this opportunity to present to the Commission.
12 I'm going to be presenting on behalf of an emerging
13 working group, of this collaboration between offshore
14 wind developers, NGOs, with support from the UC Berkeley
15 Center for Law, Energy and the Environment.

16 Our objective is to advance responsible
17 development of offshore wind using best available
18 science to ensure that offshore wind is developed
19 responsibly and in a manner that mitigates or avoids
20 impacts to California's unique coastal environment and
21 resources.

22 I'm going to talk about the basis and need for
23 this work, how we propose to go about it and what sort
24 of results we'll produce. A general timeline that we
25 plan to produce those results and provide some

1 recommendations on how to advance this important work.

2 It has been repeated often here, and throughout
3 this week, and it bears repeating again that climate
4 change is a severe threat. And that we believe that
5 it's absolutely urgent to decarbonize California's
6 electricity system as soon as possible. And that we
7 believe that offshore wind can provide a significant
8 role in a diverse energy portfolio required to fulfill
9 the mandate of SB 100.

10 Offshore wind is a proven technology that's been
11 demonstrated around the world and it's new to
12 California's unique marine ecosystem.

13 At the scale that we as an industry are
14 proposing and that we believe offshore wind is needed,
15 we also need to propose a similar plan of scope and
16 scale to enable and ensure that that development happens
17 in a responsible way.

18 So, in order to kind of set the stage to inform
19 the basis for this, I want to first highlight the
20 existing regulatory framework within which offshore wind
21 projects develop and that site-specific data is
22 collected and analyzed under the regulatory process.

23 There's three points that I want to emphasize
24 here. Number one, as I had mentioned that each
25 individual project is required to gather site-specific

1 data for a period of up to three -- you know, at least
2 three years, that inform a NEPA and CEQA analysis. That
3 data collection continues during construction, to
4 monitor construction activities, often with protected
5 species observers to ensure that vessels do not impact
6 marine mammals. And then, that monitoring continues
7 through operations for permit compliance.

8 Number two, want to emphasize the timing at
9 which that data collection begins, which is post-lease.
10 And just for reference on this timeline, the first
11 starting point here is actually with area
12 identification. Which, as you heard from BOEM earlier,
13 would be the next step in the process. So, that data
14 collection begins after a lease acquisition and after
15 approval of a site assessment plan by BOEM.

16 The third point here is that, and this has been
17 a frequent critique of this process, is that the data
18 that is being collected by each project is not typically
19 made available until submission of a construction
20 operation plan.

21 So, again, this is a rigorous, defined data
22 collection that's associated with a specific project and
23 a specific location. It's sufficient, we believe, or
24 it's necessary, we believe, associated for specific
25 projects, but definitely not sufficient to identify and

1 assess potential impacts associated with the scale of
2 development that we're proposing.

3 So, therefore, we're proposing to conduct a
4 broader framework approach that helps to identify and
5 guide specific data and research questions associated
6 with each development time frame. There's a couple
7 different benefits to doing this approach.

8 Number one it helps, as I mentioned, to identify
9 the specific information and data needs at each
10 development phase.

11 Number two, it allows an integrated approach and
12 a holistic approach that envisions data collection needs
13 that flow into the next phase. For example, specific
14 research questions that get conducted on an operating
15 project will require and be enabled by baseline data and
16 wildlife surveys that will be identified by needs for
17 desktop studies.

18 So, for example, the work that we're proposing
19 to do, which I'll describe further later, to jointly
20 identify and scope key research questions, that's work
21 that we do now, but that gets conducted in the future in
22 an operating project. The benefit of taking this
23 holistic approach is that we are then able to understand
24 the baseline data collection that's needed in order to
25 best help those studies to be successful.

1 So, in particular, baseline data is particularly
2 important in order to distinguish the changes that are
3 happening and we're seeing in an ocean ecosystem as a
4 result of climate change, and to be able to distinguish
5 those changes from any potential changes associated with
6 offshore wind development.

7 The third aspect, too, I want to highlight is
8 that this framework takes into consideration what
9 funding sources are available at each stage. In
10 particular, developers will be more likely and
11 interested to fund research after a lease acquisition
12 and then during project operations, as well.

13 So, again, the key points here is this holistic
14 framework approach allows us to really identify specific
15 data and information needs along the way, as we're
16 proposing to develop this resource at scale. It enables
17 us to ask a specific set of questions that are different
18 than are asked and answered associating with a specific
19 project permitting process.

20 For example, the questions we're asking
21 underneath this framework will be population level,
22 regional focus long term. It's a different set of
23 questions and in order to design studies to specifically
24 answer those and measure affects, it requires a very
25 focused effort and consideration of the data needs

1 throughout the entire project lifecycle.

2 So, in order to implement this work, we're
3 proposing to conduct a series of stakeholder workshops
4 based on the models that have been proven, including the
5 AB and Solar Working group, to jointly identify and
6 scope key research questions and design studies to
7 execute those.

8 As I mentioned previously, this is an effort
9 (indiscernible) by offshore marine developers and NGOs.
10 In order to advance this important work, we have a
11 number of recommendations, which include strong funding
12 support from the state, including appropriate agency
13 staff participating in an advisory capacity to ensure
14 that we're coordinated. And also, pursuing funding
15 opportunities through cooperative agreements with the
16 Bureau of Ocean Energy Management. This approach has
17 been used in the East Coast states to leverage, you
18 know, millions of dollars for such research.

19 And lastly, we propose to come and brief
20 agencies on this within a month to provide a more
21 detailed plan on how we propose to move this work
22 together.

23 And for reference, on the benefits and outcomes
24 that we're looking for, refer you to the Massachusetts
25 Marine Mammal Science framework, which was published in

1 May 2009, and is available on the BOEM website.

2 So, thank you very, very much for this
3 opportunity to present this important work and look
4 forward to discussing it with you further at a later
5 date.

6 MR. CHRIS POTTER: Thank you, Tyler.

7 Our next speaker is Dr. Carrie Pomeroy. She is
8 with the California Sea Grant. She's an extension
9 specialist.

10 DR. POMEROY: Well, good afternoon and thank you
11 very much for the opportunity to speak to you this
12 afternoon. As Chris mentioned, I am an Extension
13 Specialist with the California Sea Grant Program, based
14 at University of California, San Diego. I'm also a
15 research social scientist with the Institute of Marine
16 Sciences at UC Santa Cruz.

17 I conduct research, education and outreach
18 related to coastal and marine activities, with a
19 particular focus on the human dimensions of fisheries,
20 fishing communities, other coastal and marine space
21 users, and associated marine policy.

22 I've conducted research on offshore renewable
23 energy development, potential space use conflicts and
24 challenges in connection with proposed offshore wave
25 energy development several years ago, over a decade ago,

1 or about a decade ago. And have served on the
2 BOEM/Energy Commission Data Science Core Group,
3 discussing information needs and opportunities
4 associated with fishery activity.

5 I also serve on the National Academy of Sciences
6 Committee on Offshore Science and Assessment, which is
7 advisory to BOEM in its science programs.

8 And, finally, I'm a member of the Ocean
9 Protection Council's Science Advisory Team.

10 So, I'm going through that long litany to help
11 you understand and to lay out my background in the
12 social sciences and its application to coastal and
13 marine decision making.

14 I've been asked to briefly address information
15 needs and considerations related to fisheries' research
16 and outreach for potential offshore wind development.
17 And I'm happy to be able to touch on that in a very
18 general sense today.

19 There has been work done in California and
20 elsewhere that it can certainly inform the decision-
21 making efforts going forward with offshore wind
22 development in California.

23 There are, of course, both statutory
24 considerations that are associated with human
25 dimensions, if you will, information needs,

1 understanding social, cultural and economic dimensions
2 of things, and the impacts of offshore wind development
3 or other changes to the human ecological system.

4 There are also some very practical
5 considerations. So, one of those is that the ocean is a
6 big place. It's also a very busy one. Multiple complex
7 and dynamic uses at sea, and onshore, and critical
8 connections between those. All of these activities are
9 shaped by environmental, social, economic and regulatory
10 factors. And these are all playing out at different
11 scales and with different scope.

12 There are, of course, potential synergies,
13 compatibilities and, as you all know, conflicts
14 associated with trying to coordinate these use
15 activities. And the realm of fisheries, of course, has
16 been a highlighted topic of discussion.

17 So, there's really a diversity of space use
18 practices, patterns and needs associated with all of
19 these different space uses. And this is a very general
20 representation here and I know I've left off lots of
21 critical things. But I'm trying to make the point here
22 that we have a number of uses that are, essentially,
23 permanently fixed in ocean space. And you can think
24 about, typically, that being the case with aquaculture,
25 ocean energy, seafloor cables, et cetera. Although,

1 there is transit between those facilities and shoreside
2 facilities in order to provide service and so on.

3 And then, when we think about other types of
4 ocean uses and zeroing on fisheries, as that's my charge
5 right now, we have a range of activities from the
6 stationary, not fixed permanently in space, but maybe
7 temporarily fixed in space. Fisheries, such as trap
8 fisheries, set long lines, set gill net, and so on.

9 And then, we move along a continuum to more
10 mobile fisheries, ultimately ending up with things like
11 salmon and albacore trawl fisheries, which are very
12 active as you get further offshore, as well as closer to
13 shore, and are moving around a bunch.

14 So, understanding the nature of that space use
15 is actually sort of front and center in thinking about
16 siting a new use. The other part of it is that if
17 you're wearing the lenses of a fixed space user, you may
18 not fully understand or appreciate the needs of a mobile
19 space user, and vice-versa.

20 So, the other thing I want to point out here,
21 also, is that fishery space use is highly contingent,
22 even within these broad categories that I've outlined.
23 There are a number of different factors that influence
24 where, when and how people participate in fisheries.
25 And we have commercial, recreational and subsistence

1 fisheries active in our waters off California, whether
2 they're state waters or federal waters.

3 And often, that jurisdiction is important for
4 rulemaking and those purposes. But when you're
5 following the fish that distinction sort of gets a
6 little blurry.

7 But there are a number of things that influence
8 where, when and how people fish. It's everything from
9 the individual preferences and skills, the vessel, the
10 gear, the purpose in fishing, to the regulatory
11 constraints or opportunities that may be laid out, that
12 may tell you, yeah, you can fish here and you can fish
13 at this time, but you can't fish there and you can't
14 fish at that time.

15 And these things are, of course, always varying
16 and changing. Rules change, but so do environmental
17 conditions. And we've seen that especially lately, for
18 example, with the blob, the blobino, which has the
19 fundamental warming of our ocean environment led to
20 elevated levels of DA toxins in certain species and led
21 to some closures. And, ultimately, when the fisheries
22 reopened, some undesirable interactions with marine
23 mammals. And so, this whole series of events.

24 So, stepping back a little bit from that and
25 thinking about, well, okay, so what kinds of information

1 are really important for understanding and informing
2 these decision-making processes and keeping track of
3 things over the long term? And when decision making
4 involves both state and federal processes, we have, of
5 course, CEQA in California, we have NEPA for the feds,
6 and we have all of the other policies that govern what
7 people do.

8 So, late last year I completed a project with
9 Department of Fish and Wildlife staff, with support from
10 the Ocean Protection Council, and the Resources Legacy
11 Fund, where we were helping to build socioeconomic
12 guidance for -- to inform the development of fishery
13 management planning and assessment of that work.

14 And, historically, folks have looked at
15 information about demographics, employment,
16 expenditures, revenues, and something called resource
17 demand, which is all very important information from an
18 assessment and impact assessment perspective. But there
19 are many other types of information that underlie that
20 and that, actually, in some ways go beyond or are just
21 fundamentally different from that in understanding how
22 people use ocean space. What they value. What they
23 need. And how they might be affected by change.

24 And so, we expanded to include a set of what we
25 call the socioeconomic essential fishery information to

1 be more inclusive of things like operations, and
2 practices, values, preferences, needs, attitudes,
3 opinions, and beliefs, and so on. And all of these
4 things that influence what people do, but also mediate
5 the impacts of any change and what people can and cannot
6 do in the ocean and in coastal areas, where there is
7 support infrastructure, and so on. And the
8 implications, also, for their communities.

9 When we developed this guidance, we also urged a
10 look or outlined a look, really, at not only fishery
11 participants themselves, the people who are on the
12 water, but other parts of the fisheries' social
13 ecological system, or social system in particular, to
14 include shoreside providers of goods, and services. And
15 infrastructure, and the communities themselves, which
16 may have a lot more going on besides fishing, but this
17 is maybe a very critical part or at least a part of
18 their identity and livelihood.

19 Just to give you a quick example. And this is
20 way out of date, but I kind of did that on purpose
21 because I didn't want to get embroiled in very recent
22 events, particularly. But we've done this in a number
23 of fishery contexts, where we have taken a diversity of
24 sources of information, both the data that may already
25 be collected by the State Department of Fish and

1 Wildlife, for example, for the commercial fisheries, the
2 fish ticket data, as they call it, that tells us how
3 much fish was landed. In this case, this is for the
4 squid purse seine fishery in the Santa Barbara Channel.

5 But here you see a chart and you're looking at
6 that, and it's like great, what in the heck is going on
7 there. Right. But then, we spend some time looking
8 into existing information from other sources, and we
9 talk to fishermen and others, and they help us
10 understand what's going on.

11 And so, it's about bringing together these
12 different types of information and ground-truthing with
13 people who know things well.

14 So, to sum up, I'd like to just highlight the
15 critical importance and interdependencies between
16 research and outreach. There is a difference among data
17 information and understanding. You start with data.
18 The goal is to get to understanding. But it takes a lot
19 to do that and you need to engage a lot of sources,
20 people, who sit in different positions in a research
21 context in order to build that understanding. Interpret
22 that information. Vet it. Make sure it passes the
23 test. Right.

24 And fishermen's knowledge is a really important
25 part of that for understanding on-the-water implications

1 of change and for thinking about their connections back
2 to the coast.

3 So, for outreach, engaging with fishery
4 participants to build and interpret information,
5 identify common interests and needs, facilitate
6 coordination and minimize conflict, and enable this kind
7 of thing, this new use if you will, to become part of
8 that seascape effectively, and great benefit, it's worth
9 making the reach and engaging folks. Thank you.

10 MR. CHRIS POTTER: Thank you, Carrie.

11 Our next speaker is Dr. Sharon Kramer. She is a
12 principal with H.T. Harvey & Associates.

13 DR. KRAMER: Thank you for having me here and
14 thank you, Chris, for this opportunity. I'm going to
15 just start by saying I'm going to build on a
16 presentation that was given earlier by Mark Severy.
17 I'm part of the team working on this Offshore Wind
18 Feasibility Study that's underway at Humboldt State.
19 I'll touch on that in a moment.

20 But I wanted to say the context for my viewpoint
21 really comes from working for 12 years, now, in marine
22 renewable energy, more specifically tidal and wave
23 energy projects. And I've been on several teams'
24 permitting projects, starting in 2008 for Reedsport's
25 OPT Wave Energy Project 2. Right now, finishing up;

1 getting close to finishing up permitting, Oregon State
2 University's PacWave South Wave Energy Test site. So,
3 I've worn up some bolts on the ground getting projects
4 permitted, so that's my starting point.

5 You've seen this slide before. This is just to
6 acknowledge this project I want to talk about today,
7 which is the Offshore Wind Feasibility Study. And
8 again, the project funders as you can see, and Humboldt
9 State leading us as a partner. The main partner, Schatz
10 Energy Research Center. And then, all the other partner
11 teams.

12 And more specifically, and you've seen this
13 slide, too, from Mark. Mark talked earlier today about
14 these topics and he focused on talking about the
15 resource assessment and the grid compatibility.

16 Our role in the team project is to focus on the
17 environmental impacts and also on the subsea cable
18 environmental, which I won't really touch on today, but
19 really to focus on the environmental impact piece.

20 So, we're approaching this from a regulatory
21 framework. In other words, what animals are there?
22 What species are there in an area that you want to look
23 at? What are their habitats and how are the various
24 lifecycle stages using those habitats? And, so, are
25 they temporarily there? Are they migrating through? Do

1 they rely on using those habitats for their whole life
2 history?

3 And then, focusing as we move forward on what
4 the potential impacts, then, are of the various
5 scenarios that Mark touched on today, earlier, including
6 project construction, port infrastructure, operations
7 and maintenance of a wind energy project off Humboldt.

8 And again, I'm trying to focus our analysis and
9 our assessment on how do we satisfy permitting
10 requirements? Can we provide enough information to get
11 this started, this dialogue?

12 And what we're on right now is the left side of
13 the environmental baseline and we're just completing the
14 baseline assessment and, then, we'll move into the
15 impacts as the scenarios are being developed and we get
16 the port infrastructure information.

17 So, I'm not going to go through this litany of
18 different permits. Obviously, there's a lot of them.
19 These are focusing primarily on the environmental
20 permits. Our goal really is going to be, to be able to
21 provide enough information to kick off these baseline
22 assessment and analysis for some of these permits. So,
23 it's not going to be a complete record of entire great
24 site-specific information, but we'll have a lot of
25 information that I think will be very useful for moving

1 forward with the permitting process. So, again, we're
2 hanging it on the regulatory considerations.

3 Again, you've seen this from Mark. We're
4 looking at the offshore call area off Humboldt. We have
5 to look at the cable route from the offshore area to
6 land. We have to look at the cable landing, which is
7 not all that straight forward, either. How does the
8 cable come to shore? What's involved in getting the
9 cable to shore.

10 The port infrastructure changes that need to be
11 made. How much new infrastructure? How can we update
12 or improve existing infrastructure?

13 And then, not to minimize the impacts of
14 terrestrial cables, that has been brought up earlier,
15 but that is a huge issue for the large build-out
16 scenario. As this illustrates, there are east/west and
17 north/south cable upgrades that are going to need to be
18 made. Terrestrial transmission upgrades. And they're
19 significant and not to be taken lightly.

20 So, even though our main focus is oftentimes
21 focused on the wind project offshore, the terrestrial
22 component is not trivial.

23 And then, we just got under contract to do the
24 hypothetical DC cable going south, subsea cable. So, we
25 haven't started that process, yet.

1 But again, this is sort of the world we're
2 looking at. There's facets to the project that have
3 different impacts.

4 So, let's look at the offshore piece, first.
5 Bathymetry is really important. And not only the
6 bathymetry because that defines, often times, the
7 habitats that species use, but what is the geology of
8 those habitats? Is it rocky? Is it soft sediment?
9 Because you're going to have, in fact, very different
10 organisms depending on the type of substrate.

11 Again, we're looking at three different size
12 scenarios, so that's going to obviously have a big
13 impact on how we analyze these effects.

14 And then, construction details not to be
15 minimized, either. When does the cable get laid? How
16 long does it take for the cable to get laid? How long
17 does it take to build out a wind project? If it's 5
18 turbines, 15 turbines, a hundred and something turbines
19 that scaling and that timing is going to have a much
20 greater impact. So, those all have to be considered.

21 And again, what the type of disturbance is going
22 to be. If you're laying cable, are you burying it? Are
23 you plowing it? Are you laying it on the surface? So,
24 all of these impacts, again, we can't get at the super
25 small scale, but we are definitely going to be looking

1 at all of those tradeoffs.

2 And then, back to my wave energy bias. This is
3 a very old slide, provided by OSU. But it's still --
4 there are a lot of crossovers between the wave energy
5 world and the wind. The one that doesn't obviously
6 cross over is the turbine, itself, the blades. But we
7 certainly are going to be looking at these types of
8 interactions between animals and the blades, animals and
9 the structure in the water, whether there's collision or
10 displacement. And again, effects on the habitat,
11 whether it's on the benthos itself, by putting
12 structure, anchors on the benthos, or structure in the
13 water. So, some organisms are very attracted to
14 structure in the water. Some are not.

15 What are the acoustic impacts? Electromagnetic
16 fields, associated with the cables, and cabling, inter-
17 array cables. Lighting for navigation and other
18 purposes.

19 Fishing, which another group of HSU faculty
20 looking at the fishing side of it. And then,
21 contaminants.

22 And so, we're looking at most of these issues
23 with respect to what we've learned from Europe, what we
24 have learned from Oregon, and Washington, and other
25 projects that are ahead of us, and trying to apply that

1 information to the best that we can.

2 And that's all I wanted to mention about that.

3 Again, Mark mentioned that our reports will be coming

4 out in spring. And so, like I say, right now we're

5 focusing on the environmental baseline and moving

6 forward from that. So, hopefully, we'll have a nice,

7 complete project by summer. Thanks.

8 MR. CHRIS POTTER: Thank you, Sharon.

9 Our final speaker for this panel is Lane

10 Johnston. She's a Programs Manager with the Responsible

11 Ocean Development Alliance.

12 MS. JOHNSTON: Hi and thank you for having me.

13 I'm very glad that Dr. Pomeroy went before me because

14 she kind of set the stage for some of the things that

15 I'm going to touch on.

16 So, the Responsible Offshore Development

17 Alliance is a nonprofit, membership-based organization

18 of fishing industry associations, companies that are all

19 interested in proving compatibility of new, offshore

20 development with commercial fishing.

21 So, we represent over 150 different individual

22 members from Maine to North Carolina, and also have

23 association members and different shoreside businesses,

24 dealers. So, we have probably over a thousand different

25 people who are working with us and that we represent.

1 And, recently, we actually had a West Coast
2 member join, so we're slowly coming this way.

3 So, we use science and policy approaches to
4 directly collaborate with regulatory agencies, offshore
5 developers, scientists all to minimize conflicts between
6 fishing and offshore development. So, this means we
7 work closely with BOEM, NMFS, Fisheries Management
8 Councils, U.S. Coast Guard, and state agencies. And
9 have also just developed strong collaborate
10 relationships with offshore wind companies.

11 So, I just wanted to put this slide up. U.S.
12 fisheries are some of the most sustainable in the world.
13 They're heavily regulated and studied. And for decades,
14 fishermen have had to adjust their practices as
15 regulators understand our oceans better and as
16 environmental conditions fluctuate.

17 So, the most recent comprehensive report that
18 I'm referencing here is from 2017. So, I want everybody
19 to keep that in mind when we think about how long it
20 takes for adequate data to become available.

21 As a result of being directly affected by these
22 frequent management changes, which can make it difficult
23 to plan or invest for multi-year business decisions,
24 many fishermen I have met, have had the sentiment of
25 fighting an uphill battle. Often, they have to be on

1 the defensive to protect their livelihoods.

2 Fishermen know how management and regulatory
3 processes for changing fishery management plans. They
4 know how and when to provide public comment, who the
5 players are, and the duration of the process. So,
6 management plan amendments take five or more years to
7 develop, analyze and implement.

8 With wind energy stakeholders rapidly becoming a
9 new player in the marine and coastal environment,
10 fishermen are very concerned about the consequences
11 these development projects will have. Some of the
12 biggest fears we hear from the industry revolve around
13 the unknowns, and lack of information about wind energy
14 impacts to fish biology, behavior, fishing efforts,
15 habitat, and interactions with protected species, such
16 as whales and seabirds.

17 There are definitely lessons to be learned from
18 the UK, from Europe, and probably soon the East Coast.
19 But it's necessary to understand that there's a
20 scalability issue. As technology continues to improve,
21 not only are you talking about bigger turbines than
22 ever, but rapidly are implementing large wind energy
23 areas.

24 But we're also talking about different sized
25 fishing industries, with different gears and different

1 community structures.

2 In 2017, landings from the U.S. commercial
3 fishing and seafood industry was valued at \$5.4 billion.
4 Landings on the Atlantic Coast was just under \$2
5 billion. And for reference, the Pacific Coast, not
6 including Alaska, landing were valued at \$670 million.
7 These values continue to increase, tracking a similar
8 upward trend in number of stocks that are rebuilt due to
9 strong management structures I have mentioned earlier.

10 So, not only are we talking about a profitable
11 industry, but also fishing employs and supports many
12 individuals in coastal communities.

13 Our hope is that the introduction of and the
14 excitement around a new industry does not come at the
15 cost of an existing one.

16 A question was posed earlier this week, asking a
17 fisherman if he liked anything about offshore wind. And
18 so, I'm going to give you my answer. It depends on who
19 you ask. But mostly, fishermen want to keep fishing.

20 We have a wide coalition of fishing businesses
21 that we represent. We know that some of our members may
22 want to pursue different avenues than others. Some may
23 want disruption payments. Some maybe want to work as
24 support vessels for the wind energy areas. And some
25 will want nothing to do with wind farms.

1 But all of our members want to minimize any
2 negative impacts to their ability to fish, to their
3 livelihoods, and to the marine environment itself.

4 Different from what we're seeing on the East
5 Coast because offshore wind will be floating turbines.
6 For commercial fishermen, these areas here will become
7 de facto closures, especially for fleets that are using
8 mobile gear.

9 So, the short answer to the question earlier
10 this week; it's complicated and it depends on who you
11 ask.

12 There are three things I want to leave you with
13 when we start to think about fisheries and offshore wind
14 coexistence.

15 It must be recognized that we're working in a
16 data-poor arena. Both here and on the East Coast, data
17 from landings do not provide high enough spatial
18 resolution to sufficiently assess the fishing
19 displacement that we might see from wind energy areas.

20 Future assessments need to look beyond VMS and
21 AIS data which, from my understanding, is even more
22 limited on the West Coast than what we see on the East
23 Coast.

24 Since, it's never been done before, these
25 studies will take a lot of time and need to start as

1 soon as possible in order to have any planning value.

2 Also, or secondly, engagement needs to happen
3 early, often and inclusively. RODA was formed out of
4 the need for Atlantic fishermen to provide a unified
5 voice to engage with federal agencies and developers, as
6 well as help get information from those bodies back to
7 the fishermen. Whether it be RODA, or another similar
8 group, we have found a strength in numbers approach is
9 really the only way we can get significant traction to
10 bring fishing interests to the forefront of the offshore
11 wind conversation.

12 Furthermore, these efforts need to be driven by
13 trusted fishing industry representatives, not specific
14 fishermen that developers or regulators prefer to work
15 with.

16 So, RODA has signed a 10-year memorandum of
17 understanding with BOEM and NMFS and this memorandum of
18 understanding is to collaborate on science and the
19 process of offshore wind energy development.

20 Currently, we are working with both agencies to
21 ensure that local and regional fishing interests and
22 concerns are involved early and often throughout the
23 offshore wind development process.

24 RODA has also formed the Joint Industry Task
25 Force with fishing representatives, as well as lease-

1 holding developers, which are all on the East Coast
2 right now, to explore a purchase-to-project siting
3 design and operations.

4 Our collective hope is that through providing a
5 transparent process and speaking directly to each other,
6 we'll be able to plan better, minimize future conflicts,
7 and come up with creative solutions to ensure the
8 sustainability of both industries.

9 And lastly, I just want to briefly introduce
10 ROSA. So, ROSA is the Responsible Offshore Science
11 Alliance, and RODA is a founding member of this new
12 organization, along with a number of developers that are
13 active on the East Coast, and federal and state
14 agencies.

15 So, ROSA is an independent, science-focused
16 organization dedicated to providing for and advancing
17 regional research and monitoring of fisheries and
18 offshore wind interactions in federal waters.

19 ROSA has received expressions of support from
20 NMFS, BOEM, five offshore wind energy lease holders, and
21 several state agencies. This new nonprofit is just
22 getting up and running, but the framework is available
23 for anybody who's interested.

24 So, as a native Californian myself, in fact I'm
25 from San Francisco. It's really exciting to be home. I

1 hope to stay involved with the development process here
2 on this coast. And RODA's happy to be a resource for
3 fishermen, developers, regulators, and pretty much
4 anybody who's interested. So, thank you for having me.

5 MR. CHRIS POTTER: Thank you, Lane. I think
6 that's our last speaker and that leaves us with about
7 ten minutes remaining of the time allotted to this
8 panel. I'll leave it to Commissioner Douglas and
9 Assistant Secretary Gold to pose some questions.

10 MR. GOLD: Okay. I think, since we're talking
11 about environmental impacts, rather than about siting
12 questions, I can actually hang with this group a little
13 bit better.

14 So, one of the things that I was curious about,
15 and thank you all for your presentations, is that there
16 were a lot of really great questions posed and there
17 were a lot of recommendations on the sorts of data that
18 are absolutely critical before making any sort of final
19 decision. But I was just wondering, since we didn't --
20 not surprisingly, we didn't hear much of that from the
21 morning panels, about the European experience. Since
22 they are, you know, quite a few years ahead of us here
23 in doing floating offshore wind, perhaps in deeper
24 water, maybe not as deep as what we're talking about
25 here, what can any of you tell me about the impacts that

1 we've seen on seabirds, the impacts that we've seen on
2 cetaceans, from other marine mammals, those sorts of
3 things? I think it would just be very helpful because,
4 believe me, the sensitivity is, obviously, to conserve
5 those species and not have any impacts. But it would
6 really be helpful to know what we've seen in the years
7 that these other developments have been in place.

8 MR. GEORGE: I can address that for seabirds.
9 And that is that the abundance and the difference of the
10 many species that are in the North Atlantic are not
11 comparable to what's here in California. It's a more
12 robust bunch of species.

13 And there has not been effective monitoring
14 systems in Europe, as well. Much of what they do there
15 is based on models, where they predict what the impacts
16 might be, and then they let it maybe go at that.

17 There are some monitoring techniques that they
18 are developing in Denmark and Scotland. And the State
19 of California has an MOU with Denmark and Scotland, and
20 I would suggest that we have a special workshop or spend
21 some time talking to them, and finding out exactly, and
22 the UK, exactly what the story is over there.

23 The only project that I know that was really
24 monitored was by ORJIP in the UK, and they only
25 monitored during the day, so it didn't address night.

1 So, I think there's gaps here and these are the
2 kinds of gaps that Audubon would like to close.

3 MR. GOLD: So, that would explain, Garry, why I
4 didn't really hear about that since this point.

5 You also brought up the idea of bird monitoring
6 offshore, which is something that I have been very
7 concerned about, myself. Do you have any ideas on how
8 one would go about doing that? You said there was an
9 investment in resources --

10 MR. GEORGE: Yes.

11 MR. GOLD: -- but not what they were investing
12 in.

13 MR. GEORGE: Using different technologies and a
14 mix of technologies, video, thermal imaging, there's
15 sensors they can put on the actual turbine blades that
16 are sensed when something hits a turbine blade. That's
17 for collisions, right.

18 MR. GOLD: Right.

19 MR. GEORGE: Displacement's a little bit
20 different because you have to have a baseline and then
21 you have to compare what happens and watch those birds
22 and see how far they move away from, or if they have to
23 change their flight behavior.

24 So, there are a lot of great systems that I'll
25 point to you. To the IdentiFlight system, which was

1 developed through AWWI, which is an eagle detection and
2 avoidance system, which is working to reduce the take of
3 golden eagles, for instance, on a couple of projects in
4 Wyoming, and is being tested on some projects for
5 condors here, in California, that can detect and, using
6 AI, can actually identify quickly where a species is.
7 And using a smart curtailment software can turn off the
8 turbines exactly the amount of time for that bird to
9 pass through that farm and not be harmed. And, also, so
10 that the project doesn't lose that energy amount is a
11 very smart curtailment.

12 So, those technologies are moving forward. They
13 just need to move, in my opinion, a little farther, and
14 there needs to be more investment in it.

15 The Department of Energy, I think, is giving a
16 presentation later, and I think they're going to talk a
17 little bit more about what they're doing. And I think
18 the state could also play a role here. That's, for me,
19 the most critical part, especially at night, through
20 radar.

21 MR. GOLD: But the other part, Garry, what I was
22 wondering is because we are talking about offshore, and
23 it's not an area --

24 MR. GEORGE: Right.

25 MR. GOLD: -- that, you know, people are out

1 there studying 24-7-365 to look at seasonal variation,
2 seeing how that changes over time, climate impacts. You
3 know, changes in the California current, et cetera.

4 MR. GEORGE: Right.

5 MR. GOLD: What about getting a good baseline,
6 just from the standpoint of what populations are there,
7 what's at risk in any given time? I think I've run into
8 you and talked about ashy storm-petrels as being of
9 concern.

10 MR. GEORGE: Yeah.

11 MR. GOLD: So, I mean, it's great once you build
12 that you put in a monitoring system. But from the
13 standpoint of really understanding potential impacts,
14 you've got to know what's there, now, and how it changes
15 over time.

16 MR. GEORGE: And that's data collection. And
17 that's the great thing about what -- the California
18 Energy Commission set up that California Portal --

19 MR. GOLD: Yeah.

20 MR. GEORGE: -- on the Conservation Biology
21 Institute website, still there. So, we have all those
22 data layers and so, Jaime's going to go through them and
23 look at where the data gaps are, especially on some of
24 the species. We put a lot of species data in. The Fish
25 and Wildlife Service did, the California Department did.

1 So, we should be able to begin to look at where the gaps
2 are in that baseline, and then start to develop that
3 baseline. And that's why we've been calling for that
4 baseline to be developed now, before, and to help the
5 developers, so that by the time they actually get a
6 lease, there's actually some data that they could begin
7 to rely on. And, that we can have some sort of planning
8 process that will show that data, and California can
9 provide some recommendations on priorities for
10 protections for our ocean, beyond just protected areas
11 that are legally protected. Does that make sense?

12 MR. GOLD: Yeah. No, it does make sense. So,
13 obviously, other than birds, like have we seen fisheries
14 impacts, and where we have offshore wind in Europe, is
15 something that you want to inform us about or --

16 MS. JOHNSTON: Sure. Yeah, I tried to get to
17 that. There have been studies, definitely, and we can
18 definitely learn from what's been done elsewhere. But
19 from my understanding, the U.S. fishing fleet is a
20 different scale than some of the European ones, so we're
21 kind of talking about impacts that might be unheard of
22 here, than what they've experienced already.

23 MR. GOLD: Okay. Yeah. No, I'm sure it wasn't
24 perfect info, but just trying to get something, yeah.

25 Yeah? Carrie?

1 MS. POMEROY: Yeah. Carrie Pomeroy with
2 California Sea Grant. Yeah, and then as part of that
3 now-long-ago-BOEM-funded project on identifying
4 potential space use conflicts and mitigation for
5 offshore energy development, and it was focused on the
6 idea of wave energy development, there was an extensive
7 literature review that was done that included tapping
8 into what was understood at that time.

9 And I'm not immersed in that at this time. But
10 it's worth going back to that. The nature of fisheries
11 and their management is quite different in the EU, and
12 in the larger European region. But there are some
13 things to be drawn from that, so it's worth revisiting
14 that information, and seeing what more has come of it as
15 well.

16 There have been changes in offshore energy
17 production facilities, and such, since that time as well
18 which, in turn, have implications for other space uses
19 and so on.

20 MR. GOLD: All right, thank you.

21 MS. POMEROY: Thank you.

22 MR. GOLD: Did you have something, Sharon?

23 MS. KRAMER: Yeah, this is Sharon Kramer. I
24 just wanted to add that there are -- we did some work
25 for BOEM and DOE on looking at surrogate structures on

1 the West Coast. So, what we could learn from oil and
2 gas, what we could learn from discarded cargo, all kinds
3 of things. And we actually did a whole series of guided
4 discussions with people that have done of ROB and video
5 work. That was not the question they were asking was,
6 you know, novel structure and how do critters use it?
7 They were looking at what are the habitat relationships?

8 But they oftentimes ran into novel structure and
9 they were able to communicate to us the kind of species
10 aggregations.

11 And so, from that, we were able to kind of make
12 a leap forward, if you will, about what kinds of fish
13 associations we might expect with novel offshore
14 structure.

15 And so, it's not the European case, but we do
16 have surrogates on the West Coast that we can draw from,
17 as well.

18 MR. GOLD: All right, thank you.

19 COMMISSIONER DOUGLAS: So, I'll just, you know,
20 say one of the things that we did at the Energy
21 Commission, as we saw offshore wind moving forward, at
22 least in terms of our own attention and planning was
23 reflect back on the experience of the solar industry
24 coming to scale here, in California.

25 And, you know, there had been some of these

1 larger projects in Europe and other places, and
2 presumably they had, you know, done environmental
3 review, and had some mitigation measures in place, or
4 some level of monitoring. But we really weren't able to
5 bring that information into our processes in any useful
6 way. And so, by the time we were in permitting, it
7 wasn't terribly easy to learn from experiences in other
8 places.

9 And so, that's one reason why we pursued the
10 MOUs with Scotland and Denmark. And I'm hopeful that we
11 will be able to benefit from that experience, but it is
12 a very different environmental setting. It's the North
13 Sea --

14 MR. GOLD: Right.

15 COMMISSIONER DOUGLAS: -- you know, and our
16 Pacific Ocean, it is very different. I'm sure there are
17 things we can learn and bring across, but it really
18 required us, I think, to be at a higher level of
19 understanding of our own needs before we were really
20 even able to start doing the review and kind of
21 understanding what might make the most sense. So, we
22 may be at a good point to kind of really pick that up
23 again.

24 And I just wanted to, maybe more comment,
25 briefly, on a couple of things I heard. You know,

1 Garry's point that we collected a lot of data, I think
2 that we used that data to the extent we could to inform
3 the call areas, working in very close coordination with
4 BOEM. But we did not have the level of analyses that
5 Point Blue, in partnership with CBI, is doing now to
6 synthesize the data and try to draw some high-level
7 conclusions.

8 MR. GOLD: But it's still based on existing
9 data.

10 COMMISSIONER DOUGLAS: It is based on existing
11 data.

12 MR. GOLD: Right, so I'm sure they're going to
13 identify some pretty significant gaps along the way.

14 COMMISSIONER DOUGLAS: Yes. I would expect them
15 to.

16 MR. GOLD: That's the goal.

17 COMMISSIONER DOUGLAS: And that would be
18 helpful. And, you know, I guess one question I had for
19 Jaime was in the work that you're doing, how -- you
20 know, how closely or what kinds of information would you
21 have that would help us get at cumulative impacts, as
22 well as kind of direct impacts as we look at this?

23 MR. JAHNCKE: No pressure.

24 MR. GOLD: I can see the uncertainty caveat now.

25 MR. JAHNCKE: Yes. It will be easier to answer

1 that question after we are working on it for a few
2 months. But we have been compiling a series of
3 literature of people that have been working on
4 cumulative impacts, and going through the process of
5 identifying what is the question? What is the best
6 dataset to answer this question? Being very specific
7 about the variabilities and the risks and coming up with
8 the right parameters to model it.

9 So, we're going to be sticking all of those
10 together and giving you an answer in a few months.

11 MR. GOLD: So, yeah, and --

12 MR. JAHNCKE: I would like to add one thing to
13 the seabird question, which I didn't have a chance to
14 reply to. But in the North Sea, I think I'm aware of
15 two papers. One of them that shows there was baseline
16 and there was the monitoring after the development was
17 done. And they actually show displacement and the
18 species for an area, they were present in a completely
19 new area.

20 There was a small fraction of the population
21 that kind of learned to go and feed within the turbines,
22 but that was a learned behavior.

23 And then, I think from the last year, probably,
24 there was another paper that show an overall reduction
25 in breeding success. So, I'm happy to look for them and

1 send them your way.

2 MR. GOLD: All right, thank you.

3 MR. GEORGE: If I can just make one more point,
4 the difference between land-based wind turbines to do a
5 before and after comparison, or to do a mortality
6 report, you had biologists or dogs, both, walking around
7 looking for carcasses. Well, this can't happen in the
8 ocean. And that's why we emphasize technology.

9 COMMISSIONER DOUGLAS: And, well, we may hear
10 about this on our next panel, I'm not sure. But we did,
11 at the Energy Commission, fund one of these kind of AI
12 projects, and that was land-based, but it is a
13 potentially, really good possibility for marine as well.

14 I just have one more, I don't know, question for
15 Lane. But I really appreciate you being here. And, you
16 know, whenever we can get experience from people who
17 have been in the trenches somewhere else, longer than we
18 have, there's a lot we know that we can learn.

19 But I'm glad to hear that you have at least one
20 West Coast member, now.

21 MS. JOHNSTON: Me, too.

22 COMMISSIONER DOUGLAS: And I'm glad to hear that
23 you're interested in staying engaged with California.

24 But, you know, I heard some of your high-level
25 recommendations, you know, doing some of this analysis

1 early. I don't know if you can, if you want to just
2 take the time and maybe capture some of that in written
3 comments, or if you want to just give us a quick answer
4 now. But, you know, what do you think are some of the
5 most useful steps the state could take to get a handle
6 on, you know, both potential impacts to fishing, but
7 also ways to address that? And, you know, informed by
8 the East Coast experience.

9 MS. JOHNSTON: Yeah, I'm happy to follow up with
10 written comments. I think one thing that I would like
11 to acknowledge and it's really interesting to see is
12 that the Intergovernmental Panel or group exists, which
13 on the East Coast we're dealing with so many different
14 states, and each of their energy commissions, and each
15 of their fisheries groups. And so, it's actually kind
16 of nice to have everybody in the same room. And so, I
17 think that's really good to continue that discussion.

18 And then, also, take that to all of the fishing
19 communities that will be impacted, and kind of trying to
20 do a big information exchange. I think there's a lot of
21 small resolution data that needs to be captured that
22 we're still struggling with on the East Coast. And I
23 can follow up with more.

24 COMMISSIONER DOUGLAS: Yeah.

25 MR. GOLD: May I ask one more question?

1 COMMISSIONER DOUGLAS: Yeah, please.

2 MR. GOLD: A question for Jeremy. I was really
3 intrigued by the passive acoustic drifting buoys. And,
4 I mean, I know we don't have a lot of time to get into
5 it, but what are you hoping will be the capabilities for
6 detection for cetaceans?

7 MR. JEREMY POTTER: I'd probably -- if you want
8 to get into specific detection capabilities, I need to
9 connect you directly with the scientists that are doing
10 that work, which I'm happy to do at NOAA and BOEM.

11 That said, what I do understand is that the
12 hydrophones would be in the mid-water, where the sound
13 travels the farthest, so we would actually get some of
14 the highest levels of detections that's actually,
15 currently capable.

16 You know, we've been talking about building up
17 to 75 of these DSPR (phonetic) instruments which would
18 allow that temporal and geographic coverage across the
19 California current ecosystem, if we are able to get the
20 money to do it in total.

21 MR. GOLD: Yeah, we should definitely -- it
22 would be wonderful to get a little bit more information
23 on this. Because I think the question that Karen was
24 bringing up earlier, that stumped Jaime, was about
25 scaling and, you know, what do you do when you have a --

1 you know, a modest-sized project is one thing. But, you
2 know, earlier we heard goals of 10 gigawatts by 2040
3 which, obviously, changes the impact question quite
4 substantially. And so, that would be very, very helpful
5 to better understand what that could do.

6 MR. JAHNCKE: Can I chime in on the hydrophone
7 question?

8 MR. GOLD: Go for it.

9 MR. JAHNCKE: So, I guess I'm a collaborator on
10 a project in the Gulf of France, where they are
11 comparing data from acoustic buoy with observations of
12 cetaceans migrating around the Farallon Islands, and
13 from counts we do along the vessel.

14 And it's kind of interesting to see that there
15 is no match between one and the other. Like when
16 they're going, when they're coming back north and going
17 north to forage, they're quiet. And when they're coming
18 back south to reproduce, they're really vocal. And
19 depending on the species. That's the case of blue
20 whales.

21 In the case of the humpback, at the time with
22 the current and the voice is very strong, there's a
23 perfect match between voices and presence. But at the
24 time when the ocean is stratified and the sounds travels
25 a lot, large distances, the projections just go to a

1 maximum, they don't match presence locally. So, it will
2 be an interesting study to see what you guys learn from
3 that.

4 MR. GOLD: All right, thank you very much.

5 COMMISSIONER DOUGLAS: All right, I just had --
6 oh, sorry, Chris.

7 MR. CHRIS POTTER: I was going to make a number
8 of comments, but since we're running out of time, I'll
9 make one --

10 COMMISSIONER DOUGLAS: Go ahead.

11 MR. CHRIS POTTER: -- if you can indulge me.
12 And that is the OPC and Humboldt State are planning to
13 convene a workshop of West Coast researchers to create a
14 roadmap. We feel like we're far enough along with a
15 number of studies that some reflection early next year
16 would be well-timed.

17 COMMISSIONER DOUGLAS: I was just going to say,
18 kind of by my way of closing my comments on this panel,
19 you know, I think we have a long way to go to coordinate
20 and focus research on this topic. But I also think we
21 have a great start and you can see that here. And I
22 want to thank OPC and BOEM for really getting us off to
23 a great start with some near term, very focused, very
24 relevant research.

25 And, you know, not only that but we've heard

1 from NREL. We're hearing from DOE. We've got an Energy
2 Commission-facilitated panel coming up next. We've got
3 multiple universities in the state involved in this.
4 And an industry environmental group that's prepared to
5 work together, and to work with the state agencies, and
6 the research agenda.

7 So, I really think that, yeah, there's a long
8 way to go on a lot of this, but we've got a great
9 foundation here. So, I just want to thank you guys for
10 your work, and to be continued, but it's a good start.

11 MR. CHRIS POTTER: Thank you.

12 MS. RAITT: So, thank you so much for that.

13 And so, we'll move on to the fourth panel, which
14 is on Research Opportunities Supporting Development and
15 Deployment of Offshore Wind Technology in California.

16 So, if the panelists can make your way to the
17 forward tables, that would be good.

18 (Pause)

19 MS. RAITT: All right, I think if we can kind of
20 try to reconvene here. Did you want to start? Okay.

21 MR. ALDAS: Okay. It looks like we're all ready
22 to start the fourth panel.

23 MS. RAITT: All right, folks, we're going to
24 restart. So, if people can take seats, that would be
25 great. So, we're going on to our last panel. Thank

1 you.

2 And, so, Rizaldo Aldas from the California
3 Energy Commission is the moderator. So, here we go.

4 MR. ALDAS: All right. Thank you, Heather and
5 good afternoon. I'm Rizaldo Aldas. I'm with the Energy
6 Research and Development Division of the California
7 Energy Commission. I'd like to thank you all for
8 staying on for this, our last panel on Research
9 Opportunities Supporting Development and Deployment of
10 Offshore Wind Technology in California. Last, but
11 certainly as exciting and as informative as the previous
12 panel.

13 I think this is a good segue from discussing
14 environmental analysis and public outreach to looking at
15 technologies and project development.

16 We have a great, also, set of panelists to talk
17 about some of the research and technological
18 development. I know, a lot of them are happening
19 outside of California, but certainly have implications
20 and applications here in California. They'll be
21 touching on things like advancement in the
22 manufacturing, infrastructure and resource
23 characterization.

24 Before I call on the first panelist, I would
25 like to make a short plug. This week, the Energy

1 Commission just released a grant funding opportunity,
2 last Monday. It's called -- it's a solicitation for
3 what we call next generation wind energy technologies.
4 It will have three research funding groups. Two of them
5 are related to offshore wind. The first one is on
6 advancing manufacturing and material science that, while
7 it's based on onshore wind or land-based wind, it
8 actually has implications for offshore. And just like
9 what Commissioner Douglas mentioned a while ago, we have
10 one project that's looking at onsite manufacturing,
11 using additive manufacturing.

12 The other two groups are on remote monitoring
13 and control, and the focus is kind of to find ways to
14 lower the levelized cost of producing offshore wind
15 energy.

16 And the third research group will be looking at
17 the environmental aspects of the offshore wind.

18 And so, next week, October 9th, we'll be having
19 our public workshop to discuss more of the details about
20 this funding solicitation. And the deadline to submit
21 application is December 13th.

22 All right. So, with that, I would like to call
23 on our first speaker, Mr. Gary Norton. He is the Senior
24 Renewable Energy Advisor to the Department of Energy's
25 Wind Energy Technologies and Waterpower Technologies.

1 And he's been there since 2009. Gary.

2 MR. NORTON: Thank you. So, as Rizaldo said,
3 I'm with the Department of Energy Wind Energy
4 Technologies Office. And we're small, but I believe an
5 impactful office within the Department of Energy that's
6 been supporting wind energy development for about 40
7 years. And in the last 10 years or so, we've gotten
8 very engaged in offshore wind.

9 And the framework in which we've been involved
10 in offshore wind is guided, has been guided by an
11 initial strategy on offshore wind that we put together
12 with, in partnership with the Bureau of Ocean Energy
13 Management, and was announced in 2011 by the Secretaries
14 of Interior and Energy. And then, we revisited that,
15 with a lot of stakeholder input, in 2016 and issued and
16 updated version.

17 And the key elements of that, which laid out
18 things for both BOEM and Department of Energy to do, to
19 realize the objectives, and the strategic themes were
20 reducing technology costs and risks, and supporting
21 effective stewardship, and improving understanding and
22 the benefits of offshore wind. And within that, we each
23 have particular things that we agreed were important to
24 focus on.

25 And how do we operate? We support National

1 Laboratory work directly. A number of the reports, and
2 analyses, and even technology developments that we've
3 heard about in different panels today were supported by
4 projects within the National Laboratories of DOE that we
5 funded. We have competitive awards. And I'll mention
6 one or two of them later on.

7 We collaborate with federal partners, like BOEM
8 and NOAA. And then, we have an emphasis on convening
9 and communication of information with various types of
10 stakeholders.

11 So, one area that we're focused on is taking the
12 next level of wind technology development is less focus
13 on the individual turbine, but more on the whole wind
14 plant. Particularly, in terms of cost, and able to
15 reduce cost, increase annual energy production, and
16 increase efficiency.

17 And scientific research is a big part of that.
18 Understanding the atmosphere, so going from right to
19 left -- left to right, excuse me, on the screen there,
20 we start with basic atmospheric science and moves toward
21 optimized whole wind plant design. And that may
22 include, as an example, controls within the wind plant
23 that rather just yawing and individual turbine, actually
24 groups of turbines are moved and manipulated, as it
25 were, to enable -- to reduce the effects of wake that's

1 diminished output on downstream turbines.

2 So, and high-performance computing is a very big
3 part of that. So, there are several high-performance
4 computing capabilities within our National Labs that are
5 engaged in that.

6 An example of a solicitation to move the
7 technology forward is that as the turbines become so
8 large, now, 12.5 megawatt turbine from GE going online
9 this month, in the Netherlands, the prototype of that,
10 and even larger turbines are envisioned, and to do that
11 we've got to increase efficiency and decrease weight.

12 And so, recent solicitation that we issued and
13 chose several awardees, are these three companies,
14 including GE and American Superconductor, who are
15 working on a superconducting generator capability.
16 Something that's not been adapted effectively in wind
17 turbine technology, yet, although it's been used in
18 applications like medical scanners.

19 And after an initial \$500,000 to each of these,
20 for initial engineering, there will be a down select and
21 one of them will get \$7.5 million to continue that
22 effort, and plus at least 20 percent cost share. In one
23 case, a company has put \$40 million forward.

24 We have an upcoming award on test facilities.
25 Our funding is dictated by Congress. And one of the

1 things Congress mentioned in the 2019 appropriations was
2 supporting national-level test facilities. So, we have
3 a solicitation, after doing a request for information,
4 on different types of testing. What kind of testing in
5 labs and wave tanks, et cetera, are important for
6 offshore wind? And based on the RFI results, we put out
7 a solicitation and will be announcing those awards in a
8 few weeks. And there are several California companies
9 that have applied within that solicitation.

10 Another thing of high relevance is wind radar
11 interference, wind turbine radar interference. And for
12 about six or seven years, now, we've been part of, and
13 we convene the working group on radar, interagency
14 working group which includes the Department of Energy,
15 the Department of Defense, Interior, the FAA, NOAA, and
16 BOEM. And collaborating under an MOU.

17 And the steps that they've gone through is in
18 analyzing the problem, looking at mitigation strategies,
19 and then looking at new technologies, new types of radar
20 that wouldn't cause interaction with wind turbines. And
21 that's been largely on the land-based side, but recently
22 there have been some studies from this group on offshore
23 wind, and that focus is continuing.

24 You've heard reports, like the one today, from
25 E3. We have done similar studies on the northeast,

1 through the National Labs on the benefits of offshore
2 wind within the electrical sector there. And, also,
3 assessments of how cost and how cost will be reduced
4 over time. Several of those studies have been quoted
5 today.

6 And I'll draw your attention to the bottom
7 right, I think it's an important bullet there, open
8 source design and evaluation tools, such as open FOAs
9 (phonetic). There are a number of open source design
10 tools that I'd say all, or most of the companies that
11 were represented today, who are developing offshore
12 technologies, floating technologies have used these
13 tools, or used these tools to help develop their own
14 sets of design codes, and other types of tools.

15 Again, an important thing for California here is
16 resource characterization, as I mentioned, is very
17 important and a lot of the data, a lot of the
18 projections you've seen are based on modeling, not
19 actual observation. There's limited observation. So,
20 we're working with BOEM to put two Lidar buoys off the
21 coast of California. And that's contingent upon
22 permitting process, but something that we've just gotten
23 underway with them.

24 So, on the environmental side, tying to the
25 previous panel, we focus on three key areas, data

1 collection and experimentation, monitoring and
2 mitigation. And that's basically the advanced
3 technologies that were mentioned before in the prior
4 panel, that Garry George particularly pointed out.

5 And then, information synthesis and sharing.
6 Getting the information out there, working with others,
7 and that was something that came up earlier. I'll
8 mention a couple of things about working with the
9 European entities and sort of compiling that
10 information.

11 These are three awards that Garry George
12 mentioned, that are for monitoring right whale
13 activities, for avian and bat monitoring. And there are
14 several other types of these technologies that we're
15 also active in investigating. In fact, on the buoy
16 system I mentioned earlier, we're planning to put a
17 thermal tracking system that Pacific Northwest National
18 Laboratory developed as a validation of that system.

19 So, on the environmental side, again looking at
20 -- this is a new initiative that we're starting out, and
21 that's to summarize what we understand, and others in
22 the field understand regarding environmental impacts and
23 global research to date. Examine which of these are
24 anticipated to have impacts in the U.S. and to work with
25 other entities to pull these together.

1 And Bethany Straw, I'll ask you to raise your
2 hand. Because Bethany -- anyone in the audience who's
3 interested, and obviously a lot of people are interested
4 in environmental aspects, who would like to pool
5 together, to work together on this initiative, please
6 see Bethany as the primary contact.

7 And, lastly, we have resources that are very
8 valuable, again in terms of aggregating information in
9 the field. The Tethys database is a collection, a
10 compendium of trying to pull together any environmental
11 information related to wind energy, published anywhere
12 in the world. And I recommend going there.

13 Wind Exchange is a source of information for
14 communities and other groups who want to know about
15 wind.

16 And then, the Offshore Wind Technologies Report
17 is updated regularly and is a source of quite a bit of
18 data that I've seen in some of the presentations earlier
19 today.

20 So, thank you.

21 MR. ALDAS: All right, thank you, Gary.

22 Our next panelist is Carrie Hitt, with the
23 National Offshore Wind Research and Development
24 Consortium. She's the Executive Director since
25 September 2019. Prior to being the Executive Director,

1 she served as President of New Hampshire Transmission
2 Company, a regulated subsidiary of the NextEra Energy
3 Resources.

4 MS. HITT: Okay, good afternoon and thanks for
5 having me today Commissioner Douglas and Mr. Gold. And
6 I should caveat my presentation today. This is my
7 inaugural talk about my consortium. I just joined less
8 than a month ago as the Executive Director. So, feel
9 free to grill me, but I'm not sure I'll withstand any
10 test. So, again, thanks for having us.

11 So, the National Offshore Wind Research and
12 Development Consortium has been in existence for about a
13 year and a half, now. As I said, I'm relatively new.
14 It was founded by, primarily, Department of Energy,
15 Gary's group, and NYSERDA, which is sort of the
16 equivalent of the CEC in New York. They have cofounded
17 a research and development consortium. The total
18 dollars committed by them is \$40 million, around \$40
19 million.

20 And DOE and NYSERDA's goal here is to accelerate
21 practical application of technologies for offshore wind.
22 And our research is primarily driven by the goals of
23 developers that have -- you know, provide us information
24 and we'll talk about that in a little bit, and guidance
25 and advice on, really, what is needed to commercialize

1 and construct offshore wind in the near term, so that is
2 our focus.

3 I should also say that the organization is also
4 funded by a number of private entities, including some
5 of the developers that spoke here today. And several
6 states have contributed to the initiative and are
7 participating.

8 And while, initially, the group, you know,
9 really came out of New York, with New York providing
10 matching funds to the DOE grant of \$20 million, it is --
11 the goal is to be a national consortium and to engage
12 other states that are looking at offshore wind
13 technologies, and implementation. So, that's why I'm
14 here today because we want to make sure that California
15 and the community here is aware of the consortium, and
16 the funds that are available, and the work that we're
17 doing. And hope that you'll consider, you know,
18 participating either through a solicitation, or joining
19 us, you know, as a state entity. And, obviously, we'll
20 talk more about that.

21 We're supported, as I mentioned, by four
22 advisory groups. They help guide where we focus our
23 solicitations and the projects that are chosen for
24 research. Primarily, right now, and it's a relatively
25 new organization, so the major focus is on the first one

1 here on the left, on the Research and Development
2 Advisory Group, the RDAG. That consists of academic
3 institutions and other organizations that really help us
4 figure out what should we be looking at in the short
5 term.

6 And then, next up is the third group over, the
7 Manufacturing Supply Chain and Service Council. That
8 will be launched earlier next year with BNOW, who spoke
9 earlier today, to really focus on supply chain. And
10 then, the other councils are in formation right now.

11 I mentioned the RDAG, which really helps to
12 guide the research that we pick and focus on. And there
13 are a number of educational and academic institutions
14 that are involved in providing us guidance on our
15 solicitations. You can see, by the map here, they cover
16 the country. I'm hoping that we can engage more of the
17 West Coast organizations and economic institutions, now
18 that I think there's a renewed focus here in the Pacific
19 for offshore wind.

20 To guide what we're doing, we have designed a
21 roadmap. We're now working on the second kind of draft
22 of the roadmap. And I'll talk a little bit more about
23 what that does. But the roadmap really lays out what
24 solicitations we're going to pursue. We'll be releasing
25 a new one in just a few weeks' time, that kind of tweaks

1 our efforts and makes sure that we're staying up to date
2 with the work that's needed to be done.

3 And I should mention, actually, I don't think I
4 said this, that NREL is a significant contributor to
5 this as well, helping us write the roadmap, draft it,
6 make sure that we are on point for what's needed.

7 So, we are -- wait a minute, I want to make sure
8 this is -- yeah, okay. As I mentioned, we are currently
9 in a solicitation process. We're running an open-ended
10 solicitation. Which means that the funds that are
11 allocated are open and as we receive proposals, we
12 evaluate them against certain criteria. I'll talk about
13 the categories of where the proposals kind of fall and
14 what we're looking for in a moment.

15 It's an open-ended solicitation. We've made one
16 formal announcement for an award that's already been
17 contracted. I'll mention that at the end. I believe,
18 as of today, we have 27 proposals before us to evaluate
19 and we're about a third of the way through them. But
20 more will keep coming over the course of the next year
21 or two, which is fantastic. There's a lot of interest.
22 We're receiving a lot of good proposals for research
23 along these areas. And, you know, a few won't -- we,
24 obviously, will evaluate them against the same criteria.
25 Some won't get chosen for grants and funding. Others

1 will. But so far, we have one that's been contracted
2 for and we're soon to announce many more by the end of
3 the year.

4 So, we have three technical areas that we've
5 identified challenges in and where the solicitations and
6 the proposal are coming in. The first area, we call
7 them pillars, looks at -- I'm sorry, I'm trying to read
8 my slides and I realize I probably need better glasses.

9 So, array performance and control optimization,
10 cost-reducing turbine support structures for the U.S.
11 market, floating structure, mooring concepts to shallow
12 and deep waters, and power system design and innovation.

13 And I should have mentioned, this reminds me,
14 that all this R&D is focused on U.S. implementation. Of
15 course, we are learning from the experience in Europe
16 and many of the proposals are based, are coming from
17 European developers and have that experience in mind.

18 Pillar 2 of technical challenge areas is
19 comprehensive wind resource assessment and development
20 of meta ocean reference sites.

21 And our third technical challenge area are
22 heavy-lift vessel alternatives, offshore wind
23 digitization through advanced analytics, and technology
24 solutions to accelerate the U.S. supply chain. So, this
25 is really supply chain, how are you going to get the

1 equipment there, that sort of thing. Addressing things
2 such as the Jones Act, which I'm sure many of you are
3 familiar with.

4 And we are receiving proposals for each of these
5 pillars simultaneously.

6 As I mentioned, we've awarded one proposal so
7 far, and contract, and that happened to be to NREL. But
8 any proposal, academic institution, private company is
9 eligible to submit a proposal. NREL, who's very active
10 in this space, submitted and won our first contract.
11 And this is on shared mooring systems for deep water --
12 excuse me, deep floating wind farms.

13 And that's it. I guess I would finally just say
14 I'm happy to provide more information to anyone that's
15 interested in submitting a proposal, and to answer more
16 questions about the consortium, itself. Thank you very
17 much.

18 MR. ALDAS: Thank you, Carrie. That's a great
19 overview of the R&D Consortium.

20 Our next panelist will be joining us via WebEx.
21 Mike Optis is the Senior Scientist with the National
22 Renewable Energy Laboratory, with expertise in wind
23 plant performance assessments.

24 Mike, are you online?

25 MR. OPTIS: Yes, I am. Can you hear me?

1 MR. ALDAS: Yeah, we can hear you. Go ahead,
2 please.

3 MR. OPTIS: Perfect. Okay, thanks a lot for
4 having me and apologies I can't be there in person. I
5 just wanted to spend a few minutes talking about some
6 state-of-the-art wind resource modeling that NREL's
7 currently conducting for the California offshore region.

8 So, please change the slide, Rizaldo. So, I
9 think it's a bit of an obvious statement about getting
10 the wind resource right matters when we're talking
11 longshore offshore. So, I thought I'd grab a couple
12 slides that were published at the AWEA Wind Resource
13 Assessment Conference back in 2015, by EDF Renewables.
14 And the focus is really on, you know, the bias between a
15 preconstruction energy assessment and what the plant
16 actually produces.

17 So, that graph on the left is showing that
18 difference. Whereas a value of 1 would be a perfect
19 estimate, and then deviating from that is either an over
20 estimation or under estimation. And this is currently a
21 big problem in the industry onshore, where it's not
22 uncommon to have a 10 percent, or as high as a 20
23 percent bias in your estimate. And this has very real
24 financial consequences, of course.

25 The example EDF used for a 200-megawatt project,

1 if two consultants had a 3 percent different in their
2 annual energy production estimate, that would translate
3 into \$17 million in that present value. So, and this is
4 onshore.

5 And when we pivot to offshore, the risks start
6 to get a bit higher given that, you know, we're dealing
7 with larger turbines, you know, a lot less experience in
8 understanding and quantifying the wind resource and
9 conducting energy yield assessments. And as well, we're
10 dealing with a lot less measurements. It's not uncommon
11 to have 8 to 10 net mass for a preconstruction campaign
12 onshore, whereas we're not going to have that luxury
13 offshore. So, getting the resource right matters.

14 The next slide, Rizaldo, please. And I think
15 it's talked about earlier in this panel, when it comes
16 to offshore measurements, we really don't have much to
17 work with. These are plots showing the different buoy
18 locations off the California coast. These tend to be
19 about 5 meters off the surface. Of limited
20 applicability when we're trying to quantify winds
21 between 100 and 200 meters or even higher. You know,
22 those heights relevant for wind power.

23 So, it's in general the case for the U.S.
24 offshore, and especially I think California, that the
25 resource is not yet well-characterized and there's a lot

1 of work to do to better understand that.

2 The next slide, please. So, again, as was
3 mentioned earlier, in the absence of detailed
4 observations, we tend to rely a lot on models,
5 particularly numerical weather prediction models. And
6 we're showing the results from such a model on the left
7 there. That's NREL's offshore wind estimates. These
8 are annual, 100-meter averages. These are based on our
9 own Wind Toolkit, which is itself a numerical weather
10 prediction model based on the open source, sort of
11 community-driven weather research and forecasting model
12 that's developed and maintained by the National Center
13 for Atmospheric Research.

14 So, this dataset was produced in 2013. At its
15 time, it was a very state-of-the-art dataset. And I
16 know today it is the best timeseries-based dataset
17 available. You know, it provides information at 2
18 kilometers, 5 meter -- or, 5 minute (indiscernible) --
19 and we're currently modeling 7 years of timeseries data.

20 That was seven years ago and we're due to redo
21 it for several reasons. Especially for offshore, it's
22 not currently -- it was currently validated to any
23 offshore measurements in its initial release. And the
24 fact that it's only 7 years of data it is limited in its
25 application to long-term analyses, be it annual energy

1 production or (indiscernible) for example.

2 The next slide, Rizaldo. So, one of the bigger
3 sources or limitations of the previous Wind Toolkit is
4 the model sensitivity. The Wind Toolkit is like a
5 weather prediction model, as I said, but it represents a
6 single model run. Like, we have inputs that drive the
7 model and setups within the model to get a certain
8 result. And about a decade of research, now, has
9 demonstrated considerable sensitivity to output from a
10 model, be it wind speeds, wind direction, temperature,
11 et cetera. Depending on the inputs that you're using to
12 drive your model and the setups within the model is how
13 you represent turbulence or deviation, and things of
14 that nature.

15 So, we were really interested, in the last year,
16 in exploring this. And on the right, we're showing some
17 results from a pilot study we conducted off the coast of
18 New Jersey, near a lot of those wind energy lease MUs
19 (phonetic).

20 The blue lines represent different model members
21 or different setups of this Wind Toolkit numerical
22 weather prediction model. We considered 24 different
23 setups. This line is the mean of the values.

24 So, on just a quick snapshot, over four days
25 what we see is considerable sensitivity in the wind

1 speed, depending on the inputs and setup you're using to
2 devise your simulations.

3 It's not unusual to have a 5-meter-per-second
4 (indiscernible) at a given time stamp.

5 We convert that to power using the basic 5-
6 megawatt NREL power curve. Those differences amplify to
7 the tune (indiscernible) three differences in power.

8 So, again, this is all based on reasonable
9 average setups to a (indiscernible) model. And so, what
10 we're really trying to push for the next generation of
11 wind resource datasets is the use of an ensemble
12 approach by uncertainty or sensitivity in these models
13 results. So, we can let that uncertainty inform
14 analyses that make use of this data, and we kind of stop
15 treating a single model run as truth.

16 Okay, the next slide, please. And when we start
17 to quantify uncertainty in different time scales, it
18 allows us to produce pretty useful metrics.

19 Nonetheless, here's a slide that looks pretty familiar.
20 This is, again, off the coast of New Jersey in this
21 pilot study. The hundred-meter annual average winds,
22 you've seen this before. Seeing larger wind speeds
23 being offshore, the lower wind speeds onshore, for
24 example.

25 What we're advocating for now is accompanying

1 the figure on the left to the figure on the right, we're
2 now -- in addition to wind speed information, we're
3 quantifying our confidence or uncertainty to that
4 information, based on the ensemble approach. After this
5 pilot study we're seeing lower uncertainty offshore and
6 higher uncertainty onshore, and there are good reasons
7 for that.

8 So, this is something that's been developed over
9 the last year on the East Coast. I'd just also note
10 that we are kind of (indiscernible) our colleagues in
11 Europe, who are developing a similar scale through the
12 European Wind Atlas. That's been a number weather
13 prediction model over the continent, the entire
14 continent of Europe.

15 Okay, the next slide, please. Okay, so what are
16 we actually doing for California? As I said, the New
17 Jersey was the pilot study. California's going to
18 represent our first, kind of large-scale, long-term
19 production runs for this next generation wind resource
20 dataset. So, it's going to be, when finished, a 20-year
21 time series-based wind resource dataset applicable for
22 long-term estimates. Keeping with the 2-kilometer
23 spatial and 5-minute time resolution approach from the
24 previous iteration. And we'll be adding this ensemble
25 approach to quantify uncertainty.

1 Given the computational requirements of running
2 a lot of different ensemble numbers over 20 years, we're
3 going to start with running a 1-year ensemble. So, over
4 2019 or 2018, for example, using at least 24 different
5 setups to quantify uncertainty.

6 We've been using some machine learning
7 approaches that we're developing, and we'll then
8 extrapolate, essentially, the uncertainty with
9 (indiscernible) -- the remaining 19 years as they relate
10 to environmental parameters like wind speed, wind
11 direction, and some turbulence.

12 So, we're excited to have partnered with BOEM on
13 this work and we're eager to get going and produce this
14 next generation dataset.

15 The final slide. We're not just wanting to do
16 models in this effort, and as Garry mentioned earlier,
17 validation really is of growing importance here. And I
18 know we'll be limited (indiscernible) coastal
19 measurements that are not available in California, but
20 we really see floating lidar as a game changer, and
21 we're seeing the benefits of that in the North Atlantic,
22 already.

23 But to the extent that the data may exist, then
24 we'll be spending some time doing this work, exploring
25 both private and public sources. Looking for more

1 state-of-the-art offshore measurements to which we can
2 validate the model further.

3 So, that's all I have. Thanks for your time. I
4 actually have to run off immediately to pick up my
5 daughter, so I'm not going to be able to --

6 MR. ALDAS: Okay, thank you. Thanks a lot,
7 Mike, and thank you for spending time to share with us.
8 If we'll have questions, we'll send that to you. Okay,
9 thanks.

10 The next speaker is Benoit Bizet. I hope I
11 pronounced that okay. Mr. Bizet is the Special Advisor
12 to the Centre for Global Cooperation, a part of the
13 Danish Ministry of Climate, Energy and Utilities.

14 MR. BIZET: Good afternoon. Thank you very much
15 for the introduction. Thank you very much for inviting
16 me here. As you mentioned, I'm representing the Danish
17 Energy Agency and we are part of the new Ministry of
18 Energy, and Climate, and Utilities.

19 We are in charge of mandating the -- we've been
20 mandated to the government to apply the energy agreement
21 on offshore wind. And I will be going back to the
22 previous agreement we had. We started in 2012 with the
23 political agreements on several megawatt of
24 installation. And what is the focus on this one? I put
25 them all because they are all part of the same package.

1 But the main interest of today is the 50-megawatt test
2 scheme, which was a test scheme that has been decided
3 very early in our political discussion in order to move
4 the new technologies for offshore wind, with the main
5 purpose of reducing the LCOE.

6 So, there's been a kind of a process to get
7 there because you can always have good ideas. But the
8 thing is this scheme was quite costly for the
9 government, so we had to ensure that we will be
10 supporting the proper project. So, we have had a lot of
11 requirement.

12 And just to give you an idea about the entire
13 cost of the project, it was about -- the one we will
14 award, that you're going to see in the end of the
15 presentation, has been awarded for \$19 million U.S.
16 dollars for a period of around 12 years, which is quite
17 a significant amount of money. So, we wanted to ensure
18 that the parameters and test parameters we will select
19 will be the right one.

20 So, we had some requirement. We wanted to be
21 sure that everybody that would be able to apply will
22 have some requirements to meet up. And they had to, all
23 of them, document some effect, and incentive effect.

24 So, the subsidy has been such that we do, in
25 Denmark, in other projects we've been doing CFDs. And

1 we do normally subsidy for what we are about 50,000
2 (indiscernible) hours.

3 For that project, we had maximum money for the
4 project, which is about this \$100 U.S. dollars per
5 megawatt hour. That would be the subsidy that would be
6 covered for the projects and covering the around 50,000
7 full-load hours.

8 We decided for that project to incentivize the
9 idea of developing turbines, not using an old, offshore
10 wind turbine, and just put some new elements on that and
11 get the money. We used the formula that we've been
12 using for development of onshore wind. In the early
13 days, we were supporting onshore wind on the install
14 capacity, and we realized that some people, they were
15 clever enough to put two generators on their wind
16 turbine, even though it will never produce. The amount
17 of megawatt was quite high and then they got high
18 support.

19 Then, we introduced a formula of the 70-30,
20 which is 70 percent of the subsidy will be based on the
21 rotor size and the 30 would be based on the capacity of
22 the wind turbine.

23 So, for the wind turbine that is actually set up
24 now, it's going to give \$48,700 something, which is
25 actually showing that the 50,000 full-load hours is not

1 that far from what we use on the different turbines.

2 We have a very good setup. We want to be also
3 ensuring that we will not support when the price is
4 negative. We don't do that for any of our projects.
5 That's what sometimes they're doing in Germany, but we
6 don't do that in Denmark.

7 Good. We had, of course, a lot of minimum
8 criteria. We wanted to ensure that the consortium or
9 the company who gets awarded the project will be able to
10 actually commission, and operate, and also maintain the
11 wind farm. So, we had some requirements on the
12 technical and financial capacity because we want also to
13 be ensured that when we give them the licenses, again,
14 they will be able to complete the project.

15 We have, also, of course, to assess the
16 application we received. We received four different
17 applications and they were having all very much
18 different subjects. Most of them had something with
19 foundations because it seems that it's a part that was
20 very important. And the rest was very much on the
21 turbine, itself.

22 We want, of course, to be sure that there is a
23 potential for the development and there is a commercial
24 aspect on the project. Because it's not just to give
25 money for a project that will not have an incentive on

1 reducing the LCOE for offshore wind. So, we had some
2 very strength, what do you call that, requirement on the
3 potential of the technologies that they will install.
4 We wanted, also, them to be technically feasible. We
5 cannot receive any application of elements that seems to
6 be very good but then, in the end, they cannot be
7 realized. So, we wanted to be sure and it has to be
8 documented that it was reliable, and then it should be
9 in full scale.

10 Full scale just means that it has to be
11 offshore. You see that where we are located 50
12 megawatts cannot be a real full scale, but for a test
13 scheme it was considered a full scale.

14 So, the applicants were actually able to propose
15 any kind of size of project from one turbine to the
16 entire pool of the 50,000 -- sorry, 50 megawatts. A lot
17 of 50 something, apparently.

18 So, on the commercial perspective, we wanted
19 also to ensure that there was some demand from the
20 market on the elements that they were proposing.
21 Because, again, if it's not interesting in the market,
22 then there will not be any idea in subsidizing some
23 elements that will not affect the production.

24 We wanted to have a diversity on the elements.
25 It's important that they are different elements. Not

1 only one or two elements, like one on the turbine and
2 one on the foundations.

3 So, in all, together, we received all these
4 applications. And then, in the end we decided to
5 assess, of course, in one way that was quite reliable.
6 I could not only alone assess whether or not I should
7 choose one or the other, so we hired some consultants.
8 And the trick was to find some consultants that are not
9 involved on any of the other projects. Because
10 otherwise it's biased and then they are not able to help
11 me.

12 But in the end we agreed, actually, that the
13 three others, we agreed on the same project, so that was
14 a good sign. And then, the potential they proposed in
15 their project was to reduce the CAPEX and the OPEX for,
16 respectively 12.5 percent. The project has been
17 installed for -- now, it's been in operation for more
18 than a year and the results are, of course, yet to be
19 seen. And, unfortunately, changed departments in house.
20 And we haven't yet seen any results from these, but it
21 could be available, and it has to be, actually, publicly
22 available.

23 So, they are different elements that we've been
24 focusing on. So, the project that has been awarded, the
25 subsidy is a small project of four wind turbines. They

1 are four Siemens 7 megawatts, with a rotor of 154
2 meters. And the main elements on the test was a new
3 concept of gravity jackets developed by Siemens, which
4 is the yellow part that you see above the sea. A
5 concrete transition piece, which is a very new way of
6 doing transition pieces, which are normally in steel,
7 too.

8 And then, of course, because you have concrete
9 bases, you need a bit of a different tower, otherwise
10 you will have too many vibrations on the
11 (indiscernible). So, they developed a slender tower
12 that is able to cope the vibration from the concrete.
13 There is a 66-kilovolt solution which was at the time,
14 actually, some of the few projects that have been
15 testing that is now becoming the new standard, but at
16 the time was
17 not.

18 They have different turbine and sensors
19 algorithm in order to optimize the production. And
20 then, the Lidar power curve verification.

21 This is my last slide. This project has been
22 very much under the -- they all want to look at the work
23 because there were not, at the time, any large-scale
24 offshore wind projects to be testing in the elements.
25 And we've seen that as a very good and positive impact.

1 And we try to see if it's possible to cooperate and to
2 ensure that if some other countries are subsidizing any
3 project that we are not paying twice for the same
4 elements.

5 That was it. Thank you,

6 MR. ALDAS: Thank you for sharing that
7 experience on the test scheme and Denmark experience.

8 Our last panelist, certainly not the least, is
9 Mr. Jeff Kehne. He is the Chief Development Officer
10 with the Magellan Wind, and he will be sharing with us
11 their perspective on project development for floating
12 foundation.

13 MR. KEHNE: Thank you. And thanks to the
14 Commission for convening this productive workshop and
15 for the invitation to appear.

16 Magellan is an early-stage development company
17 based in the U.S. And our California work teamed with
18 Copenhagen Infrastructure Partners, based in Denmark,
19 which has a number of large offshore wind projects under
20 development and under management all over the world.
21 They started in 2012 and now have about \$7 billion in
22 assets under management. So, they are the sort of
23 technical and financial muscle behind our efforts here.

24 We're specialized in the early development,
25 permitting leasing, the U.S. knowledge part of the

1 offshore wind development for floating technology.

2 Our other important partner is Stiesdal Offshore
3 Technologies. We've been close to them since they were
4 formed in 2016. And Henrik Stiesdal is the chief, is
5 the senior technical advisor to Magellan. He had meant
6 to be here to talk today but had to be back in Denmark
7 for some commitments tomorrow. And I told him I would
8 cover some of what I understand of the Stiesdal
9 technology from a developer's perspective and what we
10 like about it, and what it says about the path of
11 innovation. I also warned him that I couldn't bring
12 anywhere near the depth of expertise, or any at all of
13 the Danish accent. So, you'll have to live with that.

14 So, I think this is familiar territory. The
15 opportunity long-term in California, and the challenges
16 here. The challenge, I think, in California -- I think
17 in California for offshore wind, it's sort of like New
18 York. If you can make it here, you can make it
19 anywhere. Partly because of the permitting challenges
20 and partly because of the price challenge.

21 And the quote here, from Henrik, is about
22 floating offshore wind needing to contend with solar
23 plus storage. I think over the time period we're
24 talking about, it's solar plus lithium ion storage, plus
25 emerging longer-term storage. And I think that's going

1 to be a driver for the industry, as we develop in
2 California, is to constantly attend to our price
3 competitiveness with alternative resources.

4 Looking at what's distinctive about the floating
5 projects that we're all working to bring about, you can
6 see the various classes of floating technologies. Part
7 of the floating unique technology here that you don't
8 see highlighted is the moorings. That's becoming very
9 interesting and active, as well, as well as the dynamic
10 cabling.

11 So, I think when you think about the cost
12 trajectory for offshore wind, for floating offshore
13 wind, it's useful to think about two distinct cost
14 curves. And one is the shared system cost curve. So,
15 we have 8,000 turbines offshore in the world now,
16 roughly. And we have about a dozen floating foundations
17 in the world.

18 The way that people who study technology think
19 about costs, they think about when the number of units
20 installed goes up by a factor of ten how much does the
21 cost fall? And one estimate for wind power technology
22 has been about 15 percent.

23 So, going the next 8,000 units on the shared
24 system, if they're 10-megawatt turbines, that's roughly
25 \$80 billion of investment. The kind of decisions that a

1 state like California, even a state as big as California
2 makes about technology improvement in that sphere are
3 likely to be hard to coordinate with what's going on in
4 the industry and hard to move the needle.

5 On the other hand, on the floating side we have
6 a very -- we're starting from a very low installed base
7 and we have a more rapid, in terms of time, rate of
8 improvement. And I think that that's an area of much
9 more rapid innovation change and price reduction.

10 This is just showing how rapidly the cost has
11 come down for the shared system technology. And we
12 anticipate that we will continue to benefit from the
13 improvements in the shared system, and we will be better
14 than the fixed bottom world on our foundation side.

15 Okay, so, here are some of the existing floating
16 foundation technologies. And it's a period of great
17 innovation. If you look at the NREL report for 2018,
18 and look at the table of new floating technologies that
19 are about to come out onto the market, and the existing
20 technologies that are going to be deployed at large
21 scale, it's quite a dramatic change in the level of
22 private investment in this area is quite significant.

23 Here's what we, as developers, find interesting
24 about the SOT technology. It's the industrialization of
25 the manufacturing process and the savings that that

1 offers. Henrik's insight was to look to a standardized
2 component that you could take advantage of existing
3 automation, and existing perfection of industrial
4 processes. And he looked to wind towers, which are
5 produced in a volume of about a hundred thousand a year
6 in factories with robot welding, and automatic
7 inspection. So, they're very high quality. It lets you
8 use less steel and it lets you produce the components
9 very quickly.

10 So, he started with a component that is already
11 industrialized to take advantage of that learning curve
12 phenomenon and join the learning curve farther down.

13 And what you see here is three different designs
14 using the same component, the same basic component. The
15 first is the very first prototype project, the Tetris
16 Bar, the keel underneath gets lowered to lower the
17 center of gravity and it has the behavior of a spar
18 after deployment, but it's shallow in the port.

19 The second is a semi-submersible version. The
20 same components, the same key site assembly.

21 And the third is a tetra-base configuration that
22 allows you to float out a fixed bottom project and lower
23 it to the seabed, so you can avoid the deployment of an
24 installation vessel.

25 As we think about public investment in bringing

1 along the floating offshore wind technology in
2 California, one important issue is going to be public
3 investment in ports. And given that we're talking about
4 an area with a tremendous pace of innovation, our
5 perspective is somewhat like the perspective that
6 California has brought to transmission, which is the
7 least regrets strategy. You don't want to find out in
8 ten years that you've over invested in some aspects of
9 port construction that are no longer necessary or
10 useful, or that you've under invested, or committed to a
11 structure that's no longer capable of dealing with the
12 state-of-the-art turbine.

13 An example would be if you committed to a 300-
14 ton nacelle and by the time you got to large-scale
15 production, you were dealing with 500-ton nacelles. Or,
16 you committed to a dredging program with a 40-meter wide
17 channel, and an 8-meter depth, and you needed 50 meters
18 and 10 meters.

19 Those sorts of considerations I think are
20 important as the state contemplates investment in making
21 offshore wind a reality, particularly given the pace of
22 innovation and the variations among the contenders in
23 the foundation world.

24 Finally, a point about how quickly this
25 technology can emerge given the level of attention and

1 commercial interest in the floating foundations. Just
2 as an aside, the GREC report that came out last year,
3 the GREC report that came out last year said that in the
4 business as usual case, total offshore wind deployment
5 in 2030 figures to be 190 gigawatts, up from 23, now.
6 And, roughly, a hundred of that is expected in Asia
7 where floating will play a large role.

8 What I've got here is in that environment,
9 looking forward to those kinds of numbers, this is what
10 Stiesdal Offshore Technologies was able to do to bring a
11 promising, new foundation technology from concept to
12 deployment in four years. And I think we'll see more of
13 that, more contenders, more options for developers. And
14 more cost reductions, particularly for companies that
15 are serious about working in California, where the price
16 competition will be so severe. Thank you.

17 MR. ALDAS: Thank you, Jeff.

18 I think we have a few minutes for Q&A, and I'd
19 also like to transition to our Commissioners if they
20 have questions of our panelists.

21 MR. GOLD: I just had a question for Gary. So,
22 I was just interested in you were talking about the wake
23 impacts?

24 MR. NORTON: Yes.

25 MR. GOLD: And, again, this goes sort of to the

1 scaling issue. On what if it's a modest size project,
2 you know, the impacts of this question would be silly,
3 but if it's large enough, maybe it's not.

4 In conjunction with the Lidar buoys, et cetera,
5 are you looking at the impacts on currents, and is it
6 just surface currents, or anything even further afield
7 than that, from the standpoint of really thinking about
8 what the impacts of wakes could be downwind?

9 MR. NORTON: Okay. And maybe I didn't explain,
10 but when I mentioned wakes, I'm talking about wakes
11 within the wind stream.

12 MR. GOLD: Right.

13 MR. NORTON: From turbine to turbine. But then,
14 so --

15 MR. GOLD: Well, I guess what I'm thinking of,
16 being an ocean guy, is that so many of our localized
17 currents are wind driven. And if the wakes are quite
18 substantial with the scale that we're talking about, is
19 there a potential impact on surface currents?

20 MR. NORTON: Yes. And with the buoys, it would
21 be trying to -- the meta ocean conditions,
22 characterizing the currents and the waves prior to an
23 installation. And then, actually, I'm not aware of much
24 study of the impact within the wind farm itself of the
25 waves, although, the impacts of the various turbines.

1 But the modeling that I mentioned, the high-performance
2 modeling, computing would enable that to be studied
3 within the -- as part of the overall impacts and
4 operations within the wind turbine -- within the wind
5 farm, if I'm making sense there.

6 MR. GOLD: Yeah. Not, it does make sense.

7 MR. NORTON: It's part of all this multiple of
8 factors that would be looked at, at the same time. So,
9 the answer is yes, getting there. But I'm not aware of
10 any studies, yet, that have been published, for instance
11 on the actual impacts that you're talking about.

12 MR. GOLD: Yeah, so sort of the wind/sea
13 interface component, yeah.

14 MR. BIZET: If I can add on that, I think that
15 today we saw, maybe it's your presentation, one of the
16 presentations showed the HornsRev2 windfarm wake effect
17 is one where you see the wake through the part, and you
18 see that the effect is not affecting the sea surface.
19 You will see -- I don't know, you have to see the
20 picture.

21 MR. GOLD: Yeah.

22 MR. BIZET: And you will see that it's going to
23 be above the surface, because the turbines, they are
24 very high, and they are clearance of at least 20 to 30
25 meters above water. So, the water, which is capturing,

1 is going off towards to make like a conical. But if you
2 see the picture, I will recommend you look at the
3 picture. I don't remember which presentation today
4 showed the pictures, but this very -- it says at the
5 bottom where the wake is affecting the turbines.

6 MR. GOLD: Okay.

7 MR. BIZET: Make sense?

8 MR. GOLD: Yeah. No, I think it does make
9 sense. I just, again, want to make sure that every box
10 is checked. You know, in the case of somebody brings it
11 up, we make sure we have a cogent response, and that
12 sort of thing.

13 So, I understand what you're saying from the
14 standpoint of physically how they're designed, and such.
15 But again, I think we're talking about a scale that
16 doesn't exist, and so that's why I just want to make
17 really sure as we move forward on it.

18 But thank you, that was --

19 MR. NORTON: If I could mention that we're going
20 to release within several weeks the results of a
21 workshop with industry, and meta ocean experts, wind
22 resource characterization experts that characterizes
23 what the key elements are for the gap, the missing
24 elements if you will, in knowledge and what's important.
25 And I know there are aspects of that that touch on the

1 effects of waves on the wind, within a wind farm.

2 MR. GOLD: Yeah, and remember, because we are
3 talking about California current just for the rest of
4 the audience, and the fisheries person could have
5 brought this up as well. I mean, we are just very much
6 an upwelling dependent fishery here. And so, if there
7 happens to be, and I hope that's certainly not the case,
8 but if there happened to be any significant impact,
9 that's what we're looking at. Because it really is
10 based on upwelling. And if there's any impact there,
11 that would be a concern. I don't think there is. I'm
12 just saying that we just want to make sure.

13 COMMISSIONER DOUGLAS: Yeah, I was just going to
14 ask a follow-up question on that. Like in -- so, in
15 Denmark, are you aware of any analysis or studies about
16 whether wind projects affect currents?

17 MR. BIZET: No, we don't. But I think that I
18 was about to say before that I guess that the climate
19 change might change the current more than the wind
20 turbines. And by definition, you want to optimize your
21 energy yield and you may not -- you don't want a lot of
22 wake. So, you will dispose your turbine so you reduce
23 the wake effect. So, basically, I'm not very sure that
24 there are any studies been done on that because the
25 developers want to reduce this wake effect. And this

1 wake effect, probably on the large scale, is not going
2 to be 4 to 5 percent, I guess, which is quite
3 insignificant.

4 And, actually, the new designs on the wind farm
5 are not very square, so they are actually minimizing the
6 wake in a way that it might not (indiscernible) the
7 currents. But no study, to answer your question.

8 MR. GOLD: And the good news is you know this
9 state is focusing on climate more than anything else, so
10 there you have it.

11 COMMISSIONER DOUGLAS: I think I don't have
12 anymore questions. It's probably -- Rizaldo, do you
13 have questions?

14 MR. ALDAS: Sure, I have one question. And this
15 is a question for Jeff, of course others, Gary, and
16 others are welcome to comment. Kind of building on your
17 second-to-the-last slide, as we move forward, if we are
18 able to, you know, move forward with the deployment of
19 wind, offshore wind energy, could you comment on how our
20 infrastructure, particularly the ports are being
21 readied, or what sort of incremental development are
22 needed to make them ready for future deployment?

23 MR. KEHNE: Yeah, I think that's a really hard
24 question.

25 MS. RAITT: Turn your mic on.

1 MR. KEHNE: I think that's a hard question for
2 California right now because the various foundation
3 technologies have very different requirements. One of
4 the appealing aspects of the
5 Stiesdal technology, to us, is that it's rapid
6 throughput at the port, and a small footprint, and no
7 drydock. So, for a small project, you can even do
8 temporary reinforcement of the dock. If you were going
9 to scale up, you would need -- you would sensible want
10 more reinforcement of the dock and a larger lay down
11 area, although it would have to necessarily be right at
12 the key side.

13 Some of the other technologies have very
14 different footprints. And some technologies, like the
15 very large spars, require different deployment
16 technologies altogether.

17 So, again, I think it's worth giving some
18 thought to a least-regret strategy if you're not ready
19 to pick a winner on foundations, so that the investment
20 that makes the most sense is investment that works under
21 a wide range of scenarios.

22 MR. ALDAS: Thanks. Anyone else?

23 MR. NORTON: I'll mention, it's something I
24 haven't heard discussed either today or in the previous
25 workshop was the fact that the bearing capacity of the

1 soils close to the key side, the dockside, is very
2 important as well. And it's not just the laydown areas
3 or the draft. But having these turbines, particularly
4 the Nacelles are incredibly heavy. And most ports
5 aren't used to that concentrated amount of weight in one
6 location.

7 MS. HITT: Just a quick addition from a prior
8 life. It wasn't addressed in this conversation. It was
9 spoken about a little bit earlier today. But I'm not
10 sure that all the presentations on impact or LCOE talked
11 about transmission. So, all of these projects have to
12 be interconnected somehow, right. So, I think that
13 should be taken into consideration, both in terms of,
14 you know, determining your LCOE. The numbers that
15 people present include those or not. And do the
16 different technologies that might be available, how does
17 transmission interconnect with them? How are you
18 connecting it to the grid? Is it more costly or less
19 costly depending on the technology you actually use for
20 the turbine?

21 MR. ALDAS: Great, thanks. Okay, are there any
22 more questions?

23 I think I would like to thank everyone.
24 Appreciate your participation. Thank you.

25 COMMISSIONER DOUGLAS: Thank you. Thank you to

1 the panel.

2 So, that was the last panel of the day. I have
3 three cards so far for public comment. If others would
4 like to make comment, the Public Adviser is right over
5 here. And you're welcome to fill out a blue card and
6 come and make comments.

7 And after we get through people in the room,
8 we'll see if anyone is listening on WebEx and would like
9 to make a comment.

10 So, let me start with Michael Winkler, with the
11 Redwood Coast Energy Authority.

12 MR. WINKLER: Good. Thank you. I'm Michael
13 Winkler. I'm the Board Chair of Redwood Coast Energy
14 Authority. That Redwood Coast Energy Authority has a
15 consortium agreement with Principle Power, EDPR, and
16 Aker Solutions to develop approximately 120-megawatt
17 floating, offshore wind turbine installation off the
18 Humboldt Coast. It looks like it's with the
19 restrictions of the military, that's likely to be the
20 first floating offshore installation in California.

21 Some challenges that we have for a system of the
22 proposed size, that with what I consider moderate
23 upgrades of the transmission system, this will be
24 feasible.

25 Another proposed project is an onshore project

1 of about 125 megawatts. When these two projects are
2 built and with existing biomass electricity capacity, we
3 would be up to about 170 percent of electricity
4 consumption in Humboldt. And that gives us the
5 possibility of being zero net as a county. And when we
6 electrify, I think we'll still be within that.

7 The challenges for our area include transmission
8 upgrades. We have, as earlier speakers said, that from
9 Cape Mendocino to the Oregon border we have the
10 potential of about 15 gigawatts. And that's going to
11 take a substantial commitment in terms of updating the
12 IEPR, and updating other parts of California energy
13 policy, and also providing funding to make that
14 feasible.

15 Also, we have a potentially excellent port.
16 Probably the second-best port in California, natural
17 port, after San Francisco Bay. But after the decline of
18 the timber industry, we have very degraded port
19 facilities. And so, we're going to need a lot of work
20 and a lot of financing. I don't know if that also would
21 be available from the State of California to make that
22 feasible for the type of large-scale, offshore wind
23 turbine development we're going to have.

24 People have talked about the Port of Eureka as
25 being a potential West Coast hub for the offshore wind

1 industry. In addition to other characteristics, we have
2 no bridge across the opening to our bay, so we can
3 handle a fully assembled, offshore wind turbine
4 installation that could be towed out from our port.

5 I also wanted to comment about something that
6 was mentioned earlier, kind of indirectly related to
7 wind turbines, and that has to do with hydrogen. I
8 worked for an energy research lab for about 12 years,
9 that specialized in hydrogen. And one thing I found
10 very disappointing is that the roundtrip energy
11 efficiency of hydrogen fuel cells is only about 20 to 25
12 percent. So, this does not compete at all well with
13 batteries, and battery-power vehicles.

14 So, I think that the best way of looking at
15 hydrogen and fuel cells is rather than a drop-in
16 replacement for fossil vehicle fuels, a better way of
17 looking at it would be as a type of flow battery. A
18 flow battery is a series of electric chemical cells with
19 external reactants.

20 And so, I think what we're talking about is a
21 low-efficiency flow battery. This could make sense for
22 seasonal energy storage, in which capital costs are
23 important and energy storage efficiency is not
24 important.

25 So, what I would rather see would be, if

1 hydrogen and fuel cells are used, that they would be
2 used to balance, do grid balancing and seasonal storage,
3 rather than trying to use as a replacement for gasoline
4 and in powering vehicles directly.

5 COMMISSIONER DOUGLAS: All right, thank you.
6 Now, let me say, we have a line at the mic, but I also
7 have cards, some of which came in really early. So, let
8 me just -- and, fortunately, not very many. So, if you
9 haven't filled out a card, please fill one out. We will
10 get to you very soon because I only have three more in
11 my hand, four more in my hand.

12 Charley Lavery, Operating Engineers Local 3.

13 And there are two mics. So, feel free to move
14 near a mic. If you know you've given me a card, we'll
15 get to you. Keep the comments about three minutes,
16 please, and please go ahead.

17 MR. LAVERY: Good afternoon. I'd like to
18 specifically bring the words of Jeff Hunerlach, our
19 district representative up in the Humboldt area to the
20 council. He's been working with the industry and
21 working with offshore wind up there directly. He
22 couldn't be here today.

23 We, Operating Engineers, represent heavy
24 equipment operators, surveyors, construction inspectors,
25 and marine construction workers. We have approximately

1 39,000 members. And we're very excited about the
2 prospect of developing offshore wind. Not only is it
3 going to generate good jobs here in California, but it's
4 going to help the environment.

5 We believe that the offshore wind industry
6 should be -- have high labor standards and that we can
7 bring a high road. We can work with the state and work
8 with industry to bring a high road approach to the
9 development of this industry.

10 Specifically, we are putting out there that we'd
11 love to partner with the industry, partner with the
12 Commission on bringing broad public support for this
13 issue and for the building of offshore wind.

14 Urge the CEC and the CPUC to take workforce
15 impacts into account when going forward on their
16 decisions on offshore wind.

17 COMMISSIONER DOUGLAS: Thank you very much.
18 Thanks for being here. Thanks for your comments.

19 Lauren Cullum, Sierra Club.

20 MS. CULLUM: Thank you. Hi, Lauren Cullum with
21 Sierra Club California, representing 13 local chapters
22 in California and half-a-million member and supporters
23 in the state. I want to thank the CPUC, OPC, and CEC --
24 wait, did I forget one? I don't know. But thank all of
25 you guys for putting together such a great workshop on

1 offshore wind.

2 Sierra Club believes that offshore wind is an
3 important resource that will help us move towards
4 meeting our state's decarbonization and climate change
5 goals and help grow a new industry that supports
6 thousands of well-paying jobs.

7 I'd like to reiterate or highlight some of the
8 points or topics that were discussed today that resonate
9 with Sierra Club.

10 First, offshore wind must advance in an
11 environmentally responsible manner. I'm happy to hear
12 today about the current environmental assessments and
13 studies that are going on, and those that will take
14 place in the future. Avoiding sensitive habitat areas,
15 requiring strong measures to protect wildlife and
16 ecosystems throughout each stage of the development
17 process. And comprehensive monitoring of wildlife and
18 habitat before, during, and after construction are
19 essential for the responsible development of this
20 technology.

21 Second, the processes associated with developing
22 offshore wind energy, such as data collection and
23 siting, should be as inclusive and transparent as
24 possible. An inclusive stakeholder process, workshops
25 such as this, workshops like EDPR talked about that

1 involve, that bring together industry and NGOs to work
2 together, and help identify areas of least conflict.
3 This could then provide a more streamlined process for
4 decision making and reflect environmental and other
5 concerns.

6 In sum, Sierra Club California supports
7 responsibly developed offshore wind energy that will
8 take into account the potential impacts on marine
9 wildlife and ecosystems, and terrestrial, if that --
10 considering some of the changes that might happen to the
11 transmission infrastructure. As well as a process that
12 allows for the various communities and stakeholders to
13 be informed and given opportunities for input along the
14 way. Thank you.

15 COMMISSIONER DOUGLAS: Thank you very much.

16 Danielle Mills with AWEA-CA. Followed by Bruno
17 Geisher with IDEOL.

18 And if anyone else would like to fill out a
19 card, please do so.

20 MS. MILLS: Thank you. Good afternoon
21 Commissioner Douglas, Mr. Gold.

22 I want to thank you for having such a great
23 collection of stakeholders and experts here today. As
24 we've seen, there's so much potential to bring offshore
25 wind to California. And if that potential is realized

1 and done in a responsible manner, we can unlock hundreds
2 of thousands of jobs that are highly skilled and well
3 paid. One to two billion dollars of customer savings.
4 New pathways to meeting our electrification targets and
5 bringing greenhouse gas reductions to other sectors as
6 well.

7 Innovation to protect species and minimize other
8 impacts. Significant investments in our port
9 communities and electricity infrastructure, and a host
10 of other benefits.

11 But this is not going to be easy, as nothing in
12 California is. Bringing this industry to scale is going
13 to require acknowledgement of some of the hard
14 challenges that California's energy market is facing.
15 And it's also going to require thinking through our
16 procurement and our long-term planning processes.

17 We are currently in a reliability short fall as
18 a state. Some of these resources could come online in
19 the next 7 to 10 years to meet some of that reliability
20 short fall that we have right now.

21 So, if we continue to have these multi-agency
22 workshops, and engage stakeholders both from industry,
23 and outside of industry, I think we can look at where we
24 are now, and where we need to go as a state to make sure
25 that we fully realize all of these benefits and really

1 seize the opportunity.

2 So, thank you for pulling us all together.

3 COMMISSIONER DOUGLAS: Thank you, Danielle.

4 Now, Bruno Geisher, with IDEOL. And I'll say,
5 IDEOL's done some good analysis of local content, and
6 also some of the harbor infrastructure here. So, thank
7 you. Go ahead.

8 MR. GEISHER: Thank you. My name is Bruno
9 Geisher, with IDEOL, a floating technology provider,
10 with assets in operation in Japan and in France. Or,
11 yes, sorry, it's a long time I've impersonated James
12 Brown so --

13 (Laughter)

14 MR. GEISHER: So, without undermining the motion
15 that I've heard the last few days about go big or go
16 home, which has value when you're looking at developing
17 something around scale and creating thousands and
18 thousands of jobs. I would like to add some nuance to
19 what I heard about harbor infrastructure upgrades or the
20 need to upgrade harbor infrastructures.

21 Our company, with its very unique concrete hull
22 technology, and compact concrete hull technology has
23 conducted an audit of all the California harbors. It
24 has been a lengthy work. And we came to the conclusion
25 that, actually, our technology can be built in

1 California, providing 100 percent local content, without
2 any harbor infrastructure investments, using existing
3 harbor facilities.

4 So, of course, investments to increase, to
5 accelerate the industry, and to provide competition
6 amongst different players is very important in the drive
7 to reduce cost. But you can already start building
8 things in California locally, with local labor, using
9 existing harbor infrastructure.

10 The second thing I just want to add is we all
11 want to go big and we all want to see those large
12 commercial arrays to provide the necessary renewable
13 energy to meet the targets that California has set for
14 itself. I would just not undermine the interest of
15 smaller-scale projects in order to expose all the
16 stakeholders to that learning curve.

17 There's not one country in the world that went
18 from zero to commercial scale, especially in floating.
19 France, Japan, Norway, Portugal, they all started with
20 at least one unit in the water, allowing progressive
21 exposure to governmental agencies, to NGOs, to the DOD,
22 and to everyone else, to the supply chain, to the
23 fishermen, et cetera. So, I would not undermine the
24 benefits of a smaller project before going full scale.
25 Thank you.

1 COMMISSIONER DOUGLAS: Thank you for being here.
2 Thanks for your comments.

3 I am out of blue cards. If anyone did not fill
4 out a blue card, but now really wishes to say something,
5 go ahead. Otherwise, I'll turn this over to Heather to
6 see if there's anyone on WebEx.

7 MS. RAITT: Yeah, my understanding is nobody on
8 WebEx has raised their hand. So, I think we're ready
9 for concluding remarks.

10 COMMISSIONER DOUGLAS: All right.

11 MS. RAITT: But no pressure.

12 COMMISSIONER DOUGLAS: I don't think I wrote a
13 whole lot of concluding remarks. I had questions.

14 But I'll just thank everyone for -- many people
15 here, it's been a long week because we had the
16 opportunity to participate in the Pacific Rim
17 Conference. And I learned a lot there.

18 I really appreciated so many of you staying an
19 extra day and participating in our public workshop and
20 helping us build the body of knowledge and information
21 for California agencies, and for the public to engage
22 and understand the status of this issue here, in
23 California.

24 There's a lot of expertise in this room.
25 There's a lot of work that's been done. And much

1 remaining to do, both to understand and find ways to
2 take advantage of the opportunities presented by this
3 resource, by offshore wind within the context of our
4 broader climate goals. And with an eye towards
5 everything we need to balance. Cost and reliability,
6 and environmental impacts, and the permitting process,
7 and so on.

8 There's a lot of science and a lot of research
9 needs. It's really gratifying to hear from so many
10 entities involved in the science and to know that we'll
11 be able to follow up and continue to coordinate. And
12 that is definitely what we'd like to do. There's no
13 reason to duplicate work others are doing. We would
14 much rather build on the body of knowledge that's most
15 relevant and useful to us.

16 So, this has been a real step forward in
17 achieving that.

18 Mark, any closing comments?

19 MR. GOLD: You pretty much covered it all. For
20 me, I appreciate everybody's presentations. I learned
21 an awful lot. Unlike Karen, I don't live and breathe
22 this all the time, so this is a good, deep exposure for
23 me and to really understand the issues surrounding
24 moving offshore wind in California.

25 I did emphasize before, we're putting together,

1 finalizing in the next month the strategic plan for the
2 coast and oceans for the State of California. And I've
3 been talking to Karen quite a bit over the last month on
4 what an acceptable target would be for offshore wind.

5 And so, we'll probably try to put something in
6 there. It will be a little bit forcing. We'll see
7 where it actually gets through the council, itself,
8 which is chaired by Secretary Crowfoot and includes a
9 lot of heavy hitters in the state.

10 But it seems to be something that there's really
11 an appetite for moving forward to -- there might be
12 disagreement on degree, how to do it, et cetera, but it
13 does seem like an issue's time has come. So, that's
14 promising. And thank you, again, for everything you've
15 provided today.

16 COMMISSIONER DOUGLAS: All right. So, again
17 thanks. We're adjourned.

18 (Thereupon, the Workshop was adjourned at
19 4:16 p.m.)

20

21

22

23

24

25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of January, 2020.




Eduwiges Lastra
CER-915

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of January, 2020.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520