

DOCKETED

Docket Number:	20-IEPR-02
Project Title:	Transportation
TN #:	234945
Document Title:	Transcript - 06-24-20 SESSION 3 – Scaling VGI and Charging Infrastructure
Description:	JOINT AGENCY IEPR WORKSHOP ON VEHICLE-GRID INTEGRATION AND CHARGING INFRASTRUCTURE FUNDING
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/29/2020 3:53:13 PM
Docketed Date:	9/29/2020

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of:

2020 Integrated Energy)	Docket No. 20-IEPR-02
Policy Report Update)	REMOTE ACCESS WORKSHOP
(2020 IEPR Update)	
_____)	

JOINT AGENCY IEPR WORKSHOP ON
VEHICLE-GRID INTEGRATION AND CHARGING INFRASTRUCTURE
FUNDING

REMOTE VIA ZOOM

SESSION 3 - Scaling VGI and Charging Infrastructure

WEDNESDAY, JUNE 24, 2020

1:30 P.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONERS

Patricia Monahan, 2020 IEPR Update Lead Commissioner

Karen Douglas, California Energy Commission

Clifford Rechtschaffen, California Public Utilities
Commission

CEC STAFF

Heather Raitt, IEPR Program Manager

Harrison Reynolds

Jonathan Bobadilla

PUBLIC ADVISOR

RoseMary Avalos

MODERATORS

Noel Crisostomo, California Energy Commission

Tim Olson, California Energy Commission

PANELISTS

Simon Lonsdale, AMPLY Power

Ed Burgess, Vehicle-Grid Integration Council

Michael Cano, LA Metro

Taylor Marvin, San Diego Gas and Electric

Phillip Kobernick, Peninsula Clean Energy

Anand Rangarajan, Cambridge Capital

Stacey Reineccius, PowerTree

APPEARANCES

PANELISTS

Abdellah Cherkaoui, Volta

Marc Monbouquette, EnelX

Rajiv Shah, FreeWire Technologies

PUBLIC COMMENT

Cory Bullis, Electric Vehicle Charging Association

Mark Roest, Sustainable Energy, Inc.

AGENDA

	<u>Page</u>
Introduction	6
Opening Remarks	8
Commissioner Monahan	
Commissioner Douglas	
Commissioner Rechtschaffen	
Transitioning Charging Funding to the Business Case Noel Crisostomo	10
Investment Prospects for Scaling VGI	22
Moderator:	
Carrie Sisto	
Panelist:	
Simon Lonsdale	
Ed Burgess	
Michael Cano	
Tylor Marvin	
Phillip Kobernick	
EV Charging Scale-Up: Potential New Business Models For Private Investment	77
Moderator:	
Tim Olson	
Panelist:	
Anand Rangarajan	
Stacey Reineccius	
Abdellah Cherkaoui	
Marc Monbouquette	
Rajiv Shah	
CEC Clean Transportation Financing and Investment Proceeding	127
Tim Olson	

AGENDA

	<u>Page</u>
Public Comments	138
Closing Comments	141
Adjourn	142

1

1 If you were in the previous sessions, we
2 saw that we were using the Q&A function in Zoom
3 with the capability to vote on questions posed by
4 others. So attendees may type questions for
5 panelists by clicking on the Q&A icon at the
6 bottom of your screen. Before typing a question,
7 please check to see if someone else has already
8 posed a similar question and, if so, you can
9 click the thumbs-up to vote on it and it will
10 move the question up in the queue. Questions
11 with the most thumbs-up or clicks will be up-
12 voted to the top of the list. We'll do our best
13 to respond to all the question but are unlikely
14 to elevate all of them due to time restrictions.

15 We also plan to conduct a poll today to
16 get some feedback on how we're doing with the
17 Q&A.

18 I'll go, quickly, over how to provide
19 comments on the material in today's workshop.

20 There will be an opportunity for verbal
21 comments at the end of this session. In Zoom,
22 you can click the raise-hand icon at the bottom
23 of the screen to let us know you'd like to make a
24 comment. And if you change your mind, just click
25 it again and the hand will go down.

1 For those not on Zoom and on the phone,
2 you can press star nine and that will raise your
3 hand.

4 Alternatively, written comments are
5 welcome after the workshop and they are due July
6 15th.

7 So with that, I will turn it over to
8 Commissioner Monahan.

9 Thank you.

10 COMMISSIONER MONAHAN: Great. Thanks
11 Heather.

12 Well, welcome to the afternoon IEPR
13 workshop. This is a conversation I'm really
14 interested in pursuing. So right now you -- most
15 charging investors are not turning a profit and
16 they need public investment to be able to compete
17 economically. And so we need to get to a point
18 where there is a sustainable business that forges
19 without support by government. And I think
20 that's a question we'll be wrestling with, is
21 how -- what are the conditions that we need to
22 get to that place?

23 And so I want to -- I'd rather turn this
24 over to the discussion because I think we've got
25 a really great panel of folks to talk about these

1 issues.

2 And I see, I have my fellow Commissioner
3 from the Public Utilities Commissioner, Cliff
4 Rechtschaffen, going on video.

5 Cliff, do you want to make any opening
6 remarks?

7 COMMISSIONER RECHTSCHAFFEN: I don't,
8 Commissioner Monahan. I'm really to jump right
9 in.

10 COMMISSIONER MONAHAN: All right.
11 Excellent.

12 And, Commissioner Douglas, I know is on
13 as well. I guess, if you're interested in
14 speaking, just show your video and we'll turn to
15 you.

16 COMMISSIONER DOUGLAS: Uh-oh. I showed
17 my video to say hello but I don't need to make
18 any introductory remarks or words. Good
19 afternoon and I'm looking forward to getting
20 going.

21 COMMISSIONER MONAHAN: Excellent.

22 Well, why don't I turn it over to Noel,
23 who is going to talk about how -- one idea for
24 transitioning charging funding to establish a
25 business case. And Noel Cristostomo is our

1 resident expert on all things related to vehicle-
2 grid integration. He came, actually, from the
3 Public Utilities Commission. We stole him from
4 Commissioner Rechtschaffen and his team which
5 he's still angry about. So let me turn it over
6 to Noel.

7 MR. CRISTOSTOMO: Thank you, Commissioner
8 Monahan.

9 Good afternoon everyone. My name is Noel
10 Cristostomo and I'm an Air Pollution Specialist
11 in the Fuels and Transportation Division. I'm
12 slated to speak about transitioning charging
13 funding to the business case as a way of kicking
14 off this afternoon's talks. And so I will draw
15 upon lessons from electricity policy that could
16 apply for transportation electrification by
17 proposing that public sector charging investments
18 emulate a policy and economic model that was
19 responsible for introducing competition in the
20 electricity market and mobilizing an exponential
21 increase from the deployment of independent
22 solutions providers, also amidst a global
23 economic crisis, albeit 40 years ago.

24 Can I have the next slide please? Now my
25 Zoom is frozen.

1 Can people hear me? Patty's --

2 MS. RAITT: This is Heather. We can hear
3 you. And you're on slide two --

4 MR. CRISTOSTOMO: Okay.

5 MS. RAITT: -- Introduction and Key
6 Messages.

7 MR. CRISTOSTOMO: Okay. Okay. Great.
8 This is an earlier version of the PowerPoint. I
9 will try to get through this anyway.

10 So this model was responsible for
11 introducing competition in the electricity market
12 and localizing exponential increase in the
13 deployment of independent solutions providers,
14 albeit an earlier global economic crisis. And so
15 as I'll describe on the next slides, the Public
16 Utilities Regulatory Policies Act, or PURPA,
17 introduced competition from independent power
18 producers. Before this law, utilities operated
19 as vertically integrated monopolies owning
20 distribution, transmission, and generating
21 facilities.

22 PURPA required electric utilities to
23 purchase power at the utilities of what it costs
24 from so-called qualifying facilities due to the
25 minimum eligibility requirements established at

1 the Federal Energy Regulatory Commission. This
2 avoided costs, the costs that a utility would
3 incur if it chose to either provide the energy
4 itself by building new capacity or purchase
5 energy from non-qualifying facilities. PURPA was
6 responsible for bringing 3 gigawatts of QF
7 generating capacity into California alone over
8 ten years and saving ratepayer costs.

9 It also forms a basis for the alphabet
10 soup investment mechanisms that we have today,
11 PPAs, the RPS, energy service contracts, or ESCs,
12 energy metering and more, which can help with the
13 EV challenge shown on the next slide or on the
14 left hand of this slide. So while PURPA helped
15 propel the 1970s energy crisis by increasing the
16 efficient local production of oil, the combustion
17 of that oil, unfortunately, contributed to
18 today's environmental challenges. Worse, our
19 drive to solve those problems has hit a speed
20 bump with the pandemic and economic crisis which
21 disproportionately affects disadvantaged
22 communities. This history is not intended to
23 cause despair but, instead, to encourage us by
24 showing how impactful positive benefits could be
25 if we apply similar principles and market forces

1 toward our TE goals.

2 Meeting California's goals requires a
3 policy and economic model to deploy charging
4 infrastructure for the full scope of
5 transportation at the scale and speed needed to
6 attain our state's objectives.

7 So in the previous slide, I showed
8 Bloomberg's electrification curve which begins to
9 flatten in the 2030s because of an infrastructure
10 cap. To release this cap, easily understood
11 market signals that drive investments are needed.
12 They must account for benefits, align
13 stakeholders efforts, and catalyze private sector
14 investment.

15 And, importantly, if we are to succeed in
16 meeting our global climate targets, this metric
17 should be replicable to support TE expansion in
18 jurisdictions with fewer resources within
19 California and elsewhere.

20 So in the next slides I'll explain how
21 this conceptual PURPA analog for transportation
22 electricity, or TERPA for short, can work, and a
23 key metric that can crystalize various
24 stakeholder's approaches in charging in the vast
25 latent but uncapped value of VGI that we

1 discussed on Monday.

2 The conception -- sorry. Go back to the
3 prior slide.

4 The conception of a Transportation
5 Electrification Regulatory Policies Act initiates
6 from the regulatory compacts within PURPA that
7 the utility has a responsibility to serve
8 electricity to customers at just and reasonable
9 rates. As described earlier, PURPA obligated the
10 utilities to meet these needs by requiring the
11 non-discriminatory interconnection of and
12 purchase of power from qualifying facilities that
13 meet the FERC's eligibility requirements for
14 technology efficiency, reliability, and safe
15 interconnection. Existing law in California
16 enhances this basic premise of a utility service
17 to meet environmental and equity objectives
18 through the deployment of EVs and, specifically,
19 Public Utilities Codes emphasize this today,
20 specifically, 740.12 of the PU Code, where TE
21 programs and investments shall minimize overall
22 costs and maximize overall benefits.

23 As illustrated earlier, the industry must
24 grow to serve EV needs for energy in compliance
25 with the law cost effectively and expeditiously.

1 And so I conceptualize that this independent
2 charging infrastructure could grow exponentially,
3 like we saw with qualifying facilities, by
4 creating an obligation for utilities to connect
5 and investment in charging services based on the
6 needs mutually defined and measured at the
7 avoided cost of charging.

8 Similar to the avoided costs of
9 generation, the avoided costs of charging would
10 be the cost a utility would incur if it had to
11 build or purchase charging infrastructure itself
12 but for the existence of charging infrastructure
13 from an alternative EV services provider. In
14 this case, EVSP would be qualified to be capable
15 of delivering sufficient power safely and
16 efficiently and in compliance with
17 interoperability standards. On the next slide,
18 I'll provide a formula to calculate the avoided
19 costs charging to address the market analytical
20 challenges we face today across agencies.

21 Inspired by Policy Utilities Code section
22 740.12, Part B, the avoided cost of charging in
23 its most basic form is the ratio of investment
24 needed to enable a given capability for charging
25 in dollars per kilowatt hours. Fortunately,

1 minimizing costs and maximizing benefits
2 intuitively results in a value that's aligned
3 with the utilities goals, first, to reduce
4 societal costs of providing reliable electricity
5 services.

6 This challenge and -- this is a challenge
7 and an opportunity for electric vehicles because
8 there are several ways to invest in charging, on
9 the left-hand side of this graph, use it, in the
10 middle, and result I a certain level of emissions
11 reductions on the right-hand side of the graph.
12 For example, assumptions around cost and benefits
13 may be the subject of debates about use cases,
14 longitudinal data might not exist, or this might
15 be confidential.

16 The three factors used to drive the
17 avoided costs of charging were chosen because
18 they can resiliently balance the tension between
19 flexibility and accountability because companies'
20 requests for public dollars, their power
21 installed, and the hours that they are used are
22 straight forward and can be documented today, but
23 also as the market evolves to new targets,
24 technologies and customers, and these can be
25 instantly tracked to ensure accountability for

1 ratepayers perceptions. And for utilization, the
2 factor could be measured with a blend of hours
3 projected, measured -- blend of measured hours or
4 projected hours to allow for flexibility and to
5 ensure that new technologies can come into the
6 market quickly.

7 Measuring the avoided costs across
8 different vehicle use cases can provide a fair
9 assessment of the range of charging approaches,
10 whether it be financing strategies or the way to
11 mitigate grid impacts when the range of -- being
12 able (indiscernible) and the users. And so
13 unifying our cost-benefit analysis around a
14 metric is critical to avoid discriminating
15 against technology providers' desires to
16 investment in technologies so that there are
17 future proofs to accrue benefits as segments of
18 new EV customers become viable and markets open
19 to provide vehicle-grid integration services.

20 And so in this way the avoided cost
21 charging enables program administrators to
22 economize among utility and independent
23 alternatives, but it also ensures that our
24 efforts to create a level playing field for
25 competition is elevated based on the

1 implementation of technical standards that
2 protect customers.

3 On my next slide, I will wrap up.
4 Panelists won't need to respond directly to this
5 concept in detail, as it was just docketed and
6 published earlier today, but it is intended to
7 offer some things to think about during our
8 panels. For example, in Carrie's panel upcoming,
9 we could think about whether using a common
10 metric, like the avoided cost of charging, can
11 help provide the clarity for investors in both TE
12 and VGI solutions? We can also think about
13 whether the avoided cost of charging as its
14 designed could balance accountability and
15 flexibility?

16 For Tim's panel, we could think about how
17 investment -- having metric of investment per
18 capabilities is brought into the EVSP's design of
19 their technologies and services and how TERPA
20 could create new financing mechanisms for EV
21 infrastructure?

22 And so to conclude, we'd like to solicit
23 feedback from stakeholders to assist in further
24 developments of this concept for consideration
25 during our efforts in pursuit of grid integrated

1 charging.

2 The appendix of this deck explains the
3 process for analyzing different solutions, costs
4 of charging, planning for insufficient --
5 planning for sufficient infrastructure for
6 attainment and decarbonization, the principles to
7 compare different alternatives, and ways to
8 budget for sufficient charging infrastructure.

9 On my last slide, I provide additional
10 resources about this topic and my contact
11 information for questions and comments.

12 Thank you for listening and I look
13 forward to your feedback.

14 MS. RAITT: Commissioners, did you have
15 any -- this is Heather Raitt -- did you have any
16 questions for Noel before we move into the panel?

17 COMMISSIONER RECHTSCHAFFEN: Well, I have
18 a question.

19 Noel, are the other panels going to
20 comment on your concept generally or just use it
21 as a touchstone for other ideas?

22 MR. CRISTOSTOMO: It is something I've
23 introduced during prior CPUC workshops around SB
24 350 TE metrics and the test metrics. Panelists
25 don't need to talk about it in detail but, if you

1 have thoughts, I'm happy to take one of them
2 quickly.

3 COMMISSIONER RECHTSCHAFFEN: Okay. Well,
4 I have two thoughts. One is if you really are
5 just -- I think this really reflects a secret
6 desire to come back to the PUC. Because if you
7 want to resuscitate PURPA, expand it to other
8 context, your home's at the PUC, not at the CEC.
9 I'm just saying, just saying.

10 Commissioner Monahan, the more serious
11 question I have is rather than go through avoided
12 costs of product, why not do something more
13 direct, like have a reverse auction or some other
14 requests for proposals where utilities or some
15 other third-party entity just seeks the lowest
16 cost charging infrastructure from whoever bids
17 into the process? Wouldn't that be more direct?

18 MR. CRISTOSTOMO: Yeah. If you go to one
19 of the following slides in the appendix, I
20 actually lay out the economic principles in which
21 a reverse auction or an RFP could seek out the
22 lowest cost charging solutions. And so reverse
23 auctions for up-rated cost metrics could be
24 utilized to determine -- yes, exactly, this
25 slide -- the various willingness to pay of

1 implementing a sufficient level of charging
2 infrastructure to meet an environmental
3 constraint.

4 COMMISSIONER RECHTSCHAFFEN: Okay.

5 Thanks.

6 MS. RAITT: Okay. This is Heather Raitt.

7 COMMISSIONER MONAHAN: Yeah. And I

8 actually --

9 MS. RAITT: Go ahead please.

10 COMMISSIONER MONAHAN: -- well, I don't
11 have a question but I am -- when we get to the
12 panel discussion, I'd be curious to hear what the
13 panelists think of this concept.

14 COMMISSIONER RECHTSCHAFFEN: And I'd also
15 be curious to what the panelists think about this
16 slide in particular because there's simpler -- a
17 simpler idea of reverse auction mechanisms that
18 don't have to fit within a larger framework of
19 TERPA or, you know, the PURPA ecosystem.

20 Thanks.

21 MR. CRISTOSTOMO: Thank you.

22 MS. RAITT: Okay. I think that's a great
23 transition. This is Heather Raitt again.

24 To move on to our panel on the Investment
25 Prospects for Scaling VGI. And our Moderator is

1 Carrie Sisto from the CPUC.

2 Thank you, Carrie. (Clears throat.)

3 Excuse me.

4 And Jonathan Bobadilla from the Energy
5 Commission will help moderate Q&A from attendees.

6 So take it away, Carrie. Thank you.

7 MS. SISTO: Thanks, Heather and Noel, for
8 kind of setting the stage on a lot of the
9 important issues we're grappling with as we try
10 to identify the least cost strategy for achieving
11 our statement goals.

12 As Heather mentioned, I'm Carrie Sisto.
13 I'm an Analyst at the CPUC. Hi again. I spoke
14 in depth earlier this morning. And I have the
15 privilege of moderating the initial panel of
16 experts this afternoon. They all have a lot of
17 experience and knowledge to share with us about
18 their efforts to both implement and, also,
19 attempt to scale different types of vehicle-grid
20 interesting strategies. So each panelist will
21 have about five minutes to introduce themselves
22 and their organization and how it connects to our
23 VGI discussion today. And then I'll turn to the
24 Commissioners to ask questions once those intros
25 are done. And then we'll have a moderated panel

1 discussion and some questions from the audience.

2 So those of you who are attendees,
3 please, be sure to provide us your questions in
4 the Q&A box that Heather described.

5 We're going to start this panel hearing
6 from Simon Lonsdale, who is the Cofounder and
7 Head of Sales and Strategy for AMPLY Power.
8 AMPLY provides turnkey charging as a service and
9 energy as a service for electric vehicle fleets.
10 And Simon previously worked at ChargePoint as
11 their Chief Strategy Officer and Head of Business
12 Development, and was also previously a board
13 member at a nonprofit called ROEV, R-O-E-V -- I
14 am not familiar with that but happy to learn more
15 about it after the panel -- which was an early
16 effort to simplify EV charging in the public for
17 drivers by allowing a no-cost roaming between
18 charging networks.

19 So I'll turn it over to you, Simon.

20 MR. LONSDALE: Thank you, Carrie.

21 Good afternoon, Commissioners and
22 audience. Thank you for inviting me onto this
23 workshop and from being able to participate. I'm
24 very pleased to be here on behalf of AMPLY.

25 As Carrie said, I've been in the space of

1 electric vehicle charging for almost a decade.
2 And we set up AMPLY about two years ago because
3 we recognized the need for fleets requiring help
4 to electrify. A fleet is there to deliver people
5 if it's buses, school buses, transit buses, if
6 they're to deliver goods, if it's trucks and
7 vans, we also work with fleets of cars as well,
8 but their job is to make those deliveries. And
9 as they look to electrify, their fleet starts to
10 transition from being diesel or other alternative
11 fuels towards electricity. And they're hit
12 suddenly with the complexity of electricity as a
13 fuel, compared to the relatively well understood
14 method of purchasing gallons of gas, gallons of
15 diesel.

16 So AMPLY stepped into, in the sense that
17 noel was using, to be an EVSP for these fleet
18 operators and provide a wrapped up turnkey
19 solution for their electric vehicle charging.
20 That can include the financing and the equipment
21 that's needed for electric vehicle charging,
22 whether it's overnight charging applications or
23 whether it's rapid charging applications of a
24 fleet.

25 We can also finance that and amortize it

1 over the term of the useful life of the charging
2 equipment. We also minimize the energy costs and
3 will take on that energy risk that comes of being
4 able to charge the vehicles and the complexity of
5 time of use, demand charges and other demand
6 programs that can help reduce the cost.

7 And then we also work with the fleet on
8 the level of resilience that's necessary during
9 their operations to cope with the changing
10 environments and to cope with the mission-
11 critical nature of these fleets.

12 In a way at AMPLY, if you think of it in
13 a simple way, we try to make this look like a
14 solar PPA. We're trying to bring scale and
15 reliability and predictability to the space of
16 fleet EV charging, really in the same way that
17 solar PPA brought that cost to the renewable
18 energy space. And then we look at aggregating
19 our customers to really help them dig into these
20 VGI programs that are starting to be seen.

21 So if we go on to the next slide, for the
22 purpose of today, I wanted to give a really
23 specific example, one of our customers, and the
24 VGI savings that are possible.

25 In a very simple scenario, this customer,

1 Tri Delta Transit, an East Bay transit agency,
2 they started down the path of electrification
3 with four of their buses now being electric, a
4 mix of BYD and Proterra, out of about 60 buses
5 that they hope to electrify over the next 10 to
6 20 years.

7 This simple scenario, before AMPLY came
8 in and provided this VGI environment for them,
9 they were running their four charges every night
10 when the vehicles got back and were plugged in.
11 And they were seeing two charges at 50 kilowatts
12 and two charges at 80 kilowatts for a total for
13 260 kilowatts. That's what the graph along the
14 bottom shows.

15 Once AMPLY stepped in we were able to do
16 a couple of things. One is use software and
17 connectivity to the chargers to delay the
18 charging to the cheapest time of use rate. And,
19 number two, to spread out that load so that it
20 reduced the demand charge that's on this load.
21 It's PG&E power in this area. We were able to,
22 through this method, reduce their bill by about
23 40 percent. Plus, we were able to aggregate and
24 take on and provide them with revenues from the
25 Carbon Program from LCFS for about another 35

1 percent savings. This took their energy costs
2 for these electric buses from about just over
3 \$0.40 a kilowatt hour down to right around \$0.10
4 a kilowatt hour, very concrete savings, very well
5 delivered, and just the start, the tip of the
6 iceberg, of what we can all do with VGI and with
7 programs that we can enable through this.

8 Next slide please.

9 So I just wanted to wrap up. I'm very
10 pleased to be on this panel. We believe at AMPLY
11 that VGI is a very important part of being able
12 to make private and public partnerships, and also
13 private financing, work for large-scale
14 electrification of these fleets. And we stand
15 here as an EVSP that is out there doing this, has
16 customers, is operational, and is delivering this
17 charging as a service to fleets.

18 So thank you very much and I look forward
19 to the rest of the discussion.

20 Carrie? Carrie, I think you're muted.

21 MS. SISTO: Sorry about that. Thank you,
22 Simon.

23 Next we'll be hearing from Ed Burgess,
24 who is a Senior Director at Strategen Consulting
25 where he has worked for five years now as a

1 technical consultant, as well as an expert
2 witness in regulatory and policy forums related
3 to clean energy and distributed resources in
4 2060. In his current role, he operates as the
5 Policy Director for the Vehicle-Grid Integration
6 Council, which he's representing today. It's a
7 501(c)(3) organization that he helped launch this
8 year.

9 So over to you, Ed.

10 MR. BURGESS: Thanks Carrie. Can you
11 hear me okay? Great.

12 Thank you, Commissioners and Commission
13 Staff, for the opportunity to participate today.
14 My name is Ed Burgess. I'm the Policy Director
15 at Vehicle-Grid Integration Council, or VGIC.
16 We're a 501(c)(6) trade association launched in
17 January of this year.

18 Our mission is to support the transition
19 to a decarbonized transportation and electric
20 sector by ensuring the value of EV deployment and
21 flexible EV charging and discharging is
22 recognized and compensated in support of
23 achieving a more reliable, affordable and
24 efficient electric grid. Our members include
25 vehicle OEMs and EVSE companies, such as Honda,

1 EnelX, Ford, Toyota, Fiat Chrysler, and Connect
2 California. And we work closely with several
3 other supporting companies, including General
4 Motors, Nuvve, Nissan.

5 And if you can, please, just go to the
6 next slide?

7 I wanted to begin with a few thoughts on
8 why we think it is critical for California to be
9 scaling VGI now. To that end, you know, we've
10 identified five policy goals that we believe VGI
11 can play a major role in, in helping California
12 to achieve.

13 One is decarbonizing the transportation
14 sector by accelerating EV adoption. VGI can
15 reduce the total costs of EV ownership through
16 lower charging costs and new revenue streams,
17 unlocking new customer value propositions and
18 business models and improving the utilization of
19 public charging infrastructure so those
20 investment dollars can stretch further.

21 It also supports decarbonization of the
22 power sector by providing essential grid
23 reliability services as renewable resource
24 penetration increases.

25 VGI can also increase affordability for

1 all electricity customers by reducing their bills
2 through the provision of low-cost grid services
3 that, ultimately, limit the overall cost to
4 operate the power system. Also by accelerating
5 EV adoption, it increases electricity sales which
6 help to put downward pressure on rates, even for
7 non-EV owners.

8 VGI can also improve grid resiliency and
9 security by offering a form of backup power,
10 including during wildfire risk events.

11 And, finally, VGI can foster economic
12 activity. There's already a broad ecosystem of
13 companies participating in California. And we
14 think that this leverages California's strengths
15 in the high-tech industry to advance clean
16 energy.

17 Let's go to the next slide please.

18 So I first want to -- I want to talk a
19 little bit about what we see as some of the
20 economic barriers to scaling VGI. And to start,
21 I'll just mention that the compensation for the
22 full potential of VGI services, we recognize, is
23 not currently being realized. But there's a
24 whole suite of options that are being discussed
25 actively through forums, like the VGI Working

1 Group which you've been participating in on how
2 to change this picture. And so I won't go
3 through all the list of things that we have on
4 the slide here.

5 But, just to give you an idea, there's a
6 few different categories of things that we think
7 could help. One is rate options. Providing more
8 dynamic rate options to customers will help to
9 scale VGI.

10 You know, we can make improvements to the
11 existing TOU rate, so we can offer even more
12 dynamic rates than that as well.

13 We can think about utility programs,
14 including competitive solicitations for things
15 like demand response. We can think about public
16 funding programs.

17 I mentioned, you know, backup power and
18 resiliency use cases could be a good use of
19 public funding support.

20 And then, finally, we think there's a
21 role for incentives to encourage participation
22 and market transformation. And that could also
23 include set-asides for other goals, such as
24 equity and resiliency as well.

25 Next slide please. This is my final

1 slide.

2 One thing I also just wanted to point out
3 is that there's a threshold barrier that we see
4 in terms of scaling up VGI, in particular for
5 enabling V2G, and that's around interconnection.
6 While there are today some options for DC-V2G
7 capabilities that could be improved upon, there's
8 currently no viable pathway from an OEM
9 perspective for AC-V2G interconnection. This
10 lack of certainty around interconnection pathways
11 is something that the PUC, we think, should take
12 action on to address now. And, you know,
13 California, in many respects, is lagging behind
14 some of our global competitors in really
15 encouraging this. So we really encourage you to
16 consider taking action to resolve this issue.

17 VGIC has laid out some of the pathways we
18 think could work for doing this as part of the
19 V2G-AC subgroup that we worked on earlier this
20 year. But we really do encourage Utilities and
21 Commission to think about the role they play in
22 unlocking this potential and keeping the costs
23 low in terms of what it takes to implement VGI
24 technology.

25 And I think that brings me to the final

1 slide. And I'll be happy to take questions and
2 join in this discussion.

3 MS. SISTO: Thanks Ed. I think this last
4 slide, and one of the points you already made, is
5 something we're really hoping to focus on during
6 this panel. It's how do we make sure that VGI
7 service -- the value of VGI service is returned
8 back to the entity that's providing that service
9 and, also, figuring out good paths forward on
10 interconnection and scaling. VGI is an important
11 first step and I think we'll have some good
12 discussion about that at the end of our -- once
13 we get to that portion of the panel.

14 For now, I want to turn to Michael Cano,
15 who is the Deputy Executive Officer for Goods
16 Movement Planning and State Policy and
17 Programming for L.A. -- Los Angeles County
18 Metro's Countywide Planning Department. So he
19 leads Metro's development of the Los Angeles
20 County Goods Movement Strategic Plan which is
21 multi-modal corridor planning. He also oversees
22 grant applications for state and freight-related
23 programs, project development and multi-modal
24 integration.

25 Michael created LA Metro's Regional Clean

1 Truck Initiative and Freight Working Group which
2 brings together key stakeholders from state,
3 local and private entities directly involved with
4 goods movement in Los Angeles County. And he
5 also serves as Metro's representative on the
6 California Freight Advisory Committee.

7 So, welcome, Michael, and please go ahead
8 with your presentation.

9 MR. CANO: Well, thank you very much.
10 And it is a pleasure to be here and to be able to
11 be part of this conversation with everyone.

12 Metro, as you know, has been very
13 aggressive on the transit side in terms of
14 setting some very strong marks and deadlines for
15 transitioning their fleet of CNG buses to
16 electric. We operate over 2,000 buses, of
17 course, and the goal our board has set is to
18 electrify by 2030. And, of course, we're
19 monitoring that ability to deliver, you know,
20 obviously, given the recent issues with COVID-19
21 sales tax implications, et cetera.

22 Metro also is looking at transitioning
23 certain parts of the system first, focusing on
24 the BRTs, the fixed guideways for bus service.
25 We have two that we operate on. One is the

1 Orange Line in the San Fernando Valley where we
2 already are putting in charging stations to
3 electrify that line kind of as our first full
4 step in integrating charging technology and
5 fleets into our day-to-day operations. For
6 buses, we are looking, also, at the Silver Line
7 pretty soon in the future which operates on the
8 hot lanes, the toll lanes on the 110 and the 10
9 Freeway while running through downtown as well.

10 What I'm here to talk to you today about
11 is the goods movement sector. And this is
12 actually where Metro, as the regional
13 transportation agency for L.A. County, sees the
14 opportunity to really have, you know, the
15 discussion about electrification and bringing in
16 electrification of the grid, not just for transit
17 vehicles, but breaking through silo and looking
18 at trucks, and looking at other kinds of
19 applications for commuter usage as well.

20 I've been tapped to do lead the 710 Clean
21 Truck Program and I do appreciate the
22 participation from both of your organizations.
23 And, you know, when we formed a committee, we
24 brought forth stakeholders from the trucking
25 industry, from equity groups, community groups,

1 the ports, manufacturers of the various trucks
2 and engines, and trying to have the discussion,
3 well, how do we implement the 710 Project's goal
4 of 4,000 near-zero and zero-emission trucks by
5 the year 2035?

6 This was a programmatic element
7 incorporated into our 710 Project that was added
8 in there through a lot of community engagement
9 and desire to see our project go beyond just a
10 normal highway project to one that includes
11 community-based programs, as well as the
12 electrification aspect by bringing in zero-
13 emission trucks into the future of the 710
14 operations, which are very heavily freight
15 related and have tremendous impacts on equity
16 communities through air quality and other kinds
17 of impacts.

18 So when we've convened this discussion,
19 we realized very quickly that the presence of
20 infrastructure to support electric technology is
21 probably the most pressing thing that we can do
22 as a public agency in terms of investment and
23 where we need support from the state on down in
24 terms of providing not just funding but also some
25 vision in terms of how do we put in the kinds of

1 charging equipment needed on public
2 infrastructure to complement what's happening
3 throughout the region?

4 You know, we know there's a lot of
5 discussion about the maturity and scalability of
6 electric trucks about when they're going to be
7 going online in large amounts for us to be able
8 to have many purchases. We know CARB is putting
9 forth additional requirements on the percentage
10 of fleet that has to be sold as electric.

11 But I think the main thing we're hearing
12 is that even if there were electric vehicles that
13 were available today to be used, there are a lot
14 of fleet owners and a lot of small business
15 owners, especially, in the trucking industry that
16 would not use those trucks. And as we're trying
17 to understand that, you know, we have to realize
18 that we're having a voluntary transition from
19 diesel to zero-emission as fast as possible, well
20 above and beyond whatever CARB mandates. So
21 there has to be a sense of, well, what we've
22 heard is reliability of this system. And we've
23 asked the question, you know, where can we
24 participate as a public agency? Because we're
25 not going to get involved, at least from Metro's

1 perspective, in terms of putting the slow
2 charging facilities at the places where the
3 trucks are stored overnight, or even getting
4 involved with facilities, like the ports of
5 different warehouses, where you might have an
6 opportunity to charge.

7 So we're hearing that fast charging
8 technology and the ability to deliver reliable
9 charging for opportunity charging and for,
10 basically, providing the sense that, you know,
11 your electric truck will not have any issues in
12 terms of having power. It's probably the most
13 important thing we can do. And with the lead
14 time necessary to do it means that we have to be
15 thinking now in terms of integrating. So if
16 we're talking about scaling and bringing forth
17 this kind of technology into the public
18 infrastructure, potentially Caltrans right-of-
19 ways that have a tremendous amount of truck use,
20 the time is ripe.

21 But for now, we want to understand and
22 work with you on how we can put forth
23 applications and develop projects that
24 incorporate this technology so that we send that
25 signal that, you know, by the time electric

1 trucks are coming online, let's say seven to
2 eight years, in massive scale, that our
3 facilities will be able to accommodate them and
4 be able to support their use.

5 So I'll stop there but I'm very
6 interested in this conversation and very much
7 appreciate hearing the wisdom of both the
8 panelists and the Board Members, so thank you.

9 MS. SISTO: Thanks Michael. I think that
10 those last couple of points you made really
11 highlight and amplify some of the things that
12 Simon was mentioning about the need for specific
13 types of fleet operators potentially needing more
14 of a bit of a hand-holding effort in terms of
15 transitioning on a voluntary basis. So I think
16 that's something we can touch on more as we move
17 to the discussion.

18 Next we're going to hear from Taylor
19 Marvin, who works on the Clean Transportation
20 Team at San Diego Gas and Electric Company. He
21 has a master's degree from the UC San Diego
22 School of Global Policy and Strategy. And he's
23 been very engaged in the VGI Working Group. And
24 he's also been working very hard with San Diego
25 to expand the ratepayer-funded infrastructure in

1 their service territory.

2 MR. MARVIN: Hi everybody.

3 Thanks for that introduction, Carrie.

4 So for anyone who doesn't know, SDG&E is
5 an electric and gas utility in the San Diego
6 region that serves about three-and-a-half-million
7 people. And at SDG&E, we are really interested
8 in VGI for its potential to provide customer,
9 grid, and environmental benefits, along with
10 transportation electrification and, in
11 particular, provide benefits to all ratepayers.
12 Accordingly, we've pioneered some exciting VGI
13 applications in our transportation
14 electrification programs.

15 Some of you might be aware of the Power
16 Your Drive Program. That is a program that
17 closed construction last year and installed about
18 3,000 Level 2 charging ports at multi-unit
19 dwellings and workplaces. And that program was
20 actually quite successful at reaching multi-unit
21 dwellings with about 40 percent of the sites in
22 that program at apartment buildings and other
23 dwellings like that.

24 The Power Your Drive Program, all of
25 those chargers used are VGI rate which is a

1 dynamic rate that incorporates the day-ahead
2 CAISO commodity price, as well as system and
3 circuit dynamic adders. We've deployed that rate
4 widely to all of the chargers in that program and
5 it's been pretty successful at increasing the
6 uptake of renewables and avoiding charging during
7 peak times when the grid is strained. Customers
8 are able to set the maximum price that they want
9 to charge an application participating in the
10 program and that can avoid charging their
11 vehicles when prices go up due to those system,
12 grid or commodity constraints.

13 We're also in the process of implementing
14 a new Vehicle-to-Grid Pilot. This was recently
15 approved by the California Public Utilities
16 Commission, along with our Medium- and Heavy-Duty
17 EV Infrastructure Program. And through this
18 pilot, we are going to test the vehicle-to-grid
19 applications for a fleet of electric school buses
20 at local school district. And through this
21 pilot, we'll be able to explore different ways to
22 balance providing services to the customer, like
23 offsetting demand charges and bidding into demand
24 response markets, while also making sure that
25 these vehicles are being able to be used for

1 their primary purpose which is, of course, as
2 school buses delivering kids to and from school.

3 SDG&E is really excited to continue
4 exploring these opportunities and believe that,
5 overall, VGI is a very important means of
6 accelerating the transition to clean
7 transportation and providing benefits to all of
8 our customers.

9 MS. SISTO: Okay. Thanks Taylor. That's
10 helpful background on your programs and how SDG&E
11 is working to already advance some of the VGI
12 aspects and working to improve on what it's
13 already offered in its existing programs, so we
14 appreciate that.

15 MR. MARVIN: Oh. Thank you.

16 MS. SISTO: Our final panelist is Phillip
17 Kobernick, who is developing new transportation
18 electrification programs for Peninsula Clean
19 Energy, which is a CCA, a community choice
20 aggregator, in San Mateo County. Prior to PCE,
21 Phillip was the Fleet Manager for Alameda County,
22 which included at that -- during that job, he
23 oversaw the installation of more than 150 EV
24 charging stations and put in nearly 100 new
25 electric vehicles into municipal operations

1 throughout Alameda County.

2 So over to you, Phillip.

3 MR. KOBERNICK: Great. Thanks Carrie.

4 So I might be switching between hats a little bit
5 today, speaking a little bit of a former fleet
6 manager putting EVs into government operations,
7 and now developing EV programs for Peninsula
8 Clean Energy. So I'll start today with a really
9 quick background for folks unfamiliar with
10 Peninsula Clean Energy.

11 As Carrie mentioned, we're San Mateo
12 County's Community Choice Energy Program serving
13 residential and commercial accounts in San Mateo
14 County. And we're very proud to be 95 percent
15 GHG-free and very quickly on the way to being 100
16 percent GHG-free.

17 Because we're a public agency, we use our
18 funds to invest in community programs. And so
19 that includes a \$16 million investment in EV
20 infrastructure over the next four years, from
21 pilot testing on Level 1 solution strategies and,
22 of course, working with our local jurisdiction,
23 our cities and county, on REACH Code adoption.

24 So the reason that PCE is pursuing
25 vehicle-grid integration in our programs, the

1 context was really in support of our goal of
2 being time coincident with our renewable energy
3 on a 24/7 basis by 2025. So our goal is to be
4 100 percent renewable for every hour of the day
5 within five years. And so we know that that's
6 going to involve employing multiple different
7 types of strategies to align renewable energy
8 supply with our customers' demand. And so when
9 it comes to electric vehicles, we know that
10 that's going to have to evolve some incentives
11 and ways to encourage our customers to do load
12 shifting.

13 And so the way that we are starting on
14 this journey with EVs and VGI is in the
15 residential charging area. We have about
16 250,000-ish residential customers and so we're
17 starting with home charging, residential-based
18 charging. And the way we're doing this is by
19 testing some active managed charging systems.
20 And that's done through the electric vehicle
21 instead of the EVSE or home-based charger, as
22 some other CCAs are doing. And the mechanism of
23 that is through the electric vehicles onboard
24 vehicle telematics.

25 And a major reason why we are pursuing

1 this strategy is that we suspected that most
2 drivers in our territory, as well as, I'm sure,
3 many other territories are charging by just
4 plugging in their cars to a regular 110 volt
5 outlet. Nothing smart about that and -- sorry,
6 nothing VGI smart about that. We do think it's a
7 smart strategy because it's a really low cost,
8 low barrier way to plugging in your EV. And that
9 assumption has been verified with some of our
10 data, that a lot of drivers are doing this. So
11 that's why we decided to pursue a VGI pathway
12 that relied on the intelligence within an EV
13 instead of a network charging system.

14 And there's a lot of value and different
15 costs associated with this kind of strategy that
16 we're pursuing. Shifting charging your car off
17 peak certainly has a research adequacy
18 implication for us. But, really, the main goal
19 here, again, is to build a foundation for one of
20 which will be several strategies to better align
21 our demand with our renewable energy supplies. I
22 really do kind of want to reiterate to that.

23 And then, also, the thinking behind going
24 with an EV- versus EVSE-based strategy is that,
25 in theory, we think this is a more scalable

1 approach, especially given that about 40 percent
2 of our customers live at MUDs. And so if there
3 were long-goal solutions that gave an opportunity
4 for managed charging that are connected to -- you
5 know, plugged into a wall or connected to a meter
6 that's not their house meter going go the car
7 allows for more of that. And I can get you more
8 on that later too.

9 So shifting gears to a little bit of the
10 tech barriers as I wrap up here. Some of the
11 other panelists spoke a lot about what are great
12 solutions that are out there in terms of looking
13 at managed energy and kind of enterprise-level
14 managed energy. All that's really, really
15 important for us.

16 One solution that we think would be --
17 we'd love to see more attention on is ways for
18 customers to better share their data with their
19 LSEs; right? So the data that's inherent in
20 their electric vehicles is their data, and right
21 now we're pursuing strategies to go get that
22 data, but there's certainly opportunity for more
23 to be done there to make it easier for customers
24 to share their charging data so the LSEs can
25 utilize that and then kind of figure out how to

1 do -- you know, what we can do with that.

2 And I think where we're going in our
3 program, to wrap up here, is we're exploring lots
4 of different ways that this can scale to the EV
5 drivers in our territory. And there are a lot of
6 different rate options that we're also pursuing.
7 You know, what can we be doing to further
8 incentivize drivers to opt into our managed
9 charging program beyond just the TOU rate? And
10 so that could be dynamic rates, it could be bill
11 credits for performance, lots of different
12 strategies that we're pursuing as we do down
13 that.

14 And I'll wrap up there. Thank you.

15 MS. SISTO: Thanks Phillip.

16 And thanks to all the panelists for your
17 introductions. That was really illuminating for
18 me and, I'm sure, everyone else.

19 I guess I would turn now to the
20 Commissioners to see if they have any specific
21 questions to the different panelists before we
22 move to a more moderated discussion?

23 COMMISSIONER MONAHAN: I do have a
24 question. And this may be a tough one for many
25 of the panelists, but I kind of come back to the

1 issue of rates at the beginning, which is how do
2 we create a charging market that is self-
3 sustaining and that is sufficient to meet our
4 charging needs? And will we always need public
5 money? I think, you know, maybe there's an
6 argument that we will always utility money at
7 some, where there can be a demonstrated benefit
8 to all electricity users. But in general, as to
9 the state as we think through, how do we scale?
10 How do we reach our goals and how do we scale?
11 Is this always going to require some level of
12 public investment?

13 I'm just curious what your thinking is in
14 terms of, you know, can we do it all through
15 rates? If we had a big enough EV market, would
16 that be -- or what would you give, like what
17 advice would you give us, to the public agencies?
18 What would you say? Like, hey, this is what you
19 need to do, you know, this is what you need to do
20 to set off this private investment that will lead
21 to a self-sustaining market?

22 MR. KOBERNICK: I'll take the opportunity
23 to jump in there. And I'm, certainly, very eager
24 to hear from my fellow panelists.

25 I would say from our perspective at

1 Peninsula Clean Energy, we are very much looking
2 to figure out ways to reduce cost for EV
3 installations. And our effort around that right
4 now is focusing on Level 1 solutions for MUDs.
5 So we, eventually, don't have to have massive
6 investments in these types of programs and
7 projects. You know, what are some ways that we
8 can really reduce the cost, you know, to maybe
9 the \$50.00 smart port that can
10 be -- or a smart outlet that can be installed in
11 a really cost efficient way for MUDs. You don't
12 need a lot of massive investment to do something
13 like that. So that's a big focus that we're
14 looking at right now.

15 MR. LONSDALE: This is Simon Lonsdale
16 with AMPLY.

17 I would say to your -- the question that
18 if you look to the future, as we see it, is there
19 should not be need because the scale in the
20 space we're at, which is often heavier-duty
21 vehicles, we're already seeing this in the
22 electric bus phase where there are transit
23 agencies looking at 40 to 100 buses. And at that
24 scale, you get into the ability to put in solar
25 and battery storage to cost optimize and bring

1 down the price. And you start to reach a scale
2 of those renewables where the cost is less than
3 grid power. And it could be onsite or it could
4 be near site for that.

5 So if I look ahead and I look at those
6 areas, and especially in the larger transit
7 spaces, and then coming in the other medium- and
8 heavy-duty fleet space, I do see an ability that
9 the infrastructure will be very cost competitive.
10 The infrastructure will not add significantly.

11 I think in the near term, as we're
12 scaling up, there is a need for helping with that
13 upfront infrastructure cost to get people over
14 the hurdle because they are trying out new
15 technology and a new charging-fueling paradigm at
16 the same time.

17 But I think that I echo Phillips point
18 about ideas to standardize and commoditize.
19 Infrastructure, we look at that on the large
20 scale, as well, about how to start to show
21 agencies a standard pattern for putting in
22 charging infrastructure with a known cost to help
23 to drive standardization through the construction
24 piece of this business. But in the near term, I
25 think that the help that's being provided, both

1 with the Carbon Credit Program, and then with
2 some grants on early pilot programs is really
3 beneficial.

4 Thank you.

5 COMMISSIONER RECHTSCHAFFEN: Simon,
6 you -- I don't know if others wanted to respond
7 to Commissioner Monahan's question before I
8 follow up with Simon?

9 MR. CANO: Well, I just wanted to add an
10 item in there that, you know, I think from our
11 perspective with the clean truck element, as
12 well, I think we're looking for some real tent-
13 pole investments with the ports and along the 710
14 and just to provide that kind of upfront signal.
15 I mean, obviously, we have a lot more work to do
16 than agencies that are already transitioning, bus
17 fleets, for example, and divisions to accommodate
18 electric buses.

19 I think the difference of us owning the
20 fleet, I'm not sure on the transit side versus
21 trying to support the adoption of fleets by
22 private owners in the county for the truck side
23 of the equation, are two different strategies
24 completely. And I think that's where I think
25 we're going to need quite a bit of investment and

1 support in terms of priority projects going in
2 first than then spark some more of the private
3 investment to come in and seeing that there's a
4 larger public investment starting off the
5 discussion.

6 MR. BURGESS: This is Ed Burgess with
7 VGIC.

8 I just wanted to say, you know, I think
9 we're, at least as far as the VGI industry goes,
10 which I'll distinguish from the sort of larger
11 market for EV charging equipment and
12 infrastructure, you know, we're still sort of in
13 the early days in terms of the market
14 transformation. So our sense is that, you know,
15 it probably makes at least some sense to have
16 some support, whether that's from public dollars,
17 you know, or not just to, you know, aid in sort
18 of the development of this new and growing sort
19 of technologies and practices that we call VGI.

20 But, ultimately, we think a lot of those
21 incremental technologies are pretty cost
22 efficient and will be able to provide a lot of
23 value to all customers and, you know, perhaps
24 ultimately can be transitioned into more of a
25 ratepayer-funded scheme, whether that's the rates

1 of the utility programs or other ways to not
2 necessarily rely on public dollars but to rely on
3 ratepayer funding, you know, through cost
4 effective deployment of VGI technologies.

5 So that, you know, like I said, we're
6 still in early days and, you know, there's
7 probably a role. And maybe for certain types of
8 use cases that really are sort of more public in
9 nature, you know, we think about the resiliency
10 in that bucket, and also other types of use
11 cases.

12 So I'm happy to, you know, talk more
13 about our thoughts on this but, you know, I think
14 that we see sort of a transition pathway to
15 really establish the VGI industry as a whole.

16 COMMISSIONER MONAHAN: Cliff, you want to
17 ask your question?

18 COMMISSIONER RECHTSCHAFFEN: Well, some
19 of it has been answered by these remarks, so
20 thank you to everybody.

21 Ed, what did you -- you were, at the very
22 end of your remarks, you were saying if there's
23 one thing you want regulatory agencies to do, is
24 it to simplify the Rule 21 interconnection? I
25 just want to make sure I understand what you were

1 urging us to do.

2 MR. BURGESS: Yeah. One of the issues
3 that our members have prioritized and is really,
4 like I said, sort of a threshold issue in terms
5 of allowing for V2G capabilities is to address
6 the interconnection barriers. And that's really
7 in the domain of the PUC right now is Rule 21.
8 And, you know, there are some significant
9 barriers in terms of how the certification
10 process works for distributed resources and, you
11 know, not really having a viable pathway under
12 the existing rules that, you know, require
13 certain third-party certification processes. And
14 that's just a different process than what the,
15 you know, the manufacturers typically go through
16 and isn't really viable for them.

17 So we've put forward some, you know,
18 possible alternative pathways through our
19 discussions in the V2G Subgroup that went on late
20 last year, early this year. And so that would
21 be, you know, sort of our recommendation, is to
22 take a close look at that and encourage the PUC
23 to act on some of those recommendations.

24 COMMISSIONER RECHTSCHAFFEN: I think you
25 heard Carrie, who's moderating, explain that's

1 already on our radar at the PUC. I'm sure we're
2 not moving fast enough and decisively enough for
3 many participants but it is on the radar. And I
4 don't know if Carrie can respond beyond that if
5 she wants to?

6 MS. SISTO: Yeah. I think the only thing
7 I would add -- sorry, Commissioner -- the only
8 thing I would add is that we're also waiting on
9 industry because I think a lot of the outcomes of
10 that Working Group that Ed was mentioning was
11 that the utilities want any equipment that's
12 connected to their system to be UL certified,
13 which is justifiable and required by the CPUC.
14 And I'm sure there are other strategies to kind
15 of work around it in the near term for small-
16 scale pilots, potentially, but I think the
17 ultimate goal is to have a standardized, a UL
18 certified type of equipment that can be connected
19 to the utility system for V2G systems moving
20 forward.

21 MR. BURGESS: Right. If I could --

22 COMMISSIONER RECHTSCHAFFEN: Ed?

23 MR. BURGESS: -- just quickly respond to
24 that.

25 COMMISSIONER RECHTSCHAFFEN: Yeah.

1 MR. BURGESS: One -- the challenge, I
2 think, that the others are facing is that, you
3 know, in some of the third-party certifications,
4 like I said, just aren't really viable for the
5 way the manufacturing process works within the
6 other sector. And, you know, there's extensive
7 testing and sort of internal certification
8 processes that go on within the other sector.

9 And so, you know, the preference is, at
10 least from our members, to try to find a way that
11 can be a viable option so that, you know, it
12 wouldn't have to go through this third-party
13 process and sort of, you know, give the --
14 instill some -- the level of comfort that's
15 needed for the utilities to feel like these
16 are -- this equipment is reliable and going to
17 interact in the way that it's supposed to.

18 But, you know, really, you know, it's,
19 again, we sort of laid out a few different
20 options of maybe how that could work to self-
21 certify this equipment and, you know, we really
22 would encourage you to take a look at that.

23 COMMISSIONER MONAHAN: I have a question
24 for Simon.

25 So, Simon, when you were talking about

1 the business case, you mentioned this idea of
2 solar onsite plus storage. Does that mean
3 disconnecting from the grid or do you mean in
4 connection with the grid?

5 MR. LONSDALE: No. No. There's
6 definitely -- so thank you. There's definitely a
7 need for the grid. And I think we always have to
8 step back and remember, there are different
9 applications. And, again, we're focused on
10 fleets, and so I'll leave Phillip and Ed,
11 certainly, to residential and the use cases
12 around that. But in the fleets we're seeing use
13 cases, such as transit buses which are not being
14 used overnight, whereas for Michael, he's got
15 yard hustlers and trucks that are in use almost
16 20 hours a day with just short breaks, so you
17 have to have very varying use cases.

18 In the transit space in particular, like
19 I said, that's an area where we're already
20 operating at some scale. But solar is generated
21 but it's not generated at the same time as the
22 vehicles are charging; right? The solar is out
23 during the day. The vehicles are charging,
24 primarily, at night because they are mostly out
25 working during the day. And trying to put

1 stationary storage to store all of that is just
2 way too much. I mean, if you've got a yard of 50
3 buses, you would need, you know, almost the same
4 size in battery storage. It would be an immense
5 amount of batteries necessary.

6 So there is a need to be able to have a
7 NEM contract to be able to put power back onto
8 the grid to then bring it in overnight during
9 off-peak rates. So it's definitely a
10 collaboration with the utilities that's needed
11 to, A, help get more renewables into the system
12 but, B, also offset the time variance that can be
13 brought about.

14 COMMISSIONER MONAHAN: So it sounds like,
15 from your perspective, it's fair to say that
16 what's going to be really critical is to have a
17 plan where there's an optimization plan for
18 integrating with the grid that would include, I
19 think, some -- you know, this idea of onsite
20 renewable plus storage. This is, I mean, this
21 is -- in a way you need a completely different
22 mindset in terms of fleet manager about what it's
23 going to take to fuel their fleet versus just
24 today's, you know, just put into a refueling
25 station, get the gas or the diesel, and off you

1 go. I mean, it's a completely different mindset.

2 And so --

3 MR. LONSDALE: I think --

4 COMMISSIONER MONAHAN: -- just this --

5 MR. LONSDALE: -- I think that it's not

6 just a mindset but the efficiency that is

7 possible through digitalization of the grid at

8 the edge like this --

9 COMMISSIONER MONAHAN: Um-hmm.

10 MR. LONSDALE: -- really leads to some

11 massive efficiency improvements over today's, you

12 know, fossil fuel. And so we can, you know, in

13 (audio distortion) -- fleets of vehicles without

14 requiring new substations to be built.

15 And so this -- I do agree with you,

16 Commissioner Monahan, that the grid integration

17 is absolutely critical for these amounts of

18 power. Otherwise, you would step in. And, you

19 know, LA Metro was one of the first ones to put a

20 stake in the ground and say, you know, we're

21 going to electrify 2,000 buses, and it caused

22 ripples throughout all the utilities and the

23 districts around how to do that.

24 But, you know, what we're seeing as we're

25 moving into this more steadily now, the 40 to 100

1 vehicle scale and looking for me, is that with
2 grid integration, with some innovation from the
3 utilities, as well, as the utility in L.A. that
4 DWP is now offering some battery through their
5 utility program. And that can be, you know,
6 another way of helping the economics to get into
7 this space.

8 COMMISSIONER RECHTSCHAFFEN: Simon, can I
9 ask you a two-part follow-up question, which is
10 what I take it, since you're customizing so many
11 things about how the fleets operating, maximizing
12 different income streams, the -- for each site
13 the price you charged to each customer will vary
14 based on their particular situation? That's the
15 first question.

16 MR. LONSDALE: That's correct. That is
17 correct. The price varies based on the
18 application they need.

19 COMMISSIONER RECHTSCHAFFEN: Yeah. Okay.
20 All right, I'll pause there. I'll let someone
21 else jump in.

22 MR. KOBERNICK: If I could jump in with a
23 quick comment on -- based on something that
24 Commissioner Monahan said in relation to Simon
25 and AMPLY, it's a mind shift for fleet managers.

1 I really want to echo and emphasize that. You
2 know, fleet managers are pretty used to fuel
3 volatility on a month-to-month basis and a year-
4 to-year basis. When looking at diesel and gas
5 use fuels contracts and things like that, you
6 build in some margins here.

7 When you talk about switching to
8 electricity and you have -- the prices are
9 varying, you know, two or three X throughout a
10 day, and then you have demand charges on top of
11 that, it's a whole new way of looking at fuel
12 management. And from my experience, talking with
13 at least the municipal fleet managers, there are
14 some folks that are way out in front and then
15 everyone else is not there yet.

16 And so having systems that are kind of
17 inherent into how you do VGI are also just the
18 new fuel management system that fleet managers
19 need. You know, they have it for gas and it's
20 being created for EVs now, managing hundreds of
21 the EVs onsite and thinks like that. So I think
22 just inherent in building something that works
23 for VGI just works for how fleet managers, you
24 know, will be thinking about fuel management for
25 electric vehicles.

1 COMMISSIONER RECHTSCHAFFEN: Well, to
2 that -- somewhat related to that point, maybe I
3 could ask to what Phil said, and Simon, I could
4 ask you this question again, you're presenting
5 plans and operational management approaches that
6 save the fleet operators money compared to
7 uncontrolled or unmanaged charging, so they can
8 see a benefit. And you gave that example of the
9 benefit you -- in one of your, you know, one of
10 your first slides.

11 Are you -- are these fleet operators who
12 are already committed to going electric and it's
13 just a matter of optimizing their charging
14 behavior so that it's done in the cheapest way,
15 are you talking with managers who are saying,
16 well, I don't know, I'll do it if it's more -- if
17 it's cheaper to go electric, and then you're
18 coming up with a plan that's shows how it could
19 be cheaper or is that -- are we not there yet
20 with economies of scale and other benefits that
21 you can bring in to show a really cheap charging
22 plan?

23 MR. LONSDALE: Very interesting question.
24 If I site the example I gave of the Tri Delta
25 Transit, they had some electric buses. They know

1 that there's a mandate here in California for
2 transit buses to go zero-emission and so they
3 started down that path. They very much found
4 themselves stuck because of the complexity of
5 fueling these vehicles and the process being
6 different and impacting the way that they managed
7 their depot and they managed their vehicles.

8 So bringing in an EVSP helped -- (audio
9 distortion) -- and also provided motivation and
10 confidence that the vehicles were charged. And
11 they understood how far they could travel each
12 day. And that has given them confidence to
13 continue on the path of full electrification.

14 And we are seeing that same thing with
15 other customers. There's another good example at
16 Solano Transit, SolTrans, started with four buses
17 and are now looking at their pathway to the full
18 75 vehicles being electrified because of gaining
19 confidence in the fueling fees. That was the
20 missing piece, how to provide that infrastructure
21 and how to fuel it such that the vehicles work,
22 you know, every day, day in and day out?

23 Another vertical, but I think it's still
24 earlier, is still more of that pilot phase for
25 vans and trucks.

1 And it looks like Michael wants to kind
2 of join in on this as well. I'll hand it over to
3 you.

4 MR. CANO: Okay. I'll just make a brief
5 comment. Thank you.

6 One of the things that we've heard from
7 our Operations Team is that, you know, the
8 placement, our lines are so long that, you know,
9 we can't put the entire pressure on providing
10 route mileage for electric vehicles for buses all
11 on the bus technology itself. I don't know if
12 we're going to get to, you know, a 200-mile
13 charge, for example, and then be able to charge
14 it fast enough where you -- where the cost is
15 then transferred over to having more buses
16 available so that you have the ability to swap
17 buses, as opposed to one bus running all day on a
18 fleet.

19 So I think the location and the access to
20 charging along routes for Metro, specifically
21 given how long our routes are, will be a
22 tremendous cost savings for us versus a paradigm
23 where have to have more buses in our fleet.
24 Because once a bus goes out for a few hours it's
25 got to come back and charge before it can go back

1 out, as opposed to today where our buses can go,
2 you know, most of the day and not have to worry
3 about that. So I think there's different
4 tradeoffs we're going to be looking at, at Metro,
5 in terms of that.

6 On the truck side, I would say that I
7 think it's the access and reliability and speed
8 of the charging that's more important than the
9 cost of it, just given the amount of fuel and
10 usage of it there. I think that's where we're
11 hearing a different kind of sensitivity in terms
12 of what they're looking at. We haven't heard
13 much about the cost of charging yet from our
14 drivers we talk to.

15 MR. KOBERNICK: And I'll add in another
16 quick thing to build on those two points too.

17 When it comes to total cost of ownership,
18 too, there's a lot of different people doing it
19 in a lot of different ways. But if you really
20 take a wider view on how costly it is for fleet
21 managers to run a gas use fuel operation and you
22 look at underground storage tank regulations and
23 complying with those, and maybe the need to
24 upgrade fuel tanks, if you are a municipality and
25 you have a 40-year-old fuel tank, for instance,

1 the overall total cost of ownership really starts
2 to become more interesting when you really,
3 really think about the entirety of your
4 operations and what it would take to move the
5 whole thing to all electric.

6 And so adding a bunch of new
7 infrastructure is always going to be expensive.
8 But if you really factor in the total cost of
9 maintaining and storing fuel tanks onsite and
10 things like that, then you can really start to
11 kind of see a bigger picture there.

12 MS. SISTO: Okay. Thanks.

13 If the Commissioners don't have any other
14 questions, I might take Moderator privilege to
15 pose one to the panel.

16 I think just building off of the last
17 conversation here, I think it would be helpful to
18 have a bit of a conversation about what
19 mechanisms or how we can -- especially, you know,
20 I oversee and analyze and provide guidance to the
21 decision makers on publicly-funded programs that
22 are proposed by the utilities -- so how can we
23 best make sure that those funding efforts are
24 focused on advancing VGI?

25 We heard this morning, there are a lot of

1 concerns about having very specific requirements
2 for program participation. So it sounds like,
3 potentially, maybe not having like narrow
4 requirements isn't the best solution. So maybe
5 just a conversation about how we can make sure
6 that the public funds are really going towards
7 programs that advance different vehicle-grid
8 integration strategies and, potentially, could be
9 something like there's higher funding
10 availability for more highly capable and
11 reactionary resources or something like that?

12 But I'm just interested to hear folks
13 talk about what types of programs and parameters
14 they think would be most beneficial to see in
15 public funding offerings going forward.

16 I'm happy to call on someone first if
17 that's helpful. Maybe I'll ask Ed to start the
18 conversation.

19 MR. BURGESS: Yeah. Thanks Carrie.

20 Well, I think, you know, one place to
21 look is going to be the VGI Working Group's
22 report which will be coming out imminently. And,
23 you know, there's no other work to sort of
24 identify different types of high-value use cases.
25 But I think, you know, from that, we can use that

1 as sort of a launchpad.

2 And we, actually, our group, has been
3 doing a lot of thinking over the last few weeks,
4 really, about what would it look like to develop
5 sort of a portfolio of VGI programs? And, you
6 know, these could have varying levels of support,
7 you know, through ratepayer funding but it would
8 be, you know, trying to sort of figure out a good
9 balance of different, you know, more advanced to
10 less advanced use cases and different market
11 sectors and different funding mechanisms, you
12 know, everything from competitive solicitations
13 to, you know, some maybe upfront incentive-style
14 approaches to more just rate, you know, options.

15 So, you know, we've been thinking about
16 this. And, actually, we've been sort of kicking
17 around sort of a straw proposal idea of what that
18 portfolio might look like. And we're not sort of
19 quite ready to share that publicly yet but I
20 think we will be soon. And we'll have to sort of
21 have that conversation with this group and others
22 as we sort of get further along.

23 MR. MARVIN: I think to add to that,
24 something that's really important that we're
25 considering in VGI is, we all know it, but

1 remembering the primary goal of electric vehicles
2 is to provide transportation. And I think it's
3 really important that when we're designing VGI
4 strategies, bearing in mind that they can't be
5 too complex, they need to be accessible to
6 customers, and often times figuring out a way to
7 make that so can be difficult.

8 Like I think one of the reasons that the
9 VGI rates we have in the Power Your Drive Program
10 has worked well is it's not just a dynamic rate
11 but, also, we have this whole ecosystem of making
12 it accessible to drivers where we have a building
13 mechanism that makes it straight forward.
14 Drivers are directly billed in many cases. We've
15 installed the infrastructure so that when you're
16 restricting the amount of time that the drivers
17 can charge, they're still getting a sufficient
18 charge that makes them happy. And bearing all
19 that in mind when designing programs, I think, is
20 really important because the goal at the end of
21 the day isn't VGI for its own sake, it's
22 transportation electrification.

23 MR. BURGESS: Yeah. I just want to echo
24 that and say that, you know, one thing that we
25 think may be actually sort of a weak spot in the

1 VGI Working Group's efforts is a little bit of a
2 lack of focus or emphasis on just the sort of
3 customer experience or customer acquisition side
4 of things. And we think that, you know, perhaps
5 that deserves some additional focus as we go
6 forward here about would it -- what do we need to
7 do to sort of enable customers, EV owners, EV
8 providers, to really adopt VGI technologies and
9 practices?

10 And sort of, you know, there's a lot of
11 cool fancy things we can do, you know, within the
12 realm of VGI, but to actual get this to be
13 adopted at scale, you know, I think we need to
14 think more about that program design. You know,
15 what's the best way to get customers engaged and,
16 actually, you know, perhaps even provide some
17 incentives for that to happen?

18 So that's something that I think we would
19 want to also incorporate into our sort of strong
20 proposal that I mentioned earlier about, really,
21 what is it going to take for a customer
22 acquisition, you know, to be able to have them
23 leverage their vehicles to provide these
24 services?

25 MR. CANO: Yeah. I'd like to add that,

1 you know, there's a lot of different facets to
2 this. Obviously, if different fleet owners have
3 facilities or things they want to upgrade, that's
4 something out of our hands.

5 But I think from the public perspective,
6 you know, we can't have a scattershot approach to
7 this. There's going to have to be coordination
8 and some kind of strategic discussion amongst
9 various jurisdictions that touches -- I think in
10 L.A. County, for example, you know, Metro and
11 Caltrans and the ports are going to have a
12 discussion about, okay, where do we strategically
13 place key pieces of infrastructure and how do we
14 prioritize that so that when we're coming to
15 various commissions and funding opportunities,
16 we're able to identify that this is, you know,
17 number one, number two, number three, and this is
18 part of our larger plan? Because if we don't do
19 that, we're going to, I think, waste a lot of
20 money and have, you know, different projects
21 undercutting each other's value.

22 So I think there needs to be a lot more
23 coordination and strategic programming on our
24 side. And I think that's one of the things we're
25 really focusing on at Metro is trying to convene

1 our various partner agencies to look at this
2 holistically, as opposed to the ports do their
3 thing and then we're doing something else out in
4 parts of the county, and then that doesn't really
5 translate to the truck drivers saying, okay, that
6 covers me, what I need to be able to invest in
7 and operate a zero-emission electric truck.

8 MS. SISTO: Thanks. That was a great
9 discussion. And I appreciate your -- all of your
10 insights. I think that was helpful for me at
11 least. And I think we have to transition to
12 attendee questions. But I wanted to like really
13 strike a bold underline of how Michael ended
14 there. I think a lot of the really needed next
15 steps are improved coordination across the
16 different public programs and in terms of data
17 collection and sharing data and really
18 coordinating our strategies so that it's a
19 consistent signal to really emphasize what we're
20 looking for from VGI across the board.

21 So with that, I'll turn it over to
22 Jonathan for panelist Q&A.

23 MR. BOBADILLA: Thank you.

24 MS. SISTO: Oh, no, I'm sorry, attendee
25 Q&A.

1 MS. RAITT: Yeah. Oh, and sorry, this is
2 Heather Raitt. I'll just jump in for one second.

3 Jonathan, want you go ahead and read --
4 we have a special panelist dispensation for --
5 we'll read Stacey's question first if you don't
6 mind. Thanks.

7 MR. BOBADILLA: Yeah. Stacey asked, "Can
8 the panelists comment on how they see TERPA
9 helping their approaches, especially the idea of
10 focusing on the energy delivered versus the
11 number of vehicle ports?"

12 Did that audio go through?

13 MS. SISTO: It did. I know that some
14 panelists are hesitant because they didn't see
15 the presentation until like this morning, so --

16 MR. BOBADILLA: Okay.

17 MS. SISTO: -- they might not have a lot
18 of feedback on how did. But I'm happy, if anyone
19 wants to speak to that, I'm -- or maybe it can be
20 a follow-up conversation?

21 MR. BOBADILLA: Got it.

22 MR. BURGESS: Yeah, I haven't given it
23 much thought and just saw that today, so I don't
24 have -- I don't have a response right away.

25 MR. BOBADILLA: All right. And with

1 that, I'd like to move on to Zoom Q&A questions.

2 Michael Nicholas asked a question or
3 Phillip. "Can you comment on how you use the
4 vehicles as the way to implement VGI? Are the
5 signals passing back and forth? To what extent
6 are OEMs ready for vehicle-side VGI?"

7 MR. KOBERNICK: Yeah. So the way we're
8 doing it is by -- we are using a third party to
9 connect with the vehicle's connected car apps.
10 So right now the vehicle has to be capable of
11 doing that. And it's sort of we're starting
12 small and then building.

13 It's not so much a back and forth per se.
14 Basically, what we're doing is we're overriding
15 any charging schedules that a driver may have
16 already set. And we're providing an algorithm
17 on -- that takes over their scheduled charging.
18 So we're getting data from the vehicle and then -
19 - including state of charge. And then we're
20 getting some driver inputs, like what their rates
21 are and things like that.

22 So a back and forth would be like if the
23 car comes in totally empty, right, it's just
24 basically got nothing left in it, we see that
25 from the car, we're going to start charging it to

1 a minimum amount and then move to off-peak.

2 So that's like one example of back and
3 forth but it's really data coming from the
4 vehicle telematics that it already coming to us
5 and then we apply charging information back to it
6 to do active managed charging.

7 I can take that offline if you have more
8 technical questions on it.

9 MR. BOBADILLA: Thank you.

10 And then a question from Michael Nicholas
11 and it's directed for Taylor. "What is your
12 opinion of vehicle-side VGI as a solution?"

13 MR. MARVIN: So I can't speak to the
14 technicalities but I would say that we are very
15 interested in low-cost solutions and low-cost
16 information technology. And like Phillip was
17 alluding to, where vehicle telematics can provide
18 that, that's something that's very exciting.

19 MR. BOBADILLA: Thank you.

20 And I believe that's all the time we have
21 for Q&A.

22 MS. RAITT: Great. Thank you, Jonathan,
23 and thank you to our panelists. And thank you so
24 much to Carrie. That was really helpful.

25 So we would like to just do a quick poll

1 as part of our efforts to get some feedback and
2 learn more about how to work best in a remote
3 environment. So this is just to get a little
4 feedback on Q&A. So we just wanted to find out
5 if folks are liking it, if it's okay, if it's a
6 disappoint or you don't like it. And we'll just
7 leave the poll open for about 45 seconds, give an
8 opportunity to respond.

9 (Whereupon a poll is taken via Zoom.)

10 MS. RAITT: All right. All right. Well,
11 we can go ahead and close it. So it just gives
12 us a little bit of a snapshot. It's certainly
13 not a scientific poll but it looks like most
14 people who responded like it, so that's great.

15 So with that, we can go ahead and take a
16 short break and we will come back at 3:15. I
17 encourage everybody to stretch a little bit. And
18 we'll have the hold music on and we'll be back
19 promptly at 3:15.

20 (Off the record at 2:56 p.m.)

21 (On the record at 3:15 p.m.)

22 MS. RAITT: Hello. This is Heather
23 Raitt. So it's 3:15, so we'll go ahead and
24 resume the workshop.

25 So we'll move on to our panel on EV

1 Charging Scale-Up: Potential New Business Models
2 for Private Investment. And the Moderator is Tim
3 Olson from the Energy Commission. And we'll have
4 a short series of presentations, followed by time
5 for discussion.

6 So, Tim, please go ahead and start your
7 panel.

8 MR. OLSON: Okay. Very good. Hello.
9 Hopefully everybody can hear me.

10 MS. RAITT: Yeah.

11 MR. OLSON: Good afternoon. Welcome to
12 this next panel. My name is Tim Olson. I'm with
13 the Fuels and Transportation Division at the
14 Energy Commission.

15 So this is a sum-up of not only today's
16 workshop but some of the things that have gone on
17 before from May 20th and May 21st IEPR workshop,
18 the June 11th workshop, June 22nd, and then
19 today. And part of this is all those workshops
20 were really focused on the progress of zero-
21 emission vehicle growth, market growth, both
22 electric and hydrogen, and a look at the existing
23 incentives, regulations, programs that support
24 the goals achieving 5 million ZEVs on the road by
25 2030, including light -- not only light-duty

1 vehicles but medium- and heavy-duty. And we
2 heard earlier testimony about the existing
3 electric vehicle charging programs through the
4 IOU rate-based investments, the settlement funds,
5 and then the Energy Commission, and there are
6 other -- Energy Commission, ARB, and other
7 agencies that deploy, mostly, grant instead of
8 funding.

9 We also heard testimony throughout
10 several of those workshops about this gap, this -
11 - we don't -- we aren't -- we have a shortfall on
12 achieving the investment -- or expected shortfall
13 on achieving the investment to meet those 2030
14 goals.

15 And so with this in mind, we organized
16 this last panel of the day to delve into the
17 potential to increase private investment in ZEV
18 infrastructure, understand the formation and
19 evolution of new business models, and also seek
20 insights about how to configure or reconfigure
21 existing programs or proposed new initiatives to
22 boost private investment to meet our goals.

23 I'd also like to mention that this panel
24 session is consistent with objectives of another
25 parallel Energy Commission proceeding to explore

1 strategies to attract private investment in a
2 whole range, a broad range of clean
3 transportation options. I will present some
4 initial findings from that proceeding after the
5 Q&A of this panel.

6 So we have, again, another distinguished
7 panel of experts. And I will introduce each in
8 the order of their presentation.

9 And the first is: Anand Rangarajan, who
10 is Managing Director of Cambridge Capital out of
11 New Jersey; Stacey Reineccius, CEO of PowerTree;
12 Abdellah Cherkaoui of Volta; Marc Monbouquette of
13 EnelX, this company was formerly eMotorWerks and
14 bought by Enel Italian Utility; and Rajiv Shah of
15 FreeWire.

16 So thank you, everyone, for joining the
17 table today. And let's proceed with Anand as the
18 first speaker.

19 MR. RANGARAJAN: Okay. Can you hear me?

20 MR. OLSON: Yes.

21 MR. RANGARAJAN: Okay. Thank you, Tim.

22 I am in the happy company of people with
23 difficult last names.

24 I just want to start by thanking you and
25 the Commission to inviting me. It's a privilege

1 for me to be here. I've been asked to talk about
2 mobilizing private sector investments and
3 building out EV charging infrastructure in
4 California.

5 The specific questions are: Can
6 government funds, can they be levered with
7 private investment? What are the elements and
8 opportunities to bring in private investment?
9 This is a hefty subject so my presentation here
10 is just a high-level analysis based on my own
11 observations and experience.

12 Just to set the context for my
13 presentation, I just wanted to say that I got my
14 start in the renewable energy business about 30
15 years ago when I was at MIT. Throughout my
16 career I've worked quite a bit in deploying
17 behind-the-meter solar systems, microgrids with
18 storage, and so on, particularly at commercial-
19 industrial facilities throughout the country
20 really.

21 My experience in the EV space is, in a
22 way, somewhat limited but just to give you a
23 background, it's about 30 years ago, I was part
24 of a working group with the big three automakers,
25 Chrysler, GM and Ford, where we were looking at

1 EV charging infrastructure implications,
2 particularly with solar. And we worked alongside
3 with some of the independent system operators and
4 so on. (Indiscernible.) but the issues that we
5 were grappling with 20 years ago or 30 years ago
6 are still present today.

7 So with that kind of just a little bit of
8 a background about me, I'd like to have the next
9 slide please. Okay.

10 Basically, I have a couple of points that
11 I want to emphasize in this particular slide. We
12 are estimating, and it's only a rough order of
13 magnitude, that the EV charging demand is 4,000
14 megawatts. And this is -- this could be wrong.
15 There probably are better estimates of what the
16 charging demand requirements are likely to be.
17 But this is -- these can be seen again as a total
18 capacity of 80,000 megawatts. So on the face of
19 it, you know, you would think that the demand
20 capacity issues are not really an issue.

21 So the important question, really, at
22 least from my point of view is: Is this capacity
23 available in the right places where it is needed?
24 You know, EV charging infrastructure is going to
25 be built out wherever it's needed. And the

1 question is: Is can this capacity be made
2 available for the requirements of EV charging?
3 And, specifically, that has to do with the
4 distribution infrastructure and what are the
5 constraints within the distribution
6 infrastructure? This needs to be looked at very
7 closely.

8 The second observation is that CEC
9 estimates a funding gap. You know, they've
10 identified some numbers. According to me,
11 according to us, you know, we think it's about \$4
12 billion but, again, it's only a rough order of
13 magnitude. And this may not even include some of
14 the make-ready costs and soft costs that earlier
15 panels discussed, such as interconnection,
16 permitting and whatnot.

17 So I just want to lay out some of these
18 issues. First, starting out with -- can I have
19 the next slide, please, with the distribution
20 infrastructure?

21 So in the distribution infrastructure,
22 which is where all EV charging stations plug
23 into, there are a lot of bottlenecks and choke
24 points. You know, it's in the transformers,
25 substations. It's in the transformers at the

1 different locations. And so this is a bottleneck
2 that, somehow, needs to be addressed, you know,
3 both in terms of engineering and planning and
4 budgeting and, finally, the investment.

5 The business-as-usual model puts this
6 obligation, really, to remove these impairments
7 or infrastructure bottlenecks on the IOUs, on the
8 distribution companies, which have their own set
9 of issues related to ratepayer impact. And
10 usually those kinds of things, and
11 interconnection studies and things like that,
12 have a long planning cycle, they have an
13 uncertainty regarding what the capital
14 investments need to be, and so on.

15 And this kind of work, make-ready work,
16 if you will, is usually funded through grants
17 and, you know, through IOU cost recovery programs
18 and local government budgets. And sometimes it's
19 even done on the balance sheet of the companies,
20 of host companies that are proposing to install
21 these things. Now that's where we are, you know?

22 Now this, you know, I've highlighted some
23 of the impairments. This takes money and time,
24 you know? And who comes up with this early stage
25 risk money, number one, you know? Because the --

1 you don't even know if the project is viable,
2 who's going to come up with the money, and it's a
3 long difficult process to even figure out, you
4 know, to make the ready -- the project ready for
5 construction.

6 And then when you get all done there are
7 issues related to owns all this upgraded
8 infrastructure. Is it the electric company? Is
9 it the host who paid for it? Blah. Blah. Blah.
10 So it's not really amenable to a private investor
11 coming and taking a look at the process and
12 saying, okay, this is a great project, I want to
13 invest in it because it's got great returns.
14 There is too much and, in fact, are even hard to
15 understand.

16 Can I have the next slide please?

17 MR. OLSON: Anand, this is Tim Olson.
18 Can you -- we're going to get short on time. Can
19 you kind of summarize this model? And then I
20 will bring back or we'll bring back in the
21 questions to you some time that you go through
22 some of the detail of this. Is that okay?

23 MR. RANGARAJAN: Okay. Will do. I'll go
24 through it very quickly.

25 So the next slide here is really a new

1 way of doing this. It's not really a new way,
2 it's just a different way of doing it and,
3 actually, a lot of people are doing it, and that
4 is to shift everything to behind-the-meter rather
5 than in front of the meter.

6 And, basically -- if you can go to the
7 next slide here? Okay. Can you go over to the
8 next slide please? Yeah. So sorry. Did I --
9 maybe you need to go back. I'm sorry. I made a
10 mistake here. Can you go back one? Oh, it's
11 missing a slide.

12 Anyway, the idea is to move everything to
13 behind-the-meter. And when I say everything,
14 what I mean by that is if we can improve onsite
15 solar, as it was discussed, along with battery
16 storage, and possibly even onsite RNG generators,
17 that is renewable natural gas generators, you
18 remove a lot of the problems associated with
19 interconnection issues. These are typically
20 called non-wired solutions. And I won't go too
21 much into what the technologies are but it's,
22 essentially, available commercially
23 (indiscernible).

24 MR. OLSON: Anand, we lost you there.
25 Hello, Anand, are you there?

1 MR. RANGARAJAN: The next slide.

2 MR. OLSON: Anand, your audio is breaking
3 up and we can just barely hear you.

4 MS. RAITT: Tim, this is Heather. We may
5 just need to move on.

6 MR. OLSON: Yeah. Okay. So, Anand, I'll
7 come back to you. Maybe we'll try to work behind
8 the scenes to figure out how to get your audio
9 back in place, so we'll go on.

10 MR. RANGARAJAN: Can you hear me now?

11 MR. OLSON: Yeah. Anand, we're going to
12 move on to the next speaker. And I will bring up
13 some of these items in our Q&A, so to give you
14 some more chance to discuss that.

15 So let's go to the next presentation,
16 Stacey Reineccius of PowerTree.

17 Go ahead, Stacey.

18 MR. REINECCIUS: Can you hear me all
19 right?

20 MR. OLSON: Sounds good.

21 MR. REINECCIUS: All right. Great. So I
22 want to go through these slides fairly quickly.
23 I'll invite anybody who wants to dive into more
24 detail to look at the decks and to, you know,
25 feel free to contact me directly or ask questions

1 when we get to the Q&A.

2 I recall Commissioner Rechtschaffen
3 commenting to me one time a few years ago that
4 there was no way that the government of
5 California could ever come up with enough money
6 to fully fund what was necessary, and that we had
7 to find a way to align the interests of those who
8 have the capital and access to capital with the
9 needs of the community and the state.

10 Next slide please.

11 So one of the components that has been
12 neglected for years has been the participation
13 and the access by renters, i.e. non-property
14 owners. One of the owners of a solar company
15 that I worked with, oh, I don't know, 15 years
16 ago, made the point that going after single-
17 family homeowners and commercial property owners
18 was the low-hanging fruit because the beneficiary
19 and the decision maker were all the same.
20 Tenants and renters, although they comprise about
21 40 to 45 percent of our total population, don't
22 fit that definition and, as a result, have been
23 neglected by both installers and policymakers
24 with very small exceptions.

25 Next slide.

1 In our major urban areas the renters
2 actually comprise the majority of the population
3 or very significant minorities and, yet, have
4 received, whether through common meter support or
5 other, less than five percent of the total solar
6 that's been installed.

7 Next slide.

8 And while we're on track to reduce 50
9 percent of the petroleum usage in the state,
10 we're not going to achieve that, nor goals beyond
11 that, unless we activate that portion of the
12 population, which is currently blocked and un-
13 incented.

14 Next slide.

15 We did a study some years back when I was
16 with the California Energy Storage Alliance where
17 we engaged Strategen Consulting to analyze the
18 impact of that 50 percent reduction in gasoline
19 consumption and what that would mean in moving
20 the 81 percent of every gasoline dollar that's
21 spent that leaves the state of California back
22 into the state. The summary of that and the full
23 report was included with my filing of comments in
24 this proceeding -- or in this docket, excuse me,
25 and it worked out to about \$51 billion per year

1 in new money that came into the state by
2 displacing gasoline, of which about 40 to 42
3 percent of that comes from renters.

4 Next slide.

5 And we know, both from our own surveys
6 and studies done by the UCLA Luskin Center that
7 about two-thirds of the potential EV drivers are
8 renters and, yet, we're seeing the same situation
9 where 93 to 97 percent of the current actual
10 buyers and drivers, excluding buses or fleet
11 vehicles, are single-family homeowners, meaning
12 that we're setting up and actually repeating the
13 lockout of those renters who we vitally need to
14 participate in this transition.

15 Next slide.

16 One of the challenges, the key challenges
17 of multifamily that we have to address, is the
18 current policies and the idea that multifamily is
19 the same as single-family and it's not.
20 Multifamily is inherently a shared resource for
21 multiple families.

22 This is a study that we did analyzing the
23 turnover rate and the probability of ownership of
24 an EV from a multifamily owner's point of view to
25 say that if I invest in fact, what's the

1 probability of that dedicated charger, i.e. one
2 charger for one apartment, actually being
3 utilized in five years? And because of the
4 turnover of tenants and the differing rates by
5 different sizes of properties, you can see that
6 at the end of five years larger to medium
7 properties have an extraordinarily low potential
8 for utilization unless there's shared access.
9 And that is not the way that our current policies
10 are implemented.

11 Next slide.

12 So to understand how to bring capital
13 forward, we have to understand how big that might
14 be, how much capital there might be. And we have
15 to also understand that multifamily is a
16 different type of property. It's a hybrid
17 between residential and commercial. You have
18 residential rental durations but you get a
19 commercial treatment in tax and valuation.

20 And the key for any multifamily owner is
21 their equity value because that is their stock.
22 That is what they target. And that value is
23 determined by their annual rent divided by what's
24 know as the capitalization rate or cap rate.
25 And, essentially, in typical multifamily

1 properties, whether it's San Francisco or
2 Sacramento, for example, that capitalization rate
3 can range between about four percent and five
4 percent, meaning that if you have one dollar of
5 income as rent and you divide it by that amount,
6 you have somewhere between \$20.00 and \$25.00 in
7 equity. That equity can then be borrowed against
8 or used in the sale or refinance of a property.

9 And so if you can generate value from EV
10 charging and from the associated components
11 necessary for EV charging in a way that appears
12 as rent to the property owner, you get a
13 tremendous multiplier in value which unlocks
14 capital.

15 So moving on --

16 MR. OLSON: Stacey, Tim Olson again.
17 We're going to have to wrap up. Is there a way
18 for you to summarize? And then we'll try to --
19 you have a lot of meaty stuff here and we'll try
20 to get this into someplace in our Q&A.

21 MR. REINECCIUS: I'll leave it for people
22 to read the numbers but there's about \$600
23 billion in potential value for equity that could
24 be activated.

25 Next slide. Next slide.

1 To get that, we need to streamline. So
2 some key things which align well with the earlier
3 TERPA comments is we need to shift our focus from
4 ports to vehicles enabled and miles enabled. And
5 here are some specific bullet points on policies
6 and adjustments that could be made to streamline
7 this process in multifamily. And I won't go
8 through each one.

9 Next.

10 And then we also need to accelerate
11 multifamily because multifamily is way behind the
12 curve. And, again, I won't dive deep into each
13 of these but I would invite comments and
14 questions.

15 And then, finally, next slide. If those
16 suggestions for streamlining and acceleration can
17 be accomplished we'll have a win for tenants who
18 will have access to EV and solar savings. We'll
19 have a win for owners who retain tenants and
20 gaining new equity value and we'll unlock their
21 access to capital to invest in these technologies
22 and these capabilities. And we'll have a win for
23 the communities who gain cleaner air and
24 increased local economic activity. And we get a
25 win for the state programs. And we get, unlike

1 other programs that focus on giving money to the
2 utilities, we wind up with increased property tax
3 revenues with help with the general state budget.

4 Thank you.

5 MR. OLSON: Thank you, Stacey.

6 Our next speaker is Abdellah Cherkaoui
7 from Volta.

8 I hope I pronounced your name correctly,
9 Abdellah. I apologize if I didn't.

10 MR. CHERKAOUI: You have, Tim. It's
11 perfectly fine.

12 I'm starting my video here. And I'll try
13 to use my five minutes efficiently because that's
14 what we do at Volta. We, essentially, build
15 electric vehicle charging infrastructure that
16 makes an impact. So there are three points to
17 what we do.

18 The first one, and I won't even,
19 essentially, show it, I think, unless Heather
20 allows me to share my screen, then I can show one
21 single slide. We have a model that has started
22 about ten years ago with a simple thesis. We
23 chose let's provide something else to real estate
24 owners for an amenity that will bring and provide
25 a service to end users, end users being EV

1 drivers, and that will drive adoption by
2 visibility.

3 So if you all -- in the call, I think
4 there's about 147 participants -- have not seen a
5 Volta station, that means you're not driving an
6 EV or you have not been at the right places for
7 that.

8 Number two, that model where we,
9 essentially, monetize advertising and visibility
10 front and center where we're deploying
11 infrastructure, thanks to a very different
12 monetization model, drives an unbelievable amount
13 of utilization, visibility and, really, adoption,
14 as well, and we show numbers and, in fact, the
15 load.

16 So to come back to the previous panel,
17 it's really interesting, if you don't do EV
18 charging infrastructure in the right places, then
19 the load that you get is insignificant and,
20 therefore, the monetization through that load
21 does, actually, not matter. It's sort of the
22 hope for the next eight years.

23 And the last piece is as we have been,
24 essentially, developing what we call EV Charging
25 2.0, where we map the whole city -- because we

1 are not selling just hardware to one side and
2 another side. We actually go and look at the
3 sites where people go, move, how they move. And
4 then this is a really key important piece, which
5 is: How do we plan for that infrastructure to be
6 capital efficient, to be capital effective to,
7 essentially, drive impact for every dollar,
8 whether it comes from the public, ratepayer,
9 taxpayer or, in fact, and that's what we do at
10 Volta, coming from private capital with a two
11 orders of magnitude revenue for every dollar
12 invested, even though those dollars invested are
13 high.

14 So that's, essentially, what we do and
15 I'll stop at that. I hope I haven't passed my
16 five minutes.

17 MR. OLSON: Thank you, Abdellah. Very
18 good. Thank you for the short -- for the staying
19 within your time frame there.

20 Our next speaker is Marc Monbouquette of
21 EnelX.

22 Please proceed, Mr. Chairman.

23 MR. MONBOUQUETTE: Thank you, Tim.

24 Thank you, CEC Staff and Commissioners
25 for having me.

1 With increasing concerns about rising
2 ratepayer costs, the limited reach and competing
3 priorities for the state's existing funding
4 sources, which was even the case before COVID-19,
5 and the current post-COVID need for green
6 stimulus dollars to help the state emerge from
7 the economic downturn, we must consider new
8 investor models and sources of private capital to
9 rapidly scale the buildout of EV charging
10 infrastructure if the state is to meet its clean
11 transportation goals.

12 Next slide.

13 Quick note on EnelX eMobility, and we are
14 a leading provider of EV charging hardware and
15 software solutions across many customer segments,
16 vehicle types and use cases.

17 Next slide.

18 I'd like to start by covering some
19 guiding principles that drive our
20 recommendations.

21 First and foremost, the provision of
22 supporting infrastructure and services from
23 utilities and third parties needs to be
24 guaranteed, predictable, and streamlined.

25 Next, we need to think outside the box of

1 traditional funding sources and investment
2 models. I'm primarily referring here to
3 ratepayer funding and state funding that is
4 dispersed through the form of upfront rebates or
5 grants. Now please don't construe this as EnelX
6 advocating for a rapid transmission away from
7 these things, far from it, but we can no longer
8 consider these as the only way to fund and invest
9 in charging infrastructure.

10 Finally, the state needs to maximally
11 harness the value of VGI, primarily through
12 market approaches and by enabling incorporation
13 of monetizable VGI value streams into
14 infrastructure financing while utilizing open
15 standards to ensure statewide interoperability.
16 This must be considered a first principal for EV
17 infrastructure investments if the state is to
18 meet its transportation goals in the most cost
19 effective manner.

20 Next slide.

21 So given these principles, we invite
22 consideration of the following recommendations to
23 transform California's investment landscape for
24 EV infrastructure.

25 First, we believe that tariff solutions

1 should serve as the cornerstone to accessing
2 infrastructure on both sides of the meter.
3 Tariffs establish a standardized, always on
4 pathway for EV infrastructure service that
5 guarantees customer access to TE infrastructure
6 in a timely manner and responds to actual,
7 instead of forecasted, market demand for EV
8 charging. Tariffs can establish EV
9 infrastructure and VGI provision as core
10 functions of utilities and third parties and can
11 move beyond the need to continually allocate or
12 approve funding and determine priority segments
13 for investment. Most importantly, tariffs help
14 make infrastructure funding predictable and
15 bankable.

16 Next, site-specific cost recovery for
17 utility infrastructure provision, which is more
18 or less synonymous with on-bill financing, should
19 be established as an option to divorce utility
20 capitalization of infrastructure from ratepayer
21 funding. This mechanism allows for utility rate
22 basing of infrastructure inclusive of the EVSE,
23 ongoing payments via customer bills to pay down
24 the upfront cost of infrastructure, and the
25 transfer of ownership from the utility to site

1 host once that infrastructure is fully paid off.
2 This allows for all relevant funding sources to
3 be applied to ongoing payments, including
4 participant payments, state and local funding,
5 LCFS or VGI revenues, or ratepayer funding when
6 it's deemed important to meet state policy goals.

7 Another big source of private capital,
8 which is encapsulated by our third
9 recommendation, would be the creation of a state
10 level, public-private EV infrastructure fund with
11 a loan guarantee to attract patient institutional
12 capital to finance EV infrastructure. This would
13 be similar to the approach of the rooftop solar
14 industry when they launched the solar leasing
15 model by securitizing net metering payments for
16 institutional investors. The challenge here, of
17 course, would be to guarantee utilization and
18 payment. But with the state backing and loan
19 guarantee, this would help mitigate that concern.

20 Finally, VGI services should be monetized
21 via existing or emerging market pathways and used
22 to supplemental the funding streams and financing
23 models discussed here. A great example of this
24 is having a tariffed option for customers or site
25 hosts to elect a certified load management

1 solution. I think this is similar to the first
2 presenter's presentation for a non-wires
3 alternative to interconnection whereby customers
4 could avoid costly upgrades that might otherwise
5 be entailed by interconnecting high-capacity EV
6 charging load.

7 Another example is to think about how VGI
8 value could -- oh, sorry about that, that was my
9 own timer -- how VGI value could offset the
10 payback costs for utility capitalized in fact,
11 for instance, by establishing a performance
12 incentive for permanent new midday EV charging
13 load that helps avoid solar curtailments.

14 So forward two slides. I've covered the
15 second to the last slide already but I appreciate
16 the opportunity to comment and look forward to
17 the discussion.

18 MR. OLSON: Thank you, Marc.

19 And our final speaker for this panel is
20 Rajiv Shah of FreeWire.

21 Are you ready to go, Rajiv?

22 MR. SHAH: Yeah, I'm ready to go. Thank
23 you. Thank you so much, Tim.

24 And thank you, Commissioners and CEC and
25 CPUC Staff in attendance, for your continued

1 support of the buildout of EV charging
2 infrastructure across California.

3 I serve as Director of Regulatory Affairs
4 at FreeWire Technologies where I oversee our
5 policy, regulatory, and sort of legal matters, so
6 that's many hats.

7 Next slide please.

8 So just a little bit about FreeWire. The
9 company was founded in 2014 with a vision of our
10 CEO to provide electrification beyond the grid.
11 And I was really enjoying Anand's presentation
12 and the slide he had just put up about sort of
13 behind-the-meter solutions and sort of avoiding
14 some of the distribution constraints and grid
15 constraints because that's exactly what our
16 technological solutions are attempting to solve
17 for.

18 The Mobi EV Charger is, actually, you
19 know, a technological solution that kind of
20 speaks to what Noel Crisostomo included in his
21 earlier presentation and his remarks about
22 charger utilization. It's a mobile EV charger
23 that was our first generation product that has 80
24 kilowatt hours of integrated energy storage and
25 electric drivetrain, and has been deployed in a

1 host of workplace and -- well, primarily
2 workplace and fleet charging settings, and
3 increase charger utilization in its application
4 from one to two charges a day to serving six to
5 eight vehicles from a single Mobi in a day.

6 And the success of the Mobi led to a lot
7 of interest from some of our investors in a study
8 that we conducted in 2018, in partnership with
9 BP, where we demonstrated sort of a battery
10 integrated fast charging product, and the success
11 of that study has led us to where we sit today.
12 We're on the eve of launching a new product in
13 the Boost Charger.

14 Next slide.

15 So the Boost Charger is a -- it builds on
16 the battery integrated sort of concept of the
17 Mobi. And it reduces installation and ongoing
18 costs, those grid infrastructure upgrades that
19 are especially problematic for gas stations and
20 other sites with a small sort of electrical
21 footprint. And it provides 120 kW fast charging
22 capabilities via its 160 kilowatt hours of
23 onboard lithium storage. It's a stationary grid-
24 tied asset but the grid connection is a low
25 voltage grid connection, we're talking 208 volt

1 split phase or 240 volt single phase connection
2 that enables the fast charger to effectively
3 function like a hot water heater would.

4 Next slide.

5 So this is just to give you sort of a
6 sense of how we see our site host customers sort
7 of monetizing the potential revenue. And the
8 only thing I'll say here, beyond the visual, is
9 that EV charger revenue, because of the
10 uncertainty around utilization, is the biggest
11 sort of obstacle we have to overcome in
12 recruiting customers and getting them to invest.

13 And I would also just point out that the
14 demand response capabilities of an energy storage
15 focused unit like this go above and beyond sort
16 of conventional DC fast charging.

17 Next slide.

18 I'm going to skip the COVID-19 impacts,
19 given that I have a minute remaining, and jump to
20 my next slide.

21 So in line with this panel, there's just
22 a few points that I think could help with this
23 effort to scale-up private investment and that is
24 kind of demonstrating the business case with new
25 technologies and simplifying the process for

1 folks who want to participate in the programs
2 that do exist in the state.

3 And so integrating DC fast charging with
4 energy storage can really redefine the business
5 case. Similar to the synergies that we've seen
6 from solar and storage integration, DC fast
7 charging and storage integration, like our Boost
8 Charger, could really bolster the value prop for
9 fast charging by reducing the cost and time
10 frames and installation. We estimate that, on
11 average, it will take two months or less to
12 deploy a Boost Charger, which solves for sort of
13 the speed of fast charger deployment and the
14 challenges the state is facing there. And the
15 associated costs of low voltage infrastructure,
16 if any upgrades are even necessary, are
17 dramatically reduced this technology.

18 We buffer against demand charges. And I
19 know the CPUC is considering sort of providing
20 relief through various rate-making proceedings
21 and has in one instance for within the PG&E
22 territory. But I would submit that batteries can
23 buffer demand charges. The grid will only ever
24 see 20 kW from our boost, even when a vehicle is
25 pulling 120 kW from it.

1 And then we're significantly extending
2 the geography of sites where DC fast chargers can
3 practicably be located. There is a lot of this
4 low-voltage infrastructure necessary for a
5 system, like the Boost, readily available at most
6 commercial sites. And we would -- I would submit
7 that we would enable fast charging through this
8 project at a host of sites that are strategic
9 sites for locating refueling infrastructure from
10 a transportation planning infrastructure that are
11 otherwise infeasible based on grid constraints,
12 especially in urban and rural areas.

13 So one proposal, and this dovetails off
14 of what Marc just alluded to, it could be sort of
15 an interim step in getting a state-backed loan
16 program and sussing out what that utilization
17 risk is and what the state's risk and what the
18 state's risk would be on a guarantee would be to
19 implement the state-funded financing pilot based
20 on utilization risk wherein loans for innovative
21 DC fast charging deployments, especially those
22 with complex sort of integrations of different
23 technologies, would be available to take
24 advantage of the financing but the state would be
25 agreeing to repayment that would solely be based

1 on the assets revenue generation from that
2 charging.

3 I recognize it would be a lot of risks
4 for the state. That's why the program could be
5 sort of a pilot and relatively small in scale at
6 the outset. But I think it could also be offset
7 by cost recovery as utilization increases.

8 Finally, successful demonstration of a
9 utilization-based financing approach could --
10 would spur private sector investment quicker,
11 creating a new model for private financing, akin
12 to what we've seen in energy efficiency and
13 renewables.

14 My last suggestion here is to create a
15 one-stop-shop for EVSE incentives and state
16 financing opportunities. And this is near and
17 dear to my heart. There's a plethora of
18 incentives available in California from CALeVIP
19 funding, Air District programs, utility
20 incentives, and various local funding
21 initiatives, not to mention things like LCFS.
22 Trying to get access, accessing that financing,
23 it requires separate applications through
24 separate agencies following separate processes
25 and, on the back end, you'll separate and

1 redundant reporting requirements.

2 I worked for the government of New York.
3 I was the Assistant Secretary for Environment in
4 New York. Governor Cuomo is the champion of one-
5 stop-shops. State agencies would roll their eyes
6 every time he wanted to implement them. And
7 after he implemented a one-stop-shop, like the
8 one-stop-shop he implemented for the craft
9 beverage industry, the industry would laud him
10 and growth would actually occur. You would
11 actually see substantial change. And, in
12 particularly, for small companies, like our own,
13 the administrative burden created by this is just
14 something that is a real obstacle to our ability
15 to meaningfully enter the marketplace.

16 The last point is that the one-stop-shop
17 approach would allow you to consider total
18 project costs. Siloing utility make-ready
19 programs from equipment incentives results in a
20 failure to truly consider total project costs and
21 those projects that are most economic. It was
22 fine when we just had DC fast chargers that all
23 required the same 480 volt three phase grid
24 infrastructure. You had a reasonable expectation
25 that chargers with the same nameplate capacity

1 would require the same make-ready infrastructure.
2 We should think about these things together. And
3 I think you could actually get more economic
4 solutions that would be more attractive to the
5 private sector and less state subsidy necessary
6 to move them forward.

7 That's all. Next slide.

8 MR. OLSON: Thank you --

9 MR. SHAH: Thanks.

10 MR. OLSON: -- very much, Rajiv.

11 Appreciate your deep dive discussion there.

12 At this point, Commissioners, your
13 opportunity to raise questions about of panel
14 members.

15 COMMISSIONER MONAHAN: Well, thanks.

16 Thanks to the panelists.

17 And I see, Cliff is raising his hand.

18 I'll ask a quick question then turn it over to
19 him.

20 So -- and I've got to say, now I want to
21 see Tim's presentation on what the CEC has been
22 learning on -- about the financing, looking at
23 low-interest loans as a strategy.

24 I wonder, Rajiv, you mentioned innovative
25 DC fast charging, but does it have to be

1 innovative? I mean, the question is: Would a
2 low -- would we be able -- you know, would a low-
3 interest loan program allow for scale-up? And
4 what would it take to do that?

5 And I think Tim is going to delve into
6 this a little deeper, so -- but just curious
7 about your thoughts on that, and maybe other
8 panelists, as well.

9 MR. SHAH: So I think, if you're going to
10 follow sort of a utilization risk-based approach,
11 it might be really good to test sort of the
12 potential of particularly innovative fast
13 charging solutions that are particularly
14 uneconomic in terms of how they pencil out at the
15 higher charging speeds, is what I guess I was
16 talking about with innovative there.

17 If you're talking about a low-interest
18 loan-based program, actually, where I wanted to
19 go with my one-stop-shop suggestion is, actually,
20 you should be looking at financing alongside
21 subsidy.

22 So one of the things in New York that we
23 were -- that our agency was struggling with, it
24 was an environmental agency, actually, the
25 Environmental Facilities Corporation, which

1 administers water infrastructure financing, was
2 that they were not getting out their zero-
3 interest SRF loans. We had over \$1 billion in
4 zero-interest state revolving fund loans just
5 sitting there.

6 And when we paired the administration of
7 the loan program with municipal grants -- and
8 they could be much more modest than the grants
9 for charging and what's being offered in charging
10 because the formula there, just the water is just
11 different -- but the overall point is that
12 consolidating the process and combining sort of
13 the access to the loan and some of the
14 administration of loans on the state side just
15 can't be as efficient or fast as the private
16 sector. So what I gain as a private sector
17 customer, in accessing the low-interest rates, I
18 might be losing in sort of the lead time it takes
19 for me to get approval through a program like
20 CCAB. If it's being administered alongside sort
21 of my application for a grant incentive, it gives
22 you folks, as regulators, a more sort of holistic
23 view of the project costs from both a financing
24 and a subsidy side and more ability to get out
25 these attractive loan structures.

1 But, no, I don't think it necessarily has
2 to be innovative. I think it should probably be
3 DC fast charging focused but that is -- that's my
4 thought there.

5 MR. SHAH: Rajiv. Let me jump in on
6 this.

7 And, Commissioner Monahan, thank you so
8 much for, actually, this question. It's actually
9 an important one. And thank you for having us
10 today.

11 I think the key question is, really, how
12 do we deploy EV charging infrastructure and
13 maintain it for the long term? It's not about
14 innovation of technology. The technology is
15 known. And it doesn't matter how fast or how
16 low, it matters on the real estate.

17 The IOU programs, the pilots, have shown
18 this, clearly, that working -- it's a trine goal
19 between the energy, the grid, and the services,
20 all the ancillary services, VGI included, the
21 real estate offers that go in there, and mobility
22 and, essentially, all what the car companies and
23 OEMs in general can provide.

24 The point here is can we actually use
25 data to make the public funds better allocated?

1 Can we actually get grants to say and design and
2 measure the impact of the EV infrastructure that
3 we have deployed?

4 One of your staff members, Commissioner
5 Monahan, Noel, I'm a great fan of him. He
6 thinks, you know, deep and wide about this stuff
7 in a really careful way. Is really how is the
8 infrastructure that we deploy making an impact on
9 the EV adoption that want and how do we measure
10 that? Because if we're measuring it in just
11 number of chargers and we just have to put a lot
12 of chargers everywhere versus we are actually
13 delivering miles, we are actually converting
14 vehicle miles traveled to electric vehicle miles
15 traveled, you know, the KPI is totally different.

16 And so I think, for me, we should try to
17 allocate essential funds that are going to then
18 multiply the impact of every fund that are
19 available. And especially after what we've been
20 living through, we're going to have less and less
21 funds that are allocated to this.

22 So that's one point.

23 And the second one is actually, simply,
24 all of those actually can be contributing to the
25 response that we have, you know, in terms of,

1 essentially, putting people back to work.

2 MR. REINECCIUS: I'd like to support what
3 Abdellah is commenting but I'd also make an
4 additional point.

5 I think that attempting to directly fund
6 the equipment when the property owners and the
7 real estate, which is the essential decision
8 maker for the long run, is not a good use of
9 funds. I think guaranteeing some level of
10 performance, to Rajiv's point, is a good idea.
11 But I also think that funds need to be shifted to
12 the upfront, the development, the location, and
13 the education of the real estate partners that we
14 want to get in because those are the people that
15 have access to the funds. They have the balance
16 sheets. They have the credit. They have the
17 cash flow from the rents of their properties.
18 And they can bring far more capital at lower
19 costs, even than the utilities, especially
20 utilities who are credit damaged and emerging
21 from bankruptcy.

22 So we can get much better leverage and
23 more infrastructure and more miles driven on
24 electricity if we focus on encouraging those
25 property owners to make investments but with

1 reduced risk and increase their education.

2 MR. CHERKAOUI: Let me double up on this,
3 Stacey.

4 If we have business models that actually
5 have shown historically quickly bring in private
6 capital, a lot more than just selling kilowatt
7 hours, shouldn't we actually use those to
8 leverage the public funds and have a multiplier
9 effect on those? And I think we can show this,
10 we can prove it. We have history on this and,
11 you know, those would be incredible ways to,
12 essentially, show, so put data on one side and a
13 multiplier of bringing in private capital for any
14 public funds.

15 We know we have to deploy millions of EV
16 chargers in order to get where we want to be. We
17 know this. There is no question it has to be
18 done with utilities. There is no question it has
19 to be done with public funds. But how do we,
20 essentially, use, leverage, prove, show the usage
21 of private capital where we have a few models?
22 And we have been experimenting, some of us have
23 been for a while now, and we can prove it. We
24 can show it. And, in fact, our investors will,
25 essentially, say, hey, these guys have figured

1 out one key thing. And all of this is
2 complimentary. I'm not saying one model is
3 better than the other --

4 MR. REINECCIUS: Correct.

5 MR. CHERKAOUI: -- but there are so many
6 multiple use cases. I'll stop there.

7 MR. REINECCIUS: I do agree with you on
8 that. My point is just that we have got to bring
9 the whole universe of potential drivers and
10 customers in rather than just the low-hanging
11 fruit elements.

12 I think what you guys have done with the
13 advertising support and what I see other folks
14 starting to do with advertising support is a
15 great way to get awareness and start to build
16 that demand. But people are not going to
17 necessarily fall completely within a single model
18 for all their charging needs. I think people
19 will charge in many different ways but we have to
20 provide an infrastructure that encourages them to
21 buy a vehicle. And we have to get them to be
22 able to rely and feel comfortable on that
23 vehicle.

24 Especially when there are power outages
25 that are projected for the next ten years,

1 according to the CEO of PG&E, we have to have
2 resilience, which means battery. We have to
3 speed. And we have to have minimal utility
4 interaction in terms of infrastructure, you know,
5 to Anand's point and to FreeWire's point.

6 So I think everybody that has made a
7 presentation has a piece of the elephant for
8 sure. But I think we need to focus less on
9 building ports. And much to Noel's comments
10 about TERPA, we need to focus on how to
11 effectively get more vehicles served for a given
12 dollar and more miles served for a given dollar
13 than just getting ports in the ground.

14 MR. SHAH: I think an attendant issue,
15 and this is especially an impact on DC fast
16 charging deployments, is if we can -- if you get
17 it wrong on a DC fast charging deployment and the
18 band doesn't materialize because the site was the
19 wrong site, well, you've sunk most of your costs,
20 at least 50 percent, sometimes as high as 80
21 percent of your costs, underground. You're not
22 moving that fast charger for -- economically,
23 unless you have something that is sort of
24 infrastructure-light. And so we -- the Boost
25 Charger is grid-tied and stationary but it can

1 actually be practicably -- be relocated; right?

2 And so, you know, are we getting ahead of
3 ourselves in some of these instances with massive
4 grid infrastructure upgrades when we do have a
5 lot of fast chargers? I know this anecdotally,
6 but I also know the data probably bears this out,
7 that to just unutilized all day through
8 California, and that dynamic may never change,
9 even if EV adoption goes where we all hope it
10 goes in the coming years.

11 MR. REINECCIUS: I think that your point
12 about grid light and Anand's point about behind-
13 the-meter are absolutely essential. We agree and
14 that's the way we've designed our EV systems as
15 well. And the characteristic, not only in our
16 experience, projects that we did, for example, at
17 San Francisco, we had about 90 percent of our
18 cost was dealing with the utility, not even the
19 equipment. So -- and 18-month-plus delays due to
20 having to do infrastructure upgrades.

21 So we went back and we did a whole next
22 generation of our technology to eliminate those
23 upgrades wherever possible because it was the
24 utility that was the bottleneck, not the interest
25 from the drivers.

1 But behind-the-meter is definitely
2 something to support.

3 MR. RANGARAJAN: Let me --

4 MR. OLSON: Commissioner Monahan, I think
5 Commissioner Rechtschaffen, also, had raised his
6 hand. There's time for more questions.

7 COMMISSIONER RECHTSCHAFFEN: Well, I
8 don't know, Tim, if there's time enough. This
9 was very interesting to hear the panelists talk
10 among themselves. So you tell me whether or not
11 there's time?

12 MR. OLSON: I think we have about 15
13 minutes total for their remaining Q&A, which
14 includes the stakeholder Q&A.

15 COMMISSIONER RECHTSCHAFFEN: Okay. Well,
16 I first want to thank Stacey and Marc and Rajiv
17 and everybody. Stacey correctly pointed out that
18 years ago, several years ago I said, "There's no
19 unlimited public funding for charging," and
20 that's even more the case now in the context of
21 the gaps and the needs. But you guys are all
22 coming up with very creative ways to fill the
23 gap.

24 I have time for two questions.

25 Marc, if I could ask you about EnelX's

1 focus on tariff solutions. Is the big advantage
2 there just it's the cost for the infrastructure
3 upgrades are predictable and knowable? Is
4 that -- they're -- as I -- I'm not understanding
5 you to suggest that they be socialized and paid
6 for by all the ratepayers, just the customers
7 causing the upgrades, but that they are
8 predictable. But maybe you can explain?

9 MR. MONBOUQUETTE: Sure. I think the
10 basic premise is that the expectation for service
11 for infrastructure is predictable. The cost of
12 whatever upgrade might be entailed is going to
13 vary by site and by customer type. But just the
14 availability to pursue a project and know that,
15 you know, utility has, you know, A, B and C
16 responsibilities for deploying infrastructure on
17 a certain timeline and that, at some point, the
18 cost of any upgrades will be known. You know,
19 just laying out a standardized process, like is
20 established for DG interconnection, would go a
21 long way towards enabling some of these new
22 financing approaches.

23 And that's inclusive of the
24 recommendation to put a load management or
25 behind-the-meter option for meeting some of those

1 infrastructure upgrade needs directly against the
2 cost of that upgrade. So it's a way to look at
3 deploying VGI in the early days of the market in
4 a way that doesn't require, you know, a lot of
5 administration or cost tests or anything like
6 that.

7 COMMISSIONER RECHTSCHAFFEN: Thank you.
8 And we don't have time for this but I would be
9 interested if you could share with us in more
10 detail your ideas for on-bill financing that you
11 mentioned, since that's something that's of
12 interest to all of us, especially as a way to
13 deploy low-cost capital and stimulate investment?

14 I have a question, quickly, for Stacey.

15 Stacey, I heard you say -- or not -- I
16 looked in your slides. And one of the points you
17 made in one of your slides is that it's really
18 important to clarify the cost responsibility of
19 Ruel 16-related costs. And I don't know exactly
20 what you were referring to. Just have a clear
21 rule that these costs are socialized or what?

22 MR. REINECCIUS: No. This goes back to a
23 project that we did a lot of work on. You are
24 probably familiar with our San Francisco
25 deployment in multifamily that wound up having to

1 be stopped due to time delays and issues around
2 the SGIP incentives. In the course of that, we
3 found that in 100 percent of the buildings with
4 400 amp services, as verified by onsite
5 inspection, that the utility had undersized the
6 dropline to those buildings by between 65 and 75
7 percent, meaning that if you actually attempted
8 to draw the building's rated capacity according
9 to its main breaker, that you would overload the
10 dropline and potentially cause a fire.

11 And the utility admitted in front of PUC
12 Staff, after we filed a complaint, that they had
13 done that as a method of ensuring that property
14 owners would pay for an additional fee to upgrade
15 those lines when they actually needed it, as
16 opposed to doing the safe thing which was sizing
17 the droplines to the size of the service in the
18 building.

19 The eventually relented in our case but
20 not as a general matter. So we went from a
21 \$186,000 per building utility fee to \$6,000 as a
22 result of that complaint. But I'm sure that
23 other people are encountering the same thing,
24 especially given that they said that this had
25 been a longstanding policy on their part to

1 undersize the droplines.

2 COMMISSIONER RECHTSCHAFFEN: Thanks.

3 MR. REINECCIUS: You know, with the
4 advent of more and more vehicles and the progress
5 towards full electrification, they're creating an
6 unsafe condition in over 2.2 million buildings
7 just in PG&E territory, so that needs to be
8 addressed.

9 COMMISSIONER RECHTSCHAFFEN: Thank you,
10 Stacey. Okay. Thanks very much.

11 MR. OLSON: So are there other comments
12 from Commissioners? Okay.

13 So I think we have a few minutes, just to
14 go through some of the questions I've proposed
15 here.

16 And, Anand, I'd like to ask you, now you
17 heard the testimony that we have a limited amount
18 of incentive money. And COVID-19 may have it
19 be -- may create an impact on that, what's
20 available in the near term.

21 Is there a limit on the available private
22 capital to make investment in this area? And you
23 need to un-mute.

24 MR. RANGARAJAN: Thank you, Tim. I'm
25 sorry I'm having so much trouble with my Zoom

1 connection.

2 Yeah, you know, I was going to make the
3 case that it's possible, even under the current
4 conditions, to lever government funding
5 significantly, by as much as maybe 40 times.
6 There's plenty of money sitting in the sidelines,
7 looking for clean investments, but there are not
8 enough projects to go around.

9 And I was going to say that it's not a
10 question of whether the state government should
11 lend money into the projects with loan
12 guarantees, low-interest loans, and things like
13 that. There's plenty of that funding available
14 on PURPA projects once they are de-risked.

15 In my opinion, and it follows kind of the
16 track in the solar business, the most difficult
17 part of the funding to raise is the early stage
18 risk capital prior to construction. And I was
19 going to make the case in my presentation that
20 CEC and other agencies, possibly, should
21 participate in this early stage development with
22 the developer with an equity investment rather
23 than traditional methods of providing grant
24 funding or loan guarantees and things of that
25 nature. And that equity investment would signal

1 many, many different things and it will
2 facilitate many things, including aggregation of
3 projects.

4 One of the challenges in this kind of
5 infrastructure project is that the infrastructure
6 assets are distributed and the individual
7 investments are small, and so you need a way to
8 aggregate the projects. And if you don't want to
9 aggregate the projects, there's plenty of
10 financing available from traditional
11 infrastructure funds. And just like solar, it's
12 entirely possible that the EV infrastructure will
13 become an asset class unto itself and it can
14 participate in long-term infrastructure financial
15 markets quite easily and maybe even asset-backed
16 security.

17 So to your point, there's plenty of money
18 available in the private markets. And I believe
19 there is also plenty of incentives already within
20 the California state government to things like
21 LCFS, whose funds are not properly being
22 utilized, at least in the EV infrastructure
23 business, which can be used.

24 But I'm of the view that the critical
25 funding requirement is not how much money the

1 state should put in but when it should put in the
2 money and in what form. And I'm an advocate for
3 putting in the project early on in the
4 development as equity funding, not as grant
5 money. The equity can be paid back. Maybe even
6 the state government could make money on it for
7 reinvestment purposes. But this is a way to not
8 rely on either IOU-type allocations or other
9 state funding mechanisms. This is a way to
10 unlock private capital systematically and in a
11 predictable fashion.

12 I don't want to take too much time. I'm
13 sorry I had so much trouble with my Zoom
14 connection.

15 MR. OLSON: No problem. Thank you very
16 much.

17 I think we have to shift over to the
18 attendee Q&A at this point.

19 But each of the panel members, one of the
20 questions I'd like to ask, we don't have to go
21 into this, but if you could submit into our
22 docket the top recommendation or top couple
23 recommendations for what you change in the
24 existing government interventions, grant
25 programs, regulations, whatever it is, and also

1 your recommendation for new initiative and that
2 doesn't exist today that would help accelerate
3 this market adoption.

4 MR. RANGARAJAN: Okay.

5 MR. OLSON: I'd appreciate if you could
6 submit that in our docket.

7 MR. RANGARAJAN: Okay.

8 MR. OLSON: So, Heather, I'm going to
9 turn this back over to you and we'll see if we
10 have time for some Q&A.

11 MS. RAITT: Yeah. Thanks Tim. This is
12 Heather Raitt. And thank you to all the
13 panelists.

14 It actually looks like we don't have any
15 Q&A from the attendees right now. So barring any
16 burning questions, I think we could probably
17 close out this panel, unless there was another
18 burning question you had, Tim.

19 MR. OLSON: Well, I think it's going
20 to -- I have a question for all of the panel
21 members. I think we're going to run over.

22 MS. RAITT: Okay. All right. Well, then
23 maybe we should close and just move on to your
24 presentation?

25 MR. OLSON: Okay. So I appreciate it

1 everybody. Thanks again for your participation.
2 And I'm going to do a quick summary of another
3 parallel proceeding and what we found in that
4 process so far.

5 So let's go to the first slide on that
6 please. Okay.

7 So what I've found in this, we initiated
8 a proceeding that is trying to do three different
9 things but, primarily, trying to attract -- what
10 effort is needed to attract greater amounts of
11 private capital into -- in the case of this
12 proceeding, it's basically a whole range of clean
13 transportation project opportunities.

14 And it starts, it begins -- it began,
15 actually, back in the March-April time frame as
16 an information gathering. We refer to it as a
17 request for information. And what we envision is
18 this will be, probably, a year, a year long or
19 year-and-a-half long activity. And -- but we
20 posed some questions to outsiders. And it's a
21 whole range of investor types, many, like Anand,
22 who are private equity, smaller kind of nimble
23 equity investor-type of companies, some
24 commercial banks, definitely investment banks,
25 New York investment banks, pension funds, a whole

1 range.

2 And then we've also opened this up to
3 developers, host site owners, vendors from the
4 whole range. Originally, this was focused on
5 only -- well, our thought was infrastructure and
6 fuel production. But as we went through some
7 discussions we found that there's a great
8 interest in vehicle investing, and particularly
9 in leasing programs, so we added that into this
10 effort.

11 And the objective is to do two -- do
12 three things. One, as you could see the theme
13 from that panel is should -- are there things we
14 could be doing to modify the existing programs
15 and incentive efforts right now? And are there
16 other things missing that could trigger more
17 capital investment? In fact, what we've found is
18 that second category, new initiatives, is where
19 we had lots of input from investors. And the
20 whole point of all this is if we see some ideas
21 that we want to try out in a pilot kind of basis,
22 that we deploy our existing money and try out
23 things to see whether they work and whether they
24 can scale up.

25 Let's go to the next slide. And can we

1 go to the next slide please?

2 And these are the entities that we have
3 been seeking information from. It's a whole
4 range of, mostly, investor, fuel development, our
5 sister agencies. All the state agencies are --
6 have been invited into this process, so it just
7 not -- would not only affect us but could be some
8 insight for how they're deploying their money.

9 Let's go to the next slide.

10 And we have achieved a couple different
11 things in this docket. We have close to 30
12 different docket submittals and probably another
13 20 entities that want to make comments. And I've
14 kind of divided these. It's really hard to do
15 this in a couple slides, to summarize everything
16 that we got. And I want to thank Kasha Carr
17 (phonetic) and Neil Kenney (phonetic) for helping
18 me put this together. They've been summarizing
19 all the comments.

20 In essence, you heard today, this panel
21 session this afternoon was this idea of exploring
22 mechanisms to aggregate demand and scale-up of EV
23 charging. And the nature of that is what one
24 company described as configuring the charging,
25 the physical location of the charging and the

1 timing of the charging, to match up to other
2 revenue streams and other demands. And those
3 things, you heard in this panel, include ideas
4 like matching up to the ISO balance -- imbalance
5 market, week-ahead/day-ahead renewables, storage,
6 grid ancillary services, and demand charge
7 management are some of them. And each one of
8 those has different maturity levels and different
9 potential revenue streams.

10 But the idea is if you aggregate a number
11 of charging sources, vehicles and locations, that
12 you have a volume that could make a difference in
13 those other markets. And it's still -- this is
14 all still on the stage of kind of early
15 development. The panel members today are
16 examples of those that excel at that. And I'd
17 say one key attribute you see in all those
18 companies is their software platform
19 understanding and their expertise in managing
20 data and knowing what's going on in the holistic
21 market.

22 We heard other things, like align all the
23 programs of the existing programs. And you hear
24 this from entities like CALSTART that we have a
25 funding forum where all the agencies meet,

1 including state, federal and local, and how to
2 figure out how to align the vehicle
3 infrastructure and other incentives together and
4 try to make it get a bigger bank for the buck, so
5 to speak?

6 We -- you heard Stacey Reineccius comment
7 about this integration of EV charging with solar
8 and this idea of leveraged real estate, his
9 example, multi-unit dwellings. We heard,
10 remember, in earlier workshops that the most
11 difficult market was MUDs. And, in fact, we
12 heard testimony that no one sees an answer to
13 that. Well, you heard a person today describe
14 potential solution. And I won't go through all
15 of these different things.

16 Let's go to the next slide because this
17 is the area where most of this input came from
18 investor types. And they said three things --
19 basically, two things. Make sure you keep the
20 LCFS in position. That is the kind of foundation
21 if you want our investment to flow. But we need
22 to see some kind of long-term contract approach.

23 So what Noel presented under TERPA, or
24 what Commissioner Rechtschaffen was talking
25 about, may be an offshoot of that reserve option,

1 lowest priced bid type. That tends to create
2 long-term contracts.

3 And the investors also said, if you
4 establish a multi-year, very certain investment
5 tax credit idea, and then it could displace,
6 pretty much, all of the government grant
7 programs. And so that idea is coming from kind
8 of the more established investment banks, the
9 bigger investment banks, who want to deploy lots
10 of money. And that really depends on the
11 maturity of different areas in the clean
12 transportation fund.

13 Interestingly enough, the loan guarantee
14 idea was the only reference that I saw in the
15 submittals in our dockets that refer to loans.
16 In fact, I think Anand kind of referred to this
17 as it really is a risk capital investment up
18 front for this electric vehicle charging
19 infrastructure.

20 And the question was: Would a loan really
21 make sense versus a grant? And our experience
22 with trying a pilot out through the State
23 Treasurer's Program, a \$2 million pilot, that has
24 not worked. In essence what we found is if you
25 have a loan program side by side with a grant

1 program, no one is going to use the loan. And it
2 wasn't leveraged very well on the two
3 applications that came into that. It needs some
4 tweaking.

5 And I know there's a lot of discussion at
6 the Governor's Office. My interaction with Go-
7 Biz, specifically Dan Adler, OPR, the Office of
8 Planning and Research, refers to a lot of loan
9 kind of programs. I'm not so sure that they're
10 the best options and -- but we need to probe and
11 do more work on this, so that -- let's go to the
12 next couple of slides.

13 And, in essence, we're -- I kind of
14 referred to this already. Let's go to the next
15 slide.

16 What we're planning to do is put this
17 together to summarize these comments. Maybe,
18 Commissioner Monahan, this may be the first time
19 you've heard some of this. We were planning a
20 briefing for you in early July. Your office is
21 looking for a time frame for that. And the idea
22 is still form some workgroups so you get dialogue
23 between all these parties, including the
24 investors, the developers, the host sites, the
25 vendors, et cetera, and possibly doing workshops

1 from that. A lot of the discussion tends to be
2 one-on-one meetings or small workgroups at this
3 point. And then see whether those ideas can be
4 tested out at pilot solicitations, at least from
5 our agency's standpoint.

6 I think let's go one more slide. I think
7 I'm finished with this. Yeah. That's it. So if
8 you have any questions, I'm open to that.

9 COMMISSIONER MONAHAN: Great. Thanks
10 Tim. I I'll hold off questions until we have a
11 deeper dive sometime in July but thank you. I
12 don't know if, Commissioner Rechtschaffen, if you
13 have any questions for Tim or -- I know you had a
14 hard stop soon.

15 COMMISSIONER RECHTSCHAFFEN: Yeah. I've
16 got to leave in about ten minutes. I want to
17 thank everybody.

18 Tim, the loan guarantee program that
19 didn't work, you said it was side by side the
20 grant program. I don't know, are you drawing
21 broader conclusions from that or just the obvious
22 conclusion, that if you can get money for free
23 you're not going to use a loan guarantee program?
24 But for your experience and the feedback you got,
25 what is your sense of the utility of those

1 programs more broadly?

2 MR. OLSON: Well, from one standpoint
3 the -- it's a loan. It's a direct loan. Our
4 money was deposited in the Treasurer's Office.
5 They have an existing group of commercial banks
6 registered under their CalCAP loan program, which
7 means it's a small business loan program. The
8 minimum -- the maximum investment is \$500,000.
9 So quite often the projects were restricted just
10 by the amount that was expected but -- so bigger
11 projects, and even medium-sized projects, just
12 really wouldn't qualify for this. And there was
13 not a leverage from that loan.

14 But what we have found in another area, I
15 have a meeting tomorrow with insurance companies,
16 several insurance companies, to explore the
17 state-backed guarantee to deploy insurance money
18 investments in different kinds of projects where
19 they're securitizing those -- that investment
20 through repayment from selling insurance policies
21 for -- insurance policies and warranties on the
22 equipment for the installations. And so would it
23 cover everything? No. But it's a significant
24 investment from a private source. And they are
25 specifically interested in a handful of projects

1 that they want to bring forward.

2 And the point of that was it would be
3 great to have a state-backed guarantee for that.
4 The issue with a guarantee is if something goes
5 wrong, is there a big drain on the State Treasury
6 to pay that back? And, you know, if meaning
7 something goes wrong, bankruptcy, failure of the
8 technology, it's really a question of how
9 comfortable is the state government putting out
10 either a loan or a guarantee and having
11 assurances that they're going to get repaid or
12 that there won't be a big draw on the Treasury?

13 COMMISSIONER RECHTSCHAFFEN: Okay.
14 Thanks. And I'm just going to -- I have to sign
15 off in about five minutes, so I want to extend my
16 thanks to -- deep appreciation and thanks to the
17 CEC staff, my fellow Commissioners, all the
18 panelists for an excellent three-part workshop, a
19 lot of ideas that we've heard and a lot of
20 interesting food for thought, very, very
21 substantive and very well done. So thank you
22 very, very much everybody.

23 MS. RAITT: Thank you, Tim.

24 Thank you, Commissioners.

25 With that, it sounds like we are ready to

1 move on to the public comment portion of our
2 workshop.

3 Excuse me. And I am Heather Raitt. I
4 should have announced myself.

5 So we're asking folks to limit comments
6 to one person per organization and three minutes
7 per speaker. And if you're on Zoom, you can go
8 ahead and raise your hand using the raise-hand
9 function. And there you go. Someone just used
10 it. That let's us know that you'd like to
11 comment.

12 And if you're on the phone and you wanted
13 to comment, press star nine to raise your hand.
14 And then for muting and un-muting your phone, you
15 press star six.

16 So we have RoseMary Avalos from the
17 Public Advisor's Office with us today to help
18 manage the public comment.

19 So go ahead, RoseMary.

20 PUBLIC ADVISOR AVALOS: Okay. Thank you,
21 Heather.

22 I'll first call on attendees using the
23 raise-hand feature on Zoom. Please state your
24 name and affiliation for the record. Also, spell
25 your first and last name after you are un-muted

1 and before commenting.

2 Cory Bullis please.

3 MR. BULLIS: Good afternoon. You have
4 Cory Bullis here on behalf of the Electric
5 Vehicle Charging Association. My name is spelled
6 C-O-R-Y B, as in boy, -U-L-L-I-S.

7 I just wanted to respond to a question
8 raised earlier in today's discussion by
9 Commissioner Monahan about the potential for, you
10 know, shifting away from incentives for EV
11 charging stations. You know, when is the time to
12 do that?

13 I guess I would just say generally, you
14 know, while, of course, as an industry, we don't
15 want to be dependent on incentives forever.
16 Certainly as it relates to the short term or as
17 we think about the short term, we definitely
18 think it's too soon to be shifting away from
19 incentives or ramping -- actively ramping down
20 incentives. I think as always, while we have made
21 great progress in deploying charging stations, we
22 still have a long way to go to truly reach the
23 inflection point we're looking for in terms of
24 achieving, you know, true economies of scale,
25 enabling mass deployment of charging stations

1 across many different use cases.

2 In our view, CALeVIP, which has been
3 instrumental in deploying EV charging stations,
4 is still young. There have been some incentive
5 project areas that have gotten off the ground
6 later compared to others, so we still think it's
7 kind of young, new, and we're still counting on
8 that program and incentives, generally, to keep
9 spurring EV charging deployment.

10 And just, I mean, I know everyone knows
11 this by now but at least, you know, right now
12 with the current climate we're in with COVID and
13 a recession, this is that much more true in terms
14 of needing incentives, at least as it relates to
15 the short term.

16 Thank you.

17 PUBLIC ADVISOR AVALOS: Thank you, Mr.
18 Bullis.

19 Next commenter, Mark Roest, go ahead.
20 Un-mute your line please.

21 MR. ROEST: This is Mark Roest with
22 Sustainable Energy, Inc. M-A-R-K R-O-E, as in
23 Edward, -S, as in Sam, -T, as in Tom.

24 And I'm -- Simon and Phillip and others,
25 we would like to see some financial support for

1 completing development in commercializing a
2 family of technologies that creates breakthroughs
3 in batteries and solar PV. Our batteries are
4 designed to store 1,500 kilowatt hours per
5 kilogram shortly after mass production begins in
6 two years, probably, at \$100 per kilowatt hour
7 pricing. As far as ceramic semiconductors, so
8 far, is not an issue. That capacity is five to
9 seven times where the rest of the lithium battery
10 industry is headed.

11 The solar PV, also a ceramic
12 semiconductor, is headed to 36 to 48 percent
13 efficiency at competitive per week per kilowatt
14 peak prices, so it will take about half the space
15 in canopies over the bus or truck yard that
16 today's flat panels take. This means it will be
17 cost competitive with cash flow -- in cash flow,
18 if financed, to generate over 90 percent of the
19 electricity in regard to annually onsite, very
20 little impact on the grid.

21 I said if we can get financial support
22 because we are in the valley of death and out of
23 money but we're working on the technology anyway
24 for -- working on battery technology for 7 years
25 very actively and 20 years, including the

1 research before that. And the solar technology
2 goes back to 1973 when it was patented -- 1983,
3 sorry, when it was patented.

4 I'm done.

5 PUBLIC ADVISOR AVALOS: Okay. That
6 concludes the comments from Zoom, as well as the
7 phone line, and I'll hand it over to Heather.

8 MS. RAITT: Okay. I just want to -- this
9 is Heather Raitt. I just wanted to give folks a
10 moment more to press star nine if they're on the
11 phone and wanted to comment. Okay. It doesn't
12 look like this.

13 So, Commissioners, I don't know if you
14 have any closing remarks you'd like to make?

15 COMMISSIONER MONAHAN: Well, just thanks
16 to everybody. I'll reiterate what Cliff said.
17 It was really just a great substantive two days
18 of information. We have a lot of food for
19 thought. And looking forward to working with
20 Heather and the other folks that are helping
21 write the IEPR to see how we can distill this
22 information and communicate it out.

23 So I'd also encourage folks to give us
24 some feedback in written form if you weren't able
25 to share what you wanted to share today,

1 preferably.

2 So thanks everybody.

3 (The workshop concluded at 4:45 p.m.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of September, 2020.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

September 29, 2020