

| DOCKETED | |
|-------------------------|---|
| Docket Number: | 20-IEPR-02 |
| Project Title: | Transportation |
| TN #: | 234949 |
| Document Title: | Transcript - 7-15-20 - SESSION 1 Energy Resilience and ZEVs |
| Description: | ZERO-EMISSION VEHICLE RESILIENCE AND THREE REVOLUTIONS IN TRANSPORTATION |
| Filer: | Raquel Kravitz |
| Organization: | California Energy Commission |
| Submitter Role: | Commission Staff |
| Submission Date: | 9/29/2020 3:53:13 PM |
| Docketed Date: | 9/29/2020 |

CALIFORNIA ENERGY COMMISSION

In the Matter of:)
)
 2020 Integrated Energy Policy) Docket No. 20-IEPR-02
 Policy Report Update) REMOTE ACCESS WORKSHOP
 (2020 IEPR Update))
 _____)

IEPR COMMISSIONER WORKSHOP

CALIFORNIA ENERGY COMMISSION

ZERO-EMISSION VEHICLE RESILIENCE
AND THREE REVOLUTIONS IN TRANSPORTATION

REMOTE VIA ZOOM

SESSION 1: Energy Resilience and ZEVs

WEDNESDAY, JULY 15, 2020

1:00 P.M.

Reported by: Peter Petty

APPEARANCES

CEC COMMISSIONERS PRESENT:

Patty Monahan, 2020 IEPR Update Lead Commissioner
J. Andrew McAllister, Commissioner
David Hochschild, Chair
Karen Douglas, Commissioner

STAFF PRESENT:

Heather Raitt, Assistant Executive Director, Policy
Development
Jonathan Bobadilla
Noel Crisostomo
RoseMary Avalos, Public Advisor's Office

PANELISTS:

Bjoern Christensen, Next-Dimension
Ryan Harty, Honda
Jackie Birdsall, Toyota
Tim Shannon, Twin Rivers School District
Joe Callaway, AC Transit
Jana Ganion, Blue Lake Rancheria
Desmond Wheatley, Envision Solar
Susie Monson, FreeWire
Michael Pimentel, California Transit Association

ALSO PRESENT

Dan Sperling, UC Davis

PUBLIC COMMENT:

Jaimie Levin
DeLisa
Charlie Botsford

INDEX

| | Page |
|---|------|
| 1. Call to Order | 4 |
| 2. Zero-Emission Vehicles and Community Energy Resilience (Bjoern Christensen, Ryan Harty, Jackie Birdsall, Tim Shannon) | 12 |
| 3 Public Comments | 60 |
| 4. Energy Resilience for Zero-Emission Vehicles (Joe Callaway, Jana Ganion, Desmond Wheatley, Susie Monson, Michael Pimentel) | 70 |
| 5. Public Comments | 118 |
| 5. Adjournment | 124 |
| Reporter's Certificate | |
| Transcriber's Certificate | |

P R O C E E D I N G S

1
2 JULY 15, 2020

1:00 P.M.

3 MS. RAITT: So this afternoon session is on Energy
4 Resilience and Zero-Emission Vehicles. And then Sessions 2
5 and 3 are tomorrow starting at 9:30 in the morning.

6 These meetings are being recorded. We'll post
7 recording and written transcript on our website. Also
8 today's presentations have been posted on our website.

9 We're working on making our IEPR Workshops more
10 engaging and so we'll be taking a poll to get a better
11 understanding of who is attending today. We will also be
12 using the Q&A function in Zoom with the capability to vote on
13 questions posed by others. So attendees, you may go ahead
14 and type a question for panelists by clicking on the Q&A
15 icon. Before typing a question, please check to see if
16 someone else has already posed a similar question, and if so,
17 you can just click the thumbs up to vote on it. And the
18 questions with the most thumbs up clicks are uploaded to the
19 top of the list.

20 We'll reserve just about five minutes at the end of
21 each panel for the attendee Q&A. And so given those time
22 restrictions, we're unlikely to elevate all questions
23 received.

24 So now I'll go over how to provide comments on the
25 material on today's workshop. There is an opportunity for

1 public comments at the end of each session. In Zoom, click
2 the raise hand icon to let us know you'd like to make a
3 comment. And if you change your mind, you can just click it
4 again and your hand will go down. And for those who have
5 phoned in, press star 9 and that will raise your hand to let
6 us know you'd like to make a comment.

7 Alternatively, written comments after the workshop
8 are welcome and are due 5:00 p.m. on August 6th. And again,
9 the meeting notice gives you all the information for
10 providing written comments.

11 So with that, I'll turn it over to Commissioner
12 Monahan for opening remarks.

13 Thanks.

14 COMMISSIONER MONAHAN: Thanks, Heather.

15 So welcome everybody to our series, our IEPR workshop
16 series on transportation with a strong focus on zero-emission
17 transportation and some focus on near zero-emission
18 transportation. But we're really setting our sights on how
19 to -- how do we make sure that the transportation sector
20 contributes to the state goal of having a carbon neutral
21 economy by 2045.

22 And that pretty much means we need to electrify as
23 much as possible in the transportation system, and that can
24 be either battery electric vehicles or fuel cell electric
25 vehicles. And this set of panels in the afternoon is dealing

1 with a really important topic, well, two important topics.

2 First, how do we make sure that our transition to
3 zero-emission vehicles and zero-emission transportation helps
4 make our energy system more resilient? And there's primarily
5 a focus on the electricity grid, but there's all sorts of
6 ways that battery electric and fuel cell electric vehicles
7 can help deal with power outages, help us integrate
8 renewables more effectively and provide other grid services.
9 So that's the first panel.

10 The second panel is how do we make our vehicles more
11 resilient, and that's especially important when the power is
12 down. So the power is down and there's a -- and you need to
13 get out of a situation, you know. What are the flexible
14 technologies that would allow a driver of an electric
15 vehicle, a zero-emission vehicle, to be able to, to get to
16 where they need to go.

17 So really important series of topics and looking
18 forward to the discussion.

19 I know Commission McAllister is also here today.
20 Commission McAllister, do you want to say a few words?

21 COMMISSIONER MCALLISTER: Yeah, absolutely. Thanks,
22 Commission Monahan, really appreciate your leadership on
23 this.

24 I -- hopefully people can see me here. You guys
25 hearing me okay? Oh --

1 COMMISSIONER MONAHAN: Yes, we hear you and we see
2 you.

3 COMMISSIONER MCALLISTER: Oh great. Okay, perfect.

4 Yeah, so, I, you know, as all of you know, I oversee
5 our energy efficiency efforts and sort of load forecasting
6 and some of that analytical-type work, and I think this is an
7 area where, you know, the electric grid just is front and
8 center as a key resource for meeting our carbon neutrality
9 goals. And buildings and transportations are really siblings
10 in this. And, you know, buildings need to be all they can be
11 on the grid and transportation needs to be all it can be on
12 the grid, and they both contribute to resilience and to, you
13 know, our quality of life and our health in the best of
14 times, but certainly emergency response and resilience when
15 that's needed as well. And we have a lot of really great
16 technologies to help us in that endeavor.

17 But the fact that we're all knitted together in this
18 electric grid means that all the pieces up and down the chain
19 have to work together in concert in a big orchestra that
20 sounds nice and not a cacophony, which is something we
21 absolutely want to avoid, certainly in emergency situations.

22 So I think having these as resources that are
23 coordinated and really firing on all cylinders at all times,
24 particularly when we need them most. Transportation,
25 buildings, and all the pieces of this puzzle really have,

1 really are key, and so I'm really excited to see how this
2 particular topic can contribute to that whole.

3 And really want to thank again everyone -- Noel and
4 the staff and Heather for putting all of this together, and
5 Commission Monahan for your leadership. So, thanks a lot.
6 Looking forward to hearing the presentations.

7 COMMISSIONER MONAHAN: Great, thank you.

8 We also have joined on the dais Chair Hochschild.
9 Chair, would you like to say a few words?

10 CHAIR HOCHSCHILD: Thank you, Commissioner Monahan.

11 And Commissioner McAllister, I liked your analogy
12 very much about the symphony. So the Energy Commission will
13 do our best to be the symphony conductor and create some good
14 music in the years to come.

15 You know, I would just say looking ahead, this nexus
16 of the clean energy grid and clean transportation is
17 critical. They actually need each other and it's also a
18 template for other states. We obviously adopted the 100
19 percent clean energy mandate, a year and a half ago that went
20 into effect. We're already at 63 percent carbon free
21 electricity and retail sales, on our way to 100 percent. And
22 now there's 14 states that have adopted 100 percent clean
23 energy standards and I expect many more in the next few years
24 to join. And for this to be a success, we need to be
25 intelligent about our charging protocols. And so this is

1 also a model for other states. So all of this, I think,
2 is -- you know, the stakes are high not just for our state,
3 but for others that are watching closely.

4 With respect to EV manufacturing, I'll just point out
5 that we do have 18 zero-emission vehicle manufacturers in
6 California today. It's our leading export from the state and
7 it's growing. And looking at the investment coming in around
8 the world, it's extraordinary what's happening. And really
9 credit especially to Tesla, which is now more valuable than
10 the world's, you know, probably, certainly than all the other
11 U.S. manufacturers combined. But then, you know, probably
12 seven of the ten EV manufacturers, I mean, just an incredible
13 year, and I think the signal's been sent and, you know, we're
14 going to zero-emission transportation and it's got a great
15 nexus to help support us in getting to our 100 percent clean
16 energy goals.

17 So really, special thanks to Commissioner Monahan for
18 putting this together and to all the staff, and look forward
19 to the discussion today.

20 COMMISSIONER MONAHAN: Great. Thanks, Chair.

21 We also have Commissioner Douglas, so we have almost
22 a full contingency of our commissioners.

23 Commissioner Douglas, would you like to make a few
24 opening remarks?

25 COMMISSIONER DOUGLAS: Yes. Hi, good afternoon

1 everyone. I just wanted to say that I'm also looking forward
2 to this workshop very much, joining my commissioners -- my
3 colleagues' comments, the other commissioners that spoken.
4 And I'll look forward to joining the discussion as well.

5 Thanks.

6 MS. RAITT: Great. So I think with that, if we are
7 ready to move on to the first panel, unless -- sorry,
8 Commissioner, if I jumped in ahead of you there.

9 So the first panel is on zero-emission vehicles and
10 community energy resilience, and it's moderating by Noel
11 Crisostomo from the Energy Commission and we have Jonathan
12 Bobadilla from the Energy Commission who will help moderate
13 the Q&A from attendees.

14 So go ahead, Noel. Thank you.

15 MR. CRISOSTOMO: Good afternoon, everyone. My name
16 is Noel Crisostomo. I'm an air pollution specialist in the
17 Fuels and Transportation Division and working on electric
18 transportation planning and grid integration.

19 I'll be your moderator today and I want to spend a
20 few moments to set the table for the first panel on zero-
21 emission vehicles and community energy resilience, which
22 we'll discuss how automakers can work with individuals and
23 fleet EV drivers to lever their battery or fuel cell electric
24 cars as mobile storage resources during times of energy
25 emergencies.

1 In November of last year, during the widespread
2 public safety power shutoffs, NPR reported that an Intrepid
3 EV driver, Clarence Dold from Sonoma County, found an
4 interesting solution to using the energy source in his EVs
5 during the PSPS. Clarence connected his Nissan Leaf's
6 battery with jumper cables to an AC/DC inverter to a series
7 of heavy-duty extension cords to power a TV, refrigerator,
8 and lights. Spending \$200 on this setup, every few hours he
9 would check the energy he had consumed, and if it dropped too
10 much, he would drive five miles to a public charger that had
11 not been de-energized. Among the cacophony of generators
12 rumbling around his neighbor's houses, NPR concluded that
13 these setups for EV drivers could be quote, "the secret sauce
14 to surviving what's becoming the new normal in California."

15 We at the Energy Commission know that there needs to
16 be safe, clean, and simpler resiliency solutions for all, not
17 just EV owners. And so working with our sister agencies, we
18 are investing in technology and working on changes to
19 interconnection policies to support automaker efforts for
20 vehicle-to-grid, so that cars, electric school buses, and
21 other types of vehicles can more seamlessly offer energy
22 resilience to drivers, emergency centers, and other critical
23 loads.

24 Our DER research roadmap and vehicle grid integration
25 roadmaps highlight not only the potential for energy storage

1 to be used while installed within the vehicles themselves,
2 but also be repackaged as resiliency and reliability
3 resources during their second lives when they're no longer
4 suitable for transportation.

5 So we have assembled an expert panel that has been
6 working over the past decade to realize this vision. As
7 shown on this slide, I'll introduce them sequentially and
8 each will give a brief presentation.

9 Starting with Bjoern Christensen, managing director
10 at Next-Dimension. Next-Dimension advises clients focused on
11 e-mobility and vehicle grid integration, including the U.N.
12 Development Programme. Previously, Bjoern was chief strategy
13 officer at Nuvve where he worked on EPIC and European
14 Commission funded VGI projects and was CEO of Siemens Venture
15 Capital.

16 Bjoern, the floor is yours.

17 MR. CHRISTENSEN: Thank you, Noel. Let me jump into
18 it.

19 California is a world leader in e-mobility. So how
20 do we use this position to enhance energy resilience through
21 use of zero-emission vehicles?

22 Next, please.

23 California was first to mandate the catalytic
24 converter in 1981 and also adopt the zero-emission vehicle
25 regulation in 1990. And this has already had a large effect.

1 Above here, you'll see Los Angeles in 1975 and you see a
2 picture from this year. Also today we have approximately
3 750,000 EVs and plug-in hybrids on the road in California,
4 and our 2030 goal is 5 million.

5 Next, please. Next, please.

6 So the question is, will California also be the first
7 to introduce the electric, the energy resilient vehicles or
8 ERV? ERVs provide resilient mobile power when and where it
9 is needed in disasters through export of energy from their
10 batteries.

11 Next, please.

12 The ERV idea is pretty simple. Cars sold in
13 California must contribute to reduce air pollution and
14 greenhouse gases. EVs could provide emergency power.
15 Inexpensive technology is already available. So why should
16 EV technology not help California to provide energy
17 resilience in case of natural disasters or public safety
18 power shutoffs, both for homes, businesses, and communities?

19 Next, please.

20 Let's go back one year, not to forget the PSPS.
21 California governor declares statewide emergency over
22 wildfires in March 2019 because of the large fires we had in
23 2018. And on the right side, we see a picture from
24 Oakland -- from the business district, or a shopping district
25 where the power has been shut off and put police cars

1 patrolling the area. So the question is, is this going to be
2 the new normal in California? Hopefully not.

3 Next, please.

4 We have learned important lessons from Japan's
5 earthquake, 9.1 on the Richter scale, and the subsequent
6 tsunami in 2011. Millions of people were without power for
7 an extended period of time and there were substantial damage
8 to persons and to property. This experience led a number of
9 Japanese car OEMs to introduce bidirectional EVs and plug-in
10 hybrids for energy resilience in case of natural disasters.
11 And it also led to the introductions of vehicle-to-home
12 application being introduced in the marketplace in Japan.

13 Next, please.

14 Now bidirectional power flow is already in a few
15 inexpensive EVs. It's nothing new. And also in trials with
16 school buses. Here to the upper left, we see a Nissan Leaf
17 providing a microgrid vehicle-to-home emergency power to a
18 house. And below we see bidirectional school buses providing
19 community power.

20 It's important to notice that all EVs are already
21 born bidirectional. Acceleration and regenerative braking
22 transfers energy from the battery to the electric motor, and
23 from the electric motor back to the battery.

24 Next, please.

25 So the car manufacturers are not by themselves very

1 soon going to start introducing bidirectionalities in the
2 cars. They are too preoccupied with the transition to
3 electrical vehicles. So how can we incentivize common
4 factors to adopt ERVs? Proposed here is to use ERV credits
5 in analogy with CARB zero-emission vehicle credits. Here's a
6 screenshot of the California Air Resources Board, and we can
7 see here in blue, part of the text is to reduce greenhouse
8 gas emissions. We could add a text saying including making
9 communities more energy resilient.

10 And on the right, we could augment the zero-emission
11 vehicle definition with an energy resilient vehicle
12 definition. Under the ERV regulation distinct vehicle
13 designs are considered energy resilient if the vehicle can
14 provide emergency power in case of natural disasters like
15 earthquake or wildfires or as a result of power cuts to
16 prevent wildfires.

17 Next, please.

18 Now all the players must come together to help
19 California implement the energy resilient vehicle regulation.
20 The car manufacturers, utilities, the regulatory bodies, and
21 the emergency responders so we could get to bidirectional
22 electrical vehicles, and of course, EVSEs, which I have got
23 covered here. And then have clear rules for
24 interconnections, not only for DC, but also for AC. And ease
25 of how we could do microgridding, in case of PSPS.

1 Next, please.

2 So in summary, California faces dual existential
3 crises -- wildfires and earthquakes, and we must all chip in
4 and help. ERVs will mitigate the damage caused from natural
5 disasters by providing emergency backup power and, of course,
6 transportation. Currently, there are only a few Japanese EV
7 brands that support bidirectional power flow. The automotive
8 OEMs are unlikely to move soon towards bidirectionality
9 because they are preoccupied with the transition to
10 electrical vehicles. The California ERV approach should be
11 tied to the credit incentive of zero-emission vehicles.

12 And lastly, it's important to establish a policy
13 framework required for automotive OEMs to justify the
14 business case for EVs and EVSE bidirectionality.

15 Thank you very much.

16 MR. CRISOSTOMO: Thank you, Bjoern. This is an
17 interesting idea and we'll hear from some automaker panelists
18 on their reactions during discussion.

19 Our first automaker representative is Ryan Harty,
20 manager of environmental business development and engineering
21 at American Honda Motor. Brian is responsible for product
22 planning and business strategy on all aspects of vehicle grid
23 integration, including smart charging, vehicle-to-grid, as
24 well as renewable power procurements, among other projects.

25 Ryan, take it away.

1 MR. HARTY: Awesome. Thank you, Noel.

2 So next slide, please.

3 I think everybody knows that cars are usually parked.
4 And to us as automakers, we want to improve the value of this
5 product, not just to the customer, but to society by making,
6 taking advantage of the fact that it's there for the purpose
7 of doing other things. I think as Bjoern mentioned, there's
8 a lot that can be done with EVs. It's a very large energy
9 storage resource that's, frankly, sitting there for most of
10 the time. And if we look at the car parked and where cars
11 are parked, about half of cars don't even leave the home in a
12 typical day. So it's an incredible energy storage resource
13 that's just waiting to be exploited for the purpose.

14 So how do we in society, how do we as automakers,
15 find solutions to improve the value of this product both to
16 the customer and society?

17 Next slide.

18 The bidirectional capability of EVs, you know, really
19 opens up the ecosystem of possibility. And my group at Honda
20 has been lucky enough to be exploring these values since
21 2011. What I'm showing here is the Honda Smart Home U.S.
22 that's at UC Davis, and it was built to explore that
23 question. So how can we meet California's zero net energy
24 goals, including the energy used for transportation?

25 So this is a zero net energy home that has 10

1 kilowatts of solar PV that provides 100 percent of the
2 energy, all energy flows in the house, for heating, cooling,
3 hot water, cooking, lighting, plug loads, and transportation,
4 all from the alternate solar PV input. We -- in addition, it
5 has energy storage, both thermal energy storage in the slab
6 in boreholes behind the -- the home, and in a stationary
7 battery, 10 kilowatt hours, a half of a CVD battery stuffed
8 into a box, and also 20 kilowatt hours from the CVD.

9 So we're been operating since 2016 in what we call
10 V2H mode, where the vehicle can back up the home, and doing
11 complete V2G bidirectional power flow to the car since 2018
12 at the Honda Smart Home. And one of the really interesting
13 values for this is that the car can completely -- oh sorry,
14 the home can completely isolate from the grid in the case of
15 some grid outage, providing -- still able to charge the car,
16 provide all of the energy needs of the car, and balance
17 itself as a microgrid, providing 100 percent energy security,
18 both for living and transportation to the customer.

19 So these are some of the really cool things that we
20 can do utilizing the bidirectional power capability and
21 energy storage of the cars. And for fun, we developed what
22 we call Power Exporter 9000 for the Japan market. As Bjoern
23 mentioned, Japanese OEMs got together and under the guidance
24 of Japanese government to really figure out and standardize
25 how to, how to use cars for energy storage and resiliency.

1 And so we developed Power Exporter 9000 for the Japan market,
2 and you can essentially take your Clarity EV, Clarity plug-in
3 hybrid, Clarity fuel cell car and take 9 kilowatts of AC
4 power out of the car for whatever you happen to want to plug
5 into. And so that's been a great project and enlightening
6 about what, what you can do with the vehicles.

7 So next slide.

8 Now if we want to scale this image up, you know, you
9 really need to think about massive renewable energy
10 generation. While using the incredible flexibility of EV
11 charging and the storage capacity of EVs in order to mitigate
12 the intermittency of renewable energy generation. I'm
13 including a, an artist's rendition here. This is of the
14 Boiling Springs Wind Farm where between two large virtual
15 power purchase agreements, Honda has contracted for 60
16 percent of all of the electricity that Honda uses in North
17 America supplied by renewable energy.

18 The challenge is, of course, mitigating the
19 intermittency of the power. How do you supply an energy
20 system of electricity to plants and operations and people
21 customers a day and also to transportation? But the
22 incredible flexibility that is afforded by EVs and seasonal
23 energy storage that's afforded by converting electricity,
24 renewable electricity, into hydrogen for transportation
25 really enables us to use transportation as the backbone of

1 the flexibility resource of the, of the renewable energy
2 generation system.

3 Next slide.

4 One of the other things we're very interested in is,
5 you know, how can you use this bidirectional flexibility to
6 improve the value proposition of installing EV charging? And
7 we think there's a role for workplaces, multiunit dwellings,
8 and any area where the business of installing EV charging is
9 challenged to use the values of energy storage to improve
10 that value proposition for a site host to install EV
11 charging. And I would really like to explore that further
12 and deeper in the discussion today.

13 Thank you very much.

14 MR. CRISOSTOMO: Thank you, Ryan.

15 Next we have Jackie Birdsall, senior engineer in
16 research and development at Toyota North America. Jackie
17 works on fuel cell system design, including controls and
18 storage tanks for hydrogen for a variety of Toyota projects,
19 including the Mirai, Project Portal, and the UNO.

20 Did we lose Jackie?

21 MS. BIRDSALL: I'm still here, Noel.

22 MS. RAITT: We can hear you now, Jackie. Do you want
23 to turn on your video? This is Heather.

24 MS. BIRDSALL: It says it has, the host has disabled
25 my video.

1 MS. RAITT: There you go. Now we hear you and we see
2 you. Go ahead.

3 MS. BIRDSALL: Oh, perfect. Okay, great. Well, you
4 know, nothing goes perfectly.

5 Thank you, Noel, for the introduction and thank you
6 to the Commissioners and the staff at the CEC for the
7 opportunity to present Toyota's perspective on this as well.

8 So when we think of energy resiliency, we also think
9 of electrification, as Commissioner Monahan mentioned, and
10 also energy diversity, as well as renewable generation. And
11 so, following those themes, Toyota has pursued what we call a
12 portfolio approach of electrified options for our vehicle
13 fleet to provide our customers with a choice when it comes to
14 driving zero-emission vehicles. And that includes fuel cell
15 electric, battery electric, plug-in hybrid electric, and
16 hybrid electric.

17 Our goal is by 2025 to sell 5.5 million electrified
18 vehicles globally, and that's one step on our path to get us
19 to what we call Environmental Challenge 2050, which is a
20 reduction of our fleet average CO2 output by 90 percent,
21 compared to our 2010 models. And we believe that this
22 strategy will not only allow for energy resiliency, but also
23 improve areas of our infrastructure that would support our
24 consumers and our local communities. Really, the discussion
25 we're having today.

1 And what I mean by this, is -- improving our
2 infrastructure, is by one, having a, seeing an increase in
3 renewable generation of electricity and hydrogen, and then
4 also kind of similar to what Ryan mentioned, a new value
5 proposition for vehicle-to-home, vehicle-to-grid, or some
6 other power takeoff capability to provide backup power when
7 needed.

8 If you'd go to the next slide, that'd be great.

9 So starting with renewable generation, I imagine most
10 folks on the workshop are familiar with SB-100. We talked
11 about it earlier here and the strong leadership our state has
12 shown in decarbonizing our grid. Well, similarly, we'd like
13 to see a decarbonization of the hydrogen fuel supply. And I
14 imagine that it may be less well known that in the U.S., we
15 currently produce 10 million tons of hydrogen every year and
16 the majority of that comes from seeing methane reformation.
17 And we can shift that to renewable generation as a means of
18 storing energy created from renewable and distributed
19 sources, and also using directly as renewable fuel.

20 And as a pathway to get there, we support a
21 technology neutral approach, such as the LCFS and levers such
22 as grants to support new renewable generation and to ensure
23 that all pathways are maintained as we move to 100 percent
24 renewable.

25 And one example of this potential is a trigeneration

1 system that we're installing at the Port of Long Beach. Once
2 it's up and running, it's a high temperature fuel cell that
3 will generate 2.35 megawatts of 100 percent renewable
4 electricity, 1.2 tons of 100 percent renewable hydrogen every
5 day from California based biogas resources. And one
6 essential lever for the success of this project was the
7 recognition of directed biogas as a viable pathway for the
8 BioMAT program.

9 If you'd go to the next slide, please.

10 And then speaking to a power back, or backup power,
11 or power takeoff, we already heard a bit about the work that
12 was done based, because of the result of the tsunamis in
13 Japan. We have used our Prius Prime, our Sora fuel cell bus,
14 and our Mirai to provide power takeoff capabilities in Japan.
15 And to do so, we have a CHAdeMO connector and a Honda
16 inverter, and that's to supply essential services as a result
17 of the effect of the tsunami. But now also in Southern
18 California we're using two Mirai to provide up to 18
19 kilowatts of silent zero-emission power to support our
20 healthcare workers at a COVID test site. And we believe that
21 these are just some examples of this capability that could be
22 applied to all different types of essential workers, of
23 residential applications.

24 However, we need a compensation mechanism for
25 vehicles to be V2G capable so that the customers don't bear

1 the burden of the additional costs associated with that. And
2 we also see a need for all associated codes and standards,
3 for example UL 1741, to be modified to facilitate that
4 interconnection.

5 So with that said, I'll go ahead and wrap up. I hope
6 that I gave you some ideas about how we can improve our
7 resiliency and I look forward to a great discussion with the
8 rest of the panel.

9 Thank you.

10 MR. CRISOSTOMO: Thank you, Jackie.

11 Next we have Tim Shannon, director of transportation
12 at Twin Rivers Unified School District. Tim is an expert on
13 school bus-to-grid projects and his fleet has integrated AC
14 and DC V2G systems and participates in the Energy
15 Commission's Electric School Bus Replacement Program. In
16 addition to utility connected projects, Tim is also exploring
17 off-grid resiliency.

18 Tim, go ahead.

19 MR. SHANNON: Noel, thank you for the wonderful
20 introduction. Sorry for the not too great video.

21 Yes, my name's Tim Shannon. I'm the director of
22 transportation for Twin Rivers Unified School District. We
23 are the largest deployment of electric school buses in the
24 nation at this point. We currently have 30. We have to
25 thank the CEC for providing five of those 30 and five more

1 coming with the addition of another 22 on top of that.

2 We are currently in the process of looking at
3 vehicle-to-grid charging. We're working with SMUD,
4 Sacramento area Metropolitan Utility District, our electric
5 provider. We are looking to do a pilot project, but
6 basically it's just to lay down the groundwork to have a
7 functional V2G component to our bus fleet. We currently
8 installed five Nuvve chargers that, and we are going to look
9 at an AC V2G model. And with that model we will also be
10 looking at and adding some DC V2G so that we can see what
11 works best.

12 And also since AC charging is really the preferred
13 method for school buses because of their duty cycle, we're
14 going to really promote that within our district. Hopefully
15 we'll have 50 V2G chargers in the next year and a half and
16 that will allow SMUD to do some grid stabilization and grid
17 balancing, and plus provide us a reduced cost in electricity.
18 We're even locking in a price for a long-term venture with
19 them.

20 Some of our other things we're looking at, we're
21 looking at adding stationary battery, so it'd be solar to
22 stationary battery for that, that day that we don't have
23 power for whatever reason SMUD is offline, we can still
24 operate those clean school buses to get kids to school. But
25 also we would utilize not only the electric school bus for,

1 let's say, a re -- to power a reunification center, or an
2 emergency center, but also look at having those stationary
3 batteries there for us on a rainy day, but also to power a
4 school site, you know, so on one of those occasions that we
5 didn't have SMUD power.

6 I will tell you that it's been quite an adventure for
7 Twin Rivers with electric school buses. We have found that
8 they are the most lucrative, reliable mode of school
9 transportation. We're looking forward to getting back to
10 transporting kids here in the near future. We work with
11 quite a few manufacturers, you know, all the big players.
12 We're also involved in doing, working with a charge
13 management company to do charge management to look at how
14 much power we bring, take from the grid, how much power we
15 put back to the grid, and what those economic opportunities
16 are for the school district. And basically, it's for kids
17 and community.

18 But it has been a pleasure to be able to be a front
19 runner on all this technology and then also share what we're
20 doing with everybody. And it's quite the experience for a
21 lot of people, and hopefully we can mirror this all over the
22 state and then all over the country.

23 Noel, I'm not going to take up the whole five
24 minutes, but we'll save those for questions down the road.

25 MR. CRISOSTOMO: Thank you, Tim.

1 And thank you all panelists for your great detail.

2 Before we get into our discussion, I'd like to offer
3 some time for dais to ask any questions. Commissioners, go
4 ahead.

5 COMMISSIONER MONAHAN: Thanks, Noel. And I encourage
6 all my fellow commissioners to turn on their video and to
7 unmute if you have any questions.

8 So this is a fascinating panel, as I thought it would
9 be. And first, I just want to thank Tim Shannon for his
10 leadership at Twin Rivers School District. It really has
11 been like a flagship -- the school district, in terms of
12 leaning in on zero-emission technologies and really trying to
13 figure out how to unlock some of the value of vehicle-to-grid
14 technology. So just thanks, Tim, you in particular.

15 I have a lot of questions. I'm not going to ask all
16 of them because I don't want to dominate the whole afternoon.

17 But Ryan, I am really interested in your, in the fact
18 that you have tested out at UC Davis, this, like, how do we,
19 how do we basically liberate a home from the grid and use
20 bidirectional energy storage to be able to do that.

21 I'm wondering, can you just -- I want to go visit
22 this project -- but can you give us a sense of what are some
23 of the, like, big lessons learned in terms of what are the
24 costs that need to fall for us to be able to capitalize on
25 that opportunity? And are there any policies that would help

1 get us there as well?

2 MR. HARTY: Jackie mentioned a couple of the policies
3 that need to take place. Of course, the UL Standards need to
4 take into account that these are vehicles that are doing it.
5 Automobile manufacturers self certify to federal motor
6 vehicle safety standards, whereas the people who attach, you
7 know, electrical equipment to homes have to get UL cert, you
8 know, UL listed equipment to install there. So when your
9 inspector shows up from utility, they're -- they got a
10 checklist and it says look for the UL sticker. And they look
11 at this car and they say oh, there's no UL sticker there.
12 So, you know, we need to fix that level of detail on utility
13 interconnection permits.

14 We also need a tariff. So every utility needs to
15 develop a tariff for -- to value the bidirectional power
16 flows. So if we don't have that tariff, if you don't have
17 the interconnection, you know, lineup in place, it doesn't
18 matter how much power you push back to the grid, the user's
19 not going to get compensated for it in a meaningful way.

20 And I think we've got a great opportunity here, the
21 VGI Working Group through the CPUC has been developing, you
22 know, that list of use cases and establishing estimated value
23 for different use cases and to develop tariff's that then can
24 express what the bidirectional power flows are valued at for
25 the user, the utility, for society. It all needs to come

1 together and get expressed in that tariff.

2 So between the standards and the interconnection and
3 the tariff, I think if we can make progress on those things
4 in the next couple years, I think we'll have a pretty robust
5 ecosystem and industry for V2G and V2H connected homes and
6 cars.

7 COMMISSIONER MONAHAN: So I also have a question.
8 I -- I am, you know, we hear a lot about battery electric
9 vehicles being a storage possibility and less than from the
10 fuel cell world, I think just because there are fewer of them
11 right now. But I'm curious, what are -- what are the big
12 differences when we are thinking about energy, you know,
13 drawing energy from the vehicle to your home or to a critical
14 facility? Can you walk us through the differences with fuel
15 cells vis-a-vis batteries.

16 MR. HARTY: Sure. So for the case of the battery
17 car, with a DC off-board inverter, you can essentially create
18 a microgrid behind that home. So you have a transfer switch
19 that's isolated from the grid in the purpose, in the case of
20 a grid outage. If you've got home solar and the system is
21 appropriately engineered and grounded and safe and, you know,
22 meets all the codes that need to be established, you can
23 still charge that car and use the car as a microgrid and use
24 that energy storage battery of the car to balance your home
25 loads and, you know, manage the grid, and manage your

1 microgrid.

2 In the case of a fuel cell vehicle, you'd be able to
3 use the hybrid battery onboard the car in some instances for
4 that. But your, you know, set of hydrogen in the car may
5 diminish over time and then, frankly, hydrogen's a precious
6 commodity. And so there's some challenges to that. But the
7 energy storage capacity of that tank and system is kind of
8 huge, and you could back up a home for a really long time
9 with a, you know, a, you know, residential microgrid with a
10 fuel cell vehicle and DC off-board inverter in that capacity.

11 And maybe, Jackie, you'd like to address that as
12 well.

13 MS. BIRDSALL: Sure, Ryan. Thanks.

14 Yeah, I mean we definitely, you know, we're using the
15 Mirais for power takeoff in Japan to demonstrate backup power
16 for the residential areas. We are seeing the capability for
17 a vehicle to provide the fundamental services for up to a
18 week off of this fill. And just a reminder that the five-
19 minute fill. So they can go back to a station, refill in
20 five minutes, come back and power their homes for another
21 week.

22 And the capabilities there are even more exciting
23 when we look to heavy-duty applications. So for example
24 right now with our Portal trucks. If we're looking to power
25 some, you know, large or essential service, if we have, you

1 know, we've heard of these major unfortunate natural
2 disasters, but that means there's going to be a lot of people
3 coming to a community center. That community center's going
4 to need power. Well, there's a great potential there, again,
5 to bring in a heavy-duty truck, take some of that power off,
6 and then go and refill again in a matter of, you know, 15
7 minutes with hydrogen.

8 So that is certainly an advantage. But yeah, if
9 you're looking for microgrid, we've seen the same thing where
10 using that battery is, makes a lot of sense. And the battery
11 is significantly smaller on a fuel cell vehicle, as you know.

12 COMMISSIONER MONAHAN: So one last question. I mean,
13 part of the reason why the automakers are not investing in
14 this technology is because the degradation. The battery's
15 the most expensive part of the vehicle, this is going to
16 cause some degradation.

17 What's your sense in terms of the receptivity of
18 light-duty vehicle manufacturers? Because I think in the
19 heavy-duty world, we're seeing a little more receptivity to
20 this. What's your sense in the light-duty world, and your
21 reaction to Bjoern's idea that we should be getting CARB
22 credit for -- CARB should be getting some credit for this,
23 this technology?

24 MR. HARTY: In the case of the degradation, we've
25 studied it in depth. We've published a couple of papers in

1 Society of Automotive Engineers journals on the modes of
2 battery degradation and how it relates to -- to, you know,
3 V2G usage. So the couple of things that really, the battery
4 really hates. It really hates sitting at a very high state
5 of charge for a long time. The battery really hates being
6 cycled from high state of charge to low state of charge, and
7 it hates high temperature.

8 So if you develop your V2G system and you avoid those
9 things, so you avoid having it sit at high SOC, you avoid
10 high temperature with a good, well-developed, well-designed
11 cooling system and you don't cycle it top to bottom, if you
12 just pick a nice healthy window that you've established
13 through testing of the middle of the SOC range of the battery
14 and you cycle within that range, then you essentially don't
15 affect the long-term degradation of the battery.

16 Now in the case of vehicle-to-home, maybe you do want
17 to discharge that battery because you got a refrigerator full
18 of food, you know, and the Costco is a long ways away. So,
19 you know, it's just like customers driving to zero range on
20 their car. That's just what happens. And the car's designed
21 to do that, you know, a certain number of times in its life,
22 and like Jackie said, it takes several days to do that if
23 you're conserving energy at home. So it is what it is and we
24 take that risk and price that into the value of the product
25 as we introduce these new technologies.

1 MR. CHRISTENSEN: If I may just --

2 MR. HARTY: (Indiscernible.)

3 MR. CHRISTENSEN: If I may just augment what Ryan
4 have said.

5 Nuvve has had V2G operations with 10 Nissan Leafs and
6 10 chargers from a company called Magnum Cap doing frequency
7 regulation in Copenhagen and around for about four years now.

8 The trial, or the commercial application started on
9 September 6th, 2016 and we have had about 240,000 hours,
10 vehicle hours operations in a very, very demanding
11 application. Frequency regulation in the Nordic, which is
12 about 30 million people, including Sweden, Norway, Finland,
13 and Denmark, has a relatively influx of volatile frequency.
14 So, every second the frequency has to be measured and then
15 you have react up and down in order to stabilize the
16 frequency around 50 hertz.

17 And so we've been operating a fleet of 10 vehicles,
18 as I mentioned the Nissan Leaf, with 24 kilowatt hour
19 batteries. And we've been measuring the battery state of
20 health over those four, almost four years now. And we have
21 found no degradation that is not in line with what the, what
22 Nissan's corporate research has predicted.

23 The vast energy degradation is, of course, with
24 battery aging and then there's a component for the driving
25 and fast charging, and there's a component for the V2G. And

1 we were very surprised that we didn't see other - a lot of
2 battery degradation. So that's not something that at least
3 for now -- and this may not be linear, we don't know, but
4 it's something that we don't have any, any problems with
5 right now from a practical application.

6 MR. HARTY: If I could add one thing to what Bjoern
7 said. The, like, the power load of V2G -- maybe you have a 6
8 or 10 or even say 20 kilowatt, you know, bidirectional
9 inverter in your garage or in the parking structure. That
10 load is really small relative to DC fast charging and
11 relative to driving of the car. And so the vehicle system is
12 designed to take it.

13 MS. BIRDSALL: I would like to add --

14 COMMISSIONER MONAHAN: Great.

15 MS. BIRDSALL: -- one more thing as well. I'm sorry,
16 Commissioner Monahan. It's hard not to step on people on
17 these Zoom calls.

18 So back to the question about, about CARB credit.
19 I'm not sure if that's correct mechanism and I'm certainly
20 not going to speculate since I'm not a policy person, but I
21 very strongly agree with the comments that Ryan made early,
22 that the vehicle itself is not, you know, a UL stamped
23 vehicle to be able to be used for power takeoff. And so that
24 is a struggle that we have faced as well, that we could use
25 further, you know, help with from a regulatory or from the

1 code aspect to make some modifications there so that it's
2 easier for us to understand that business case and to say,
3 okay, our vehicles are, you know, quick and easy. We can go
4 in and, again, as long as we meet this code, we can go in and
5 attach to whatever we're looking to attach to and provide
6 clean energy, whether it be vehicle-to-home, vehicle-to-grid,
7 or some random COVID test site.

8 COMMISSIONER MONAHAN: Great, thanks.

9 I -- do any of my fellow commissioners want to have
10 any comments?

11 Commissioner McAllister, I think you're muted.

12 COMMISSIONER MCALLISTER: Yeah. I'm sorry. Can you
13 hear me now?

14 COMMISSIONER MONAHAN: Yes.

15 COMMISSIONER MCALLISTER: Great. So, beautiful set
16 of presentations. They really complement each other well, so
17 thanks everyone for that.

18 I guess I -- so I'm not an expert on this piece of
19 the grid, kind of interoperability. I'm focused, you know,
20 tend to focus on appliances and buildings. We're doing a lot
21 of work to figure out where we need standardization in those
22 realms, and I guess I wanted to kind of ask about that in the
23 vehicle realm.

24 You know, if you're the ISO, let's think about sort
25 of an N minus one, a power line goes out and you need to

1 mobilize some demands on resources or just some distributed
2 resources, and that includes, you know, a bunch of different
3 things, and it could include vehicles. Is there, you know --
4 rates were mentioned, sort of, there needs to be a tariff.
5 Completely understand that so that the -- the consumers have
6 the signal.

7 If the grid operator sort of needs resources in
8 response for an emergency or some contingency, and would
9 really benefit from having some, you know, vehicles as an
10 aggregated resource that they can call, are there any gaps in
11 knowledge, or sort of gaps in any, you know, standard
12 protocols for communications of that situation? Is there
13 collaboration across automakers on that front? Because I'm
14 kind of just wondering what that ecosystem looks like in
15 terms of really leveraging these, this resource as a grid,
16 you know, these vehicles as a grid resource for those kinds
17 of needs, you know. Are there standard platforms through
18 which that can happen efficiently and effectively, and what
19 are you all working on together or as individuals to make
20 that seamless?

21 MR. SHANNON: So I can -- I can kind of chime in on
22 this. That's where we are with our SMUD project, is that
23 we're trying to develop a set of rules that can be adopted
24 basically globally, whether it be AC V2G or DC V2G, who
25 controls it? Maybe we could get some parameters out there

1 that, you know, once we're done that say, okay, this works
2 great for the heavy-duty space, this works great for the
3 passenger car vehicle space.

4 Because in the heavy-duty vehicle space, we have a
5 lot of, we have a lot of battery storage, especially in the
6 school bus because of its duty cycle. But there are no
7 standardizations at this point. And that's where we're at
8 with working with our utility provider. But then we also,
9 you know, will love to have input from the CEC on, you know,
10 their thought on it and what we can do to leverage this
11 standardization because it's just not quite there yet.

12 MR. HARTY: Yes, this is Ryan. If I could phone a
13 friend, I would call Frances Cleveland to this discussion and
14 have her give the explanation because she's far, far better
15 at this than I am.

16 But I would just say that there, through VGI working
17 group and through the Rule 21 technical committees, there's a
18 lot of discussion on this subject. I -- I don't have at the
19 tips of my fingers all the standards there, but the -- I
20 think that, you know, standardization for those
21 communications is important, but it depends on the use case
22 and what you want to do, and, you know, where that product
23 is, as Tim was saying. The answers will be different
24 depending on the use cases and what the products are.

25 Are you calling, you know, school buses at 300

1 kilowatts or 150 kilowatts each? Or are you calling things
2 in residential garages? And then, what time scale do you
3 need the response for?

4 So, for example, at Honda Smart Home at UC Davis,
5 we're responding to an open ADR 2.0B signal from PG&E, and
6 that's a system that's been in use for, you know, for several
7 years. And for demand response, turn things down, works just
8 fine and, you know, we can deploy that.

9 If we want second by second, you know, frequency
10 regulation and frequency response, you know, open ADR is not
11 going to do that. So then, you know, what do we want? What
12 uses do we want these to respond to, and then we can develop
13 the system around that. But I think we have lots of choices
14 for communication ecosystems to make it work.

15 Our job as the automakers is to make sure that the
16 vehicle system is there and it works, and it's engineered to
17 meet the needs. And that our vehicle user, the customer,
18 that, you know, the vehicle does what they expect it to do
19 and that it's charged when they want to drive somewhere, and
20 that we develop a system that's focused on their needs.
21 Because fundamentally, that's why somebody bought that car
22 and why, you know, why it's in the garage in the first place.

23 So if you get too far away from that, then all of a
24 sudden it becomes a barrier to adopting electric vehicles and
25 we, you know, we're trying to do all this to make things

1 easier for people to adopt electric vehicles.

2 So anyway, that's maybe a long answer to your short
3 question and, but I appreciate the dialog.

4 COMMISSIONER MCALLISTER: Great. Thank you.

5 COMMISSIONER MONAHAN: All right, Noel. I think
6 we're just going to turn it over to you to continue the
7 discussion.

8 MR. CRISOSTOMO: Great. Thanks, Commissioners, for
9 your questions.

10 And also, looks like we have about 25 minutes to
11 continue.

12 So Jackie had a great slide of the power takeoff
13 operation to support the COVID response. And let's start
14 here. So for everyone, I'd like to start with a quote from
15 the CPUCs Wildfire Safety Advisory Board recommendations for
16 the utilities wildfire mitigation plans. They found that a
17 theme that emerged from the work was the need to prepare for
18 compound catastrophes. They acknowledge that quote,
19 "everyone needs to spend more time planning responses to
20 catastrophic events," but raised that the confluence of the
21 coming wildfire season and COVID sheltering requires us to
22 quote, "proactively decide to protect human life and come up
23 with plans now."

24 And so, given your roles as advisors, fleet managers,
25 and manufacturers, how does this compound catastrophe affect

1 your thinking of resiliency and execution of it?

2 Anyone, like, would be able to start.

3 MS. BIRDSALL: Noel, maybe I can get us started.

4 So well, thank you for the compliment on the slide.

5 I do want to point out there is a Honda inverter in that

6 photo as well. And that is the, I think -- Ryan, you can

7 correct me if I'm not mistaken, that does have the UL stamp.

8 MR. HARTY: No.

9 MS. BIRDSALL: No? Okay. That one, that is --

10 MR. HARTY: Japan model.

11 MS. BIRDSALL: It is, okay. Well, it's the inverter

12 that we can use because our vehicle does not have that

13 capability. So credit to Ryan and his team for making an

14 inverter that we could use for that. So, thank you.

15 I think that, that the idea of these compound

16 catastrophes do add another level of significance to the work

17 that we're already doing and, in addition to it, urgency. I

18 think when the first typhoon hit in 2011, we didn't have the

19 power takeoff capability. And you've seen since then that,

20 you know, from typhoon number 15 that hit last year in Japan,

21 we were able to respond in a different way with, again, both

22 the Sora bus, the Prius Prime, and the Mirai with power

23 takeoff capabilities.

24 Now we've seen, you know, similar catastrophes occur

25 in California and I think it has highlighted the need for us

1 to be able to utilize these vehicles that we also have in
2 California for those same type of capabilities. And what
3 that means is we're going to have to work with, you know,
4 government and other industry partners -- and that's why I
5 wanted to use this example of our work with Honda for this --
6 to be prepared to do, and to do so quickly is essential. And
7 the key to being able to respond quickly is having
8 streamlined and uniformed codes and regulations available so
9 that we quickly know how to mobilize our units, how to attach
10 them to an inverter, and how to safely and to code, provide
11 that power.

12 MR. HARTY: I concur with Jackie, I think, and then
13 maybe if I could add just one more thing to that is that, you
14 know, when we're designing systems and communication and
15 thinking about how people use products and what kind of value
16 proposition you can get out of that. When everything
17 changes, you still have to have fundamental value provided by
18 that system to that user, to that customer. They become very
19 dissatisfied very quickly and there's an awful lot of people.
20 We saw, you know, vehicle miles traveled decline by 90
21 percent for, you know, April and May in much of the state.

22 And, you know, in the case of, say V2G, if that is
23 part of the experience, part of the customer's experience,
24 they're not as disappointed in the product if it's continuing
25 to provide value to them while it's, you know, sitting there

1 parked in their -- in their garage doing things, or if they
2 can rely on it in the case of parallel catastrophe.

3 And so I think, you know, when we're thinking about
4 policies and we're thinking about products and design and
5 we're thinking about how our customers are going to use
6 things, really taking into account their whole lifestyle
7 needs, including the potential for, you know, dramatic change
8 in their lives and in the use is -- is an important concept.
9 And when we think about things like that, for example, people
10 who rent, people who want to move, people who are, you know,
11 they change jobs, we can't tie their life to this
12 infrastructure. It's got to be universal. It's got to work
13 in all -- in all cases.

14 And so we -- it's challenging. We've learned an
15 awful lot here these last few months about how these types of
16 systems will interact with our customers.

17 MR. CRISOSTOMO: Bjoern or Tim --

18 MR. SHANNON: Noel, I could chime in --

19 MR. CRISOSTOMO: -- can you talk about your -- talk
20 about your purchase of the fleet?

21 MR. SHANNON: Yeah, I --

22 MR. CRISOSTOMO: Tim, go ahead, please.

23 MR. SHANNON: Yeah, I -- so for -- for school
24 district for what we need to do, we really do need to look at
25 using these vehicles for emergency situations, you know, to

1 attach to a school building to be able to power it up if
2 there's a catastrophe. Or in the event of, let's say, a
3 community has a wildfire and they, they need power, they have
4 no power there, we could provide a quick response to power up
5 the facility. All those things are a key component in what
6 we do as a large fleet, especially now that we're moving to
7 electrification.

8 So we do need to standardize some things and look at
9 things to be able to just, you know, drive up and plug in.
10 And we need to look at vehicles that can do that. And it
11 shouldn't matter -- it shouldn't matter what electric school
12 bus it is, they should all be able to do that. So that is a
13 very large focus in what we're doing as an option to just
14 driving children.

15 MR. CHRISTENSEN: I think that the similarities
16 between the COVID-19 and public PSPS events or other
17 disasters is that we will all spend more time at home, and
18 the car will spend more time at home. There's a difference,
19 of course, in the case of disasters of PSPS events. We would
20 need the functionality of emergency power from the car. Then
21 we could be an exalted transport because we want to drive
22 over from Oakland to San Francisco where they still have
23 power and back again. So that's -- that's important feature
24 that you need in that case.

25 If you look at the COVID issues, or other pandemic

1 that hopefully everyone will not see in the future, we will
2 spend more time at home and the car will spend more time at
3 home. And that means the car will become available for more
4 services. And I think, so we should take a broader view as
5 one service, of course, is very important, is the emergency
6 response as we've been talking about. But there's so many
7 other services that we can provide once we have our cars
8 connected and it's bidirectional. It goes from the
9 systemwide perspective, transmission-wide perspective, into
10 the distribution system, and of course very important, behind
11 the meter for the year for the user.

12 So I think the point that I see is that we need to
13 get V2G really going and get, let's say, the right momentum
14 behind it from the ecosystem. And then I think the true
15 value of V2G will expand way beyond emergency response out
16 into other services. And I'm just, come to think about the
17 beginning of this year in Australia where they had some of
18 the worst wildfires ever, and we must anticipate that this is
19 not only California issue, but it's something that affects a
20 large, large part of the world. So I think that would be
21 great opportunity for California if we're first in pushing
22 this technology.

23 MR. CRISOSTOMO: Great. Thanks, everyone.

24 I want to build upon that point. So you described
25 how your thinking has to be a little bit flexible given the

1 twists and turns that we're facing in this shelter-in-place
2 prolongment in California and the continued risk of PSPS.
3 And everyone has mentioned the non resilience other values
4 that can be stacked on top. And it's really worth
5 highlighting an example from the U.K. in which a association
6 of EV charging aggregators and V2G advocates reported that
7 during the spring shutdown, vehicle-to-grid capable discharge
8 unlike one-way charging vehicles or smart charging vehicles
9 those dischargeable batteries could actually offer grid
10 services despite -- the stack, despite the fact that they
11 were not being driven.

12 So it really changes the game about how we think
13 about this as a storage resource, especially given the fact
14 that Ryan's chart showed that over half of the vehicles in
15 the -- that's United States or California, Ryan -- actually
16 are parked at home in the middle of the day. And so we don't
17 need to necessarily think that smart charging resources only
18 come at work. They can come at home, or be offered from
19 home.

20 And so how do you think we can work together as the
21 public sector with industry that to prepare for the whole
22 stack of services and the value that we can liberate for the
23 purpose of the accelerating EV adoption, creating a business
24 case for charging infrastructure, creating new uses that we
25 can't imagine yet. How do we provide that market signal for

1 investment today, so that we're prepared for the future in
2 all of its permutations?

3 Let's start with Bjoern, because you've done a lot of
4 work on V2G markets in Europe.

5 MR. CHRISTENSEN: Yeah, we've been working on V2G
6 market in Europe since 2013 and we have been involved in a
7 number of projects with vehicle-to-grid. And so mostly with
8 the Nissan Leaf and we've been working very closely also with
9 ENIL in the commercial deployments that I mentioned in
10 Denmark.

11 And we've been looking at the kind of use cases, or
12 what we call services, what kind of service can we supply and
13 taking a very broad perspective, looking at it from the TSO's
14 perspective, more from the gridwide perspective, like
15 frequency regulations and the demand response and things like
16 that. Looking at it from the distribution service operator.
17 He's more interested in voltage control, reactive power, and
18 things like that, and different investments. And very much
19 also at the end user behind the meter. What kind of service
20 can we do there, like a demand charge, time of use, and of
21 course, eventually, emergency response services.

22 So I think that the case and all these services have
23 been collected in so-called service catalog and I think we
24 have done quite a good thorough job of doing that. It's not
25 exhaustive, but I think there's a lot of those services that

1 from a technical point of view can be done.

2 The issue comes when you start looking at the
3 business cases for these services, and that collides very
4 often with regulatory issues. You know, for example, in
5 Denmark we have something -- it's not the scheduling
6 coordinated but it's another group called CPR, which is
7 balancing the, balancing the grid. And so they're part of
8 the picture in order to offer any grid services. And there
9 are others.

10 So when you start looking at the value chain for
11 these services, it sometimes makes it prohibitive. We
12 can't -- it's doesn't make sense to make those services. So
13 I think there is technical issues where I think we have a
14 pretty good understanding. And where I think we still need
15 understanding and maybe changes to rules is how easy is it to
16 offer? How easy is it to interconnect? How easy is it to
17 actually get approved to provide grid services from a grid
18 service perspective?

19 Behind the meter, I think it's a little clearer and
20 much, much easier because you're not running into all those,
21 all those issues. So I think it's -- the picture, at least
22 from my perspective, is the amount of services that we can
23 come up with is pretty well understood and there might, of
24 course, be many that we haven't even thought about that. But
25 I think we have a pretty good understanding of that. It's

1 issue is how can you monetize that, and how can you actually
2 make money, and how does that fit into the whole regulatory
3 and police regime in that specific region. And that, of
4 course, is highly dependent on region to region.

5 So what we have experienced in Europe, primarily in
6 Denmark, U.K, and France, is totally different from what
7 you've seen in California. So I think it's important that
8 somehow we come to a ease for charging manufact -- charging
9 station manufacturers for the car manufacturers, and from the
10 operators, like aggregators or service providers, or whatever
11 we call them.

12 So it's a long, long answer to a short question.

13 MR. CRISOSTOMO: Thanks, Bjoern. That's -- no, it's,
14 it's a great consultation of the working group efforts.

15 I want to prompt Tim -- and I know, Ryan, you want to
16 get in here -- but, Tim, you mentioned that SMUD is going to
17 have some dispatch control of your resource.

18 Can you speak to how you're trying to work through
19 the questions and regulatory challenges that Bjoern has
20 described?

21 And then we'll get to Ryan.

22 MR. SHANNON: Well, so -- so to be honest with you,
23 with SMUD is that we're working with a third party also
24 called Electrify. They're a charge management system. So
25 SMUD has been really, you know, very open about doing AC V2G,

1 which is been a challenge for a lot of places. But that was
2 one of the key components is that they had the ability to say
3 turn it off, turn it on, how much power do we want, how much
4 power that we don't want.

5 Fortunately, they're leading the way on all the
6 protocols to get through those hurdles. All we have to do is
7 say yes. The minute we say no, then the project is done.
8 But, yeah, we're just -- it hasn't been too big of a hurdle.
9 I think one of the biggest hurdles is, is the inverters on
10 the bus, you know. Who regulates that, you know. We're, you
11 know -- because the charger is a pass-through charger, you
12 know, it'll power in and power out.

13 But for regulation, we would like to pave the way how
14 SMUD's doing it. I think that that's going to be an
15 advantage for a lot of people in seeing how it's done and its
16 functionality. And that will -- there's, there are some
17 strong reasons why SMUD's doing that, is that, you know, they
18 don't want a lineman getting electrocuted because we're
19 pumping voltage back into the system. They want to be able
20 to say, you know, we're in control of the switch. I think
21 those are, are major concerns.

22 Not sure if I answered your question like you wanted
23 it.

24 MR. CRISOSTOMO: Very, very much. A good lead into
25 Ryan and Jackie.

1 So Ryan, we've talked before and you actually made a
2 little poster for us about two years ago, which really
3 highlights the importance of being able to negotiate the
4 utilities request with the needs of the automaker. As you
5 were mentioning and Jackie mentioning, these are not electric
6 devices in the normal sense. These are cars. They don't
7 have the UL stamp.

8 MR. HARTY: Uh-huh.

9 MR. CRISOSTOMO: And you're also worried about your
10 automaker brands. You don't want to strand your customer.
11 You want to make sure they get where they're going.

12 Can you talk about the role of -- and I'll, I'll be
13 your phone a friend -- J3072 as a way of protecting mobility
14 amidst a utility dispatch request?

15 MR. HARTY: Good. All right. So I think -- I can
16 take it, Jackie? Yeah.

17 The -- maybe let's, let's take a step back. You want
18 to put yourself in the mind of a vehicle driver, right.
19 They're excited. They see this nice car. They like the
20 styling. They like the color. They're in the auto
21 dealership and they're sitting down. They're negotiating the
22 price of the car with the car dealer and the dealer says, oh,
23 and to use this, you need to call Southern California Edison
24 and get an interconnection permit. Have you done that yet?
25 You know, they might have just lost the sale.

1 And so we can't do things like put an interconnection
2 permit in between, you know, a customer and the sale of a
3 car. So we need kind of a standard normal process, like,
4 customer buys the car, they need to be able to use it. That
5 can't be in question.

6 And so today it's not like that, right. So Rule 21
7 has just got to the place where utilities might interconnect
8 a DC V2G system with -- with, you know, that setup. With AC
9 V2G system, there's still a little bit of work to do. And
10 the SAE J3072 committee in conjunction with the -- the
11 working group is working through the issues to try to get
12 agreement between everybody so that, yes, utilities in
13 California will accept a, you know, an AC V2G system on a car
14 and there won't be any barrier.

15 So then put yourself into the mind of the customer,
16 you know, what's this worth to me? What am I going to get
17 out of it? But if they see a fuel economy label on a car,
18 they've got a good inherent sense of value. They know that,
19 okay, I'm going to be spending about so much every month
20 on -- on, you know, how much it's going to cost me to drive
21 this car.

22 But for V2G, well, you don't know. How do you -- how
23 do you explain that to the customer? Well it -- it depends
24 on how far you drive, and it depends on how much you plug in,
25 and it depends, and depends, and depends. So we've got to a

1 get to a system where, you know, in the customer's mind,
2 it's, it's clear. The value is clear. If I -- if I get this
3 car and I do these things, I'm going to -- I'm going to
4 receive this value that's, that's promoted to me.

5 So how do you do that? So we need, you know, we need
6 tariffs that value, like a, you know, retail electricity
7 tariffs that value flexibility that the EV provides for
8 managing charging. Should value of the carbon reduction that
9 results from, from those things. And the VGI working group
10 has done a really good job to try to disaggregate all those
11 little values and figure out to whom those values accrue and
12 the rough order of magnitude of what those values could be.

13 And I think that gives the -- some guidance to the
14 system Bjoern mentioned about the creating markets, markets
15 for V2G. As long as the -- the value that's expressed in the
16 product in V2G or home backup, home resiliency, I understand
17 what the value of that is versus installing a generator at my
18 house or something like that. If the value exceeds the price
19 that the customer's going to pay for it and it's clear, they
20 know that they're going to get that, it's not in question to
21 them whether they're going to get it. If the value exceeds
22 the price they pay, which exceeds the cost of hardware,
23 software, integrating of services, there's going to be
24 servers running all over the place in order to provide these,
25 there's going to be billing processes used. And suddenly

1 during processes that are going on in the background. All of
2 that stuff carries cost. But as long as the value greatly
3 exceeds the price that -- that people are going to pay for
4 it, and that price can include the price of utility asking
5 for service from it, if all of that exceeds the cost, then,
6 you know, everybody's in business and everybody's happy.

7 But today that's not the case. We can't put a
8 product in the market. Bjoern, in his opening remarks, you
9 know, ribbing us automakers a little bit, but we can't, we
10 can't put a V2G device in the market today because the
11 customer will get no value from that. It's not legal to
12 connect it to the grid.

13 And so, you know, we need to get to that place. So I
14 think, you know, SMUD's policies, tariffs, standards, as
15 Jackie was saying, and then getting to that place where you
16 actually have a market that can express the values of it in a
17 clear consistent way, that people know what it is, they
18 understand the product and they understand the value. That's
19 where we're trying to get to. It will take a little while,
20 but we'll get there.

21 MR. CHRISTENSEN: And if I may augment --

22 MR. CRISOSTOMO: Yeah.

23 MR. CHRISTENSEN: -- excuse me, if I may just augment
24 what you said.

25 And this is different from region to region in the

1 United States. So in May last year, there was a Senate Bill
2 12 in Delaware, where they're basically saying that any car
3 that adheres to SAE J3072 can provide V2G services to the
4 grid. So it's -- it's just shows that there is a lot of
5 fragmentation on how each region is handling that.

6 MR. CRISOSTOMO: Thanks for that, Bjoern.

7 Jackie, you were expressing some concern about UL
8 1741 and I'm not sure if you had heard back from your reg
9 folks Back East, but are you able to speak about how your,
10 your EVs, ZEVs or plug-in hybrids, might see that
11 perspective?

12 MS. BIRDSALL: All I know of related to that standard
13 is that there's been strong work done on the DC side, or on
14 the UL DC version of that. That's the AC standard, and
15 again, that's one we're looking at AC power offtake that it
16 starts to be an issue.

17 So I do understand there's work being done in that
18 space and that will help to allow for a standardized
19 application of the V2G, but that still doesn't address, I
20 think, the point Ryan and Bjoern and Tim have all already
21 mentioned, which is the business case. Who's going to pay
22 for this? And especially when we're looking at light-duty
23 customers. Are we asking them to supplement, you know, the
24 resiliency of their own home? Seems kind of -- especially as
25 we, with the focus on environmental equity, right. How do we

1 try to continue the high adoption rate of these vehicles,
2 support the development of the infrastructure for both fuel
3 cell and battery electric vehicles, but then also not put an
4 additional burden of the cost on to the customers for them to
5 essentially provide resiliency to their own homes. So.

6 And then I think the point that was just made about
7 the regionalism is also a problem. There is no standardized,
8 you know. How do you pay for if you have a fleet of vehicles
9 hooked up to provide backup power? So yeah, I think the
10 standardization is one aspect, but I think really it all
11 comes down to business case and it all comes down to not
12 putting that burden on the customer, because they're going to
13 walk away from a vehicle if it's more expensive and they
14 don't see the value there.

15 MR. CRISOSTOMO: So it sounds like we have to figure
16 out a incentive structure, a way of paying for this kind of
17 virtual mobile storage/infrastructure.

18 We did have a brief presentation during our workshop
19 last week and we can point you to that if you'd like to
20 comment on how we might liberate that value.

21 One last really fast question, and I want Ryan and
22 Bjoern to speak to it, about battery second life. I know
23 there's a lot of interest with the Energy Commission on this
24 topic. So just a really brief primer and then quick
25 responses from anyone with direct experience on B2L.

1 So it's well known that EV's batteries will have I
2 think around 80 percent of their useful energy after their
3 done with their mobility life, but then they need to move on
4 new applications to avoid waste issues and resource problems.

5 And in May, MIT examined a hypothetical 2½-megawatt
6 solar project in California backed by second life batteries
7 concluding that it will be profitable if those batteries were
8 less than 60 percent of their original price. But the
9 degradation testing, repackaging, and integrating new
10 controls makes it really challenging to pencil out,
11 especially with new technology improvements. And so last
12 week, our CalSEED program invested in three companies that
13 could change this equation.

14 First, Repurpose, whose battery degradation testing
15 could speed the process down from a day to a minute. Or in
16 contrast, Smartville Energy, whose controls and electronics
17 slows testing down of many different battery formats to
18 several weeks, in which they could provide grid services.
19 And then lastly, ReJoule, whose controls could be integrated
20 into the vehicle's BMS over the life of the pack to actually
21 prolong the state of health and streamline those checks.

22 And so Ryan and Bjoern, can you speak about how your
23 experiences -- or, Jackie and Tim, if you as well -- very
24 quickly about your experience with B2L projects and your
25 reaction to these factors amidst the pronouncements recently

1 from GM and Tesla saying that they are designing batteries
2 with B2L in mind.

3 MR. HARTY: Bjoern.

4 MR. CHRISTENSEN: Oh, I can start. You want me to
5 start?

6 Well, yeah. We, when I was with Nuvve in 2017, we
7 had a relationship with BMW and the BMW had 30 Minis, e-Minis
8 that were equipped with AC propulsion technology. And it was
9 kind of a prototype or trial project, and those cars were
10 used since 2013 to driving and provide frequency regulation
11 for the PTAM.

12 So in 2017 the batteries were decommissioned, and 12
13 of them we repackaged into two pairs of batteries in one
14 container and we haven't been providing frequency regulations
15 for the PTAM approximately for two years. That works.
16 Technology works. But the experience was, let's say, quite
17 daunting. The whole decommissioning project that we did
18 together with BMW and EV Grid, then the repackaging, how to
19 communicate with them with the batteries, how to make sure
20 that the air conditioning worked in the containers, and so
21 forth. There were numerous problems that we had to deal
22 with. So.

23 And again, looking at the batteries, new battery
24 prices, you know, for this first generation being a pioneer,
25 we would never do it again. But, of course, if the car

1 manufacturers start designing from the start so that all the
2 issues that we were, you know, that I mentioned here, we
3 would not be dealing with. And then there could be some kind
4 of standardization because every car manufacturer's for
5 themselves, for the battery technologists, and so forth. Then
6 I think it's something that definitely we'd, with the, would
7 be worth looking at from, you know, for the industry.

8 So I think it's something that we need to do, but our
9 experience as being the first one on the block, you know, I
10 think we have learned our lessons.

11 MR. HARTY: I think I would agree with everything
12 that Bjoern has said, and second life battery is hard. I've
13 led several second life battery investigations for Honda in
14 the last ten years and they're all, they're all hard. And,
15 as Bjoern mentioned, you know, integrating a second life
16 battery that was not designed for that purpose into another
17 purpose is very difficult. And so the original design might
18 be a little funny shaped, and the battery's got lumps and
19 bumps, and it's got a little snorkel for air flow exchange,
20 and how do you package that into a rational packaging without
21 having, you know, a whole lot of space consumed by just space
22 around the battery, because it wasn't conveniently designed
23 the packaging.

24 And then how do you integrate all of the pieces in a
25 safe, you know, replicatable way and get your site level UL

1 stamp on it so that you can safely interconnect it through
2 local utility. All of those things are challenging for
3 second life battery.

4 Now going to, say, if you design in from the start,
5 all of those, you know, functions in order to do that, you'd
6 be a heck of a lot further ahead than we were, say ten years
7 ago when the first cars were coming out and then trying to
8 investigate second life for those cars then.

9 So it's hard, but the original premise is still
10 basically true. The batteries that we've tested for second
11 life have, you know, power and capacity that are great for
12 some purpose. The integration step in order to use it for
13 another purpose is a, is a massive challenge. And to my
14 knowledge, I haven't seen a commercially viable replicatable
15 business plan with that yet.

16 It doesn't say that it can't be done. It's just --
17 it's just hard. It's just hard. And there's an awful lot of
18 difficult challenges with the EVs. So I'm looking forward to
19 the -- a positive result from it.

20 MR. CRISOSTOMO: And I'm getting a sense that I'm
21 going to get a hook from our virtual audience who wants to
22 ask questions.

23 So Jackie and Tim, in one word each, what would you
24 say -- new batteries or used batteries?

25 Jackie?

1 MS. BIRDSALL: New.

2 MR. CRISOSTOMO: Tim. Used or new?

3 MR. SHANNON: I'm going to say -- I'm going to say
4 new because of what Ryan said about the integration of used
5 batteries is going to be a challenge. We'll overcome it in
6 time, but it's a challenge now.

7 MS. BIRDSALL: Wait. I thought we only got one word.

8 MR. SHANNON: I know. I stole some.

9 MR. CRISOSTOMO: With that, I'd really like to thank
10 our excellent panelists from around the world experience and
11 across the different types of ZEV fuels that we can hope to
12 use in resiliency purposes very soon.

13 And hopefully you guys can keep up with us for the
14 second panel, but thank you otherwise, Tim, Jackie, Ryan, and
15 Bjoern for participating.

16 Heather, back to you.

17 MS. RAITT: Okay. Thanks all. Thanks, everybody.

18 And I would love to ask the panelists to please stay
19 on because we're going to move to Zoom Q&A and Jonathan
20 Bobadilla is going to moderate some questions for us that
21 have come in from the attendees over Zoom.

22 So go ahead, Jonathan.

23 MR. BOBADILLA: Thank you.

24 This question's from Sarah Wang. How will warranties
25 cover vehicle-to-X battery degradation?

1 I'm assuming vehicle-to-X means all the other uses
2 that -- vehicle-to-grid, vehicle-to-home, et cetera.

3 MR. HARTY: Me?

4 MR. BOBADILLA: It's open to the panel. It wasn't
5 specifically towards one person.

6 MR. HARTY: Okay. I think I answered that to an
7 extent in the first couple of questions. But essentially
8 it's our responsibility as automakers to take those factors
9 into account when we design the vehicle and we introduce the
10 product to the market with those capabilities and features
11 enabled, and we'll design the system to respect the battery,
12 to not abuse the battery deep cycle, you know, that charge
13 discharge. Keep it within, you know, temperature range, not
14 exercise it at very high SOC. And in our experience,
15 batteries are, you know, happy and healthy to provide
16 services within a reasonable -- reasonable range.

17 MR. CHRISTENSEN: This is the same with the Nissan
18 that -- as I mentioned before. Nissan and EDF right now in
19 France are rolling out a massive V2G and they just announced
20 yesterday, they're going to install 100 V2G Nissan Leafs in
21 the southern region of France.

22 So they have a agreement that if you operate the
23 battery with a certain capacity in our kilowatt. If you
24 operate it on -- within a certain SOC range and with the
25 temperatures, as Ryan has said, they will warrant the

1 battery. So there are conditions, but they will do that.

2 And as I mentioned, we've been operating in Denmark
3 more than 250,000 hours on Nissan Leaf and we have, Nissan
4 has not seen any degradation that worries them. So I think
5 as the battery gets better and better, I do not see that as
6 an issue. Remember that the Danish applications of use case
7 is probably one of the worst case that we can think of.

8 MR. BOBADILLA: All right. And moving on, unless
9 anybody has anything else to add. All right.

10 And this question is from Carrie Sisto. Can
11 panelists speak about where new tariffs are most required,
12 CPUC, CAISO, and if both, what are the priorities for each
13 jurisdiction?

14 MR. HARTY: That's a good question. I'll take it
15 just from the, the customer perspective.

16 They need their residential electricity tariff to be
17 able to express the value of bidirectional power flows if the
18 system is going to be used for V2G. They need to provide
19 value to them, and I expect that that would be expressed
20 through -- through a tariff. If there is, you know, other
21 things in the back end for what CPUC has to do, I'll maybe
22 leave that for other, other panel members to discuss.

23 MR. CHRISTENSEN: Well, one of the issues that we
24 have seen between regions is frequency regulation is very
25 highly valued in, as I mentioned, in Nordic region of Europe.

1 Whereas frequency regulation in California has a very low
2 value. So it, it's not one of those applications that I
3 would primarily use electrical vehicles for. So I don't know
4 if there's anything we can do or the policy on that, but
5 that's certainly our -- the value of, of grid services is
6 relatively low. Whereas in California, the value of behind
7 the meter services can be quite high.

8 And so I think that would be a tendency for any
9 service providers to focus behind the meter, like demand
10 charts and the like. Whereas there would be probably
11 hesitancy because also all the, all regulations that we have
12 to face to provide the services. Maybe proxy demand response
13 is one of the services that makes sense. But certainly
14 frequency regulation as an example is not something that
15 makes sense today.

16 MR. BOBADILLA: Thank you very much.

17 And question from Anna Bella Korbatov. As the
18 speakers have said, there is work now being done on
19 standardizing V2G and V2X interconnection standards, Rule 21,
20 UL 1741-SA specifically. But SMUD and other municipal
21 utilities are outside of CPUC jurisdiction. How can we make
22 sure munis are also brought to the table and part of this
23 discussion? How to ensure interconnection rules are truly
24 standardized across munis and IOU utilities so that it
25 doesn't create confusion for V2X vendors, OEMs, and

1 consumers?

2 And this question's open to the panel.

3 MR. SHANNON: So from a, from a -- this is Tim.

4 From a user that uses SMUD electricity and -- and
5 we're, you know, we're doing, we're powered by a muni, I
6 think that there's some flexibility there to develop some
7 guidelines. But I think where the real pressure has to come
8 on is it has to come on from the other utilities such as the
9 PG&Es of the world to conform, because a lot of them don't
10 want to conform. That's my opinion.

11 We seem to have a lot of flexibility and local
12 districts around us that use. Other power providers don't
13 have that flexibility. So I think we need to use the munis
14 to give input on what can really be done, even if there's not
15 a whole lot of money to be made from the, from the V2G that
16 we could standardize it and help the other utilities see a
17 value in that. Because the value has be, like we've been
18 talking about, to the customer. Not necessarily for the
19 utility, but to the customer as long as it's a win-win for
20 everybody. But I do think that the munis can have a lot of
21 input and I'm not sure that they need to be overly regulated.
22 In my opinion.

23 MR. HARTY: Maybe if I could just say I think there's
24 a role for the munis to, you know, to be laboratories and
25 incubators of these technologies and some, some learning.

1 And, you know, bring all those learnings back through, you
2 know, everybody in California, I think, is very useful.

3 MS. RAITT: All right. This is Heather Raitt. I'm
4 sorry, I'm going to have to jump in and close this and, but
5 thank you again, Jonathan.

6 And thank you, Noel, and Bjoern, and Ryan, and
7 Jackie, and Tim. Really appreciate your time and expertise.

8 And before we take a quick break, I just would like
9 to just do a really quick poll. And if you could all just
10 take a moment to let us know what type of organization you're
11 from. It'll just take a minute or less, actually. This will
12 just help us as we're working to make sure we're doing as
13 best of a job as we can in this new remote environment.

14 We'll just leave it open, just for a few more
15 seconds.

16 So if you see something that is close to or pretty
17 close to what you're repre -- what organization you're from,
18 go ahead and click that for us.

19 And we can go ahead and close.

20 So are we sharing the results?

21 All right --

22 MR. CRISOSTOMO: Yes, we are sharing.

23 MS. RAITT: Okay, great. So anyway, so people can
24 see. So we have, it looks like we have a pretty good
25 distribution of people and most of the attendees are from or

1 representing a federal, state, or local government agency.

2 So thank you for that feedback and please go take a
3 little break and stretch, and we will be back promptly at
4 2:45.

5 (Off the record at 2:37 p.m.)

6 (On the record at 2:46 p.m.)

7 MS. RAITT: So again, this is Heather Raitt. Thanks
8 for joining today.

9 And we'll move on to our second panel and Noel
10 Crisostomo will moderate for us again. And this one was on
11 Energy Resilience for Zero-Emission Vehicles.

12 So, go ahead, Noel. Thanks.

13 COMMISSIONER MONAHAN: Well, actually, can I --

14 MS. RAITT: Oh.

15 COMMISSIONER MONAHAN: -- before Noel starts, can
16 I --

17 MS. RAITT: Of course. Excuse me, I'm so sorry.

18 COMMISSIONER MONAHAN: We -- we -- I'm sorry. Sorry
19 to interrupt, Heather.

20 I just wanted to -- we have a new member joining the
21 virtual dais and that's Dan Sperling. So I wanted to just
22 introduce Dan and give him a chance to say a few words before
23 we start this panel.

24 So just a few words from me about Dan. I think Dan,
25 in the world of clean transportation, is legendary. He has

1 been a thought leader on clean transportation for decades.
2 His conference in Asilomar on transportation has been like a
3 seminal meeting place for regulators from all over the world.
4 And companies and NGOs come together and really collaborate
5 deeply on how do we move the ball in clean transportation.

6 So it's very exciting to have Dan participating. So
7 I just want to turn -- turn the mic over to Dan if he has a
8 few words to share.

9 MR. SPERLING: Can you hear me? Yeah. Hi.

10 COMMISSIONER MONAHAN: Yes, we hear you.

11 MR. SPERLING: After an introduction like that, how
12 can I say anything? But, thank you, Patty.

13 I'm going to lurk here and listen in, but yes, this
14 is hugely important. And electrification of cars, trucks,
15 and buses is really the number one strategy for reducing
16 greenhouse gases in California and in the world in the
17 transportation sector.

18 So thanks very much for all the great work you're
19 doing at the Commission, and I'm going to listen in. If I
20 get really aggravated, I'll say something.

21 COMMISSIONER MONAHAN: I hope you'll say something.
22 But, and, you know, tomorrow's panel is going to be talking
23 more about the three revolutions. And for those who don't
24 know, Dan is the one who coined that term. So more on that
25 tomorrow. That's the teaser for tomorrow.

1 All right, Noel, I'll turn it over to you now.

2 MR. CRISOSTOMO: Thanks for that no pressure setup.
3 We'll do our best.

4 But again, for those who are just tuning in, my name
5 is Noel Crisostomo. I am an air pollution specialist in the
6 Fuels and Transportation Division, working on EVs and grid
7 integration.

8 So we're continuing our workshop on ZEVs and energy
9 resilience with a panel that examines resilience from a
10 different perspective, how fleets and infrastructure
11 providers are planning for improving the resilience and
12 reliability of their charging and fuel supplies so that we
13 can keep our ZEVs moving cleanly.

14 This topic builds upon prior IEPR workshops last week
15 on microgrids, during which our colleagues led discussions
16 from prior research projects to integrate controls, the
17 microgrid applications across a variety of critical site
18 types, and assessing their value to California.

19 During this workshop, leadership from the CEC, PUC,
20 and Independent System Operator expressed concern about the
21 near term impacts of relying on diesel generators in
22 preparation for the implementation of the PSPS this wildfire
23 season. CPUC's President Batjer highlighted the need for
24 cleaner and quieter backup generation as an alternative to
25 the shutoffs, while utilities continue to commercialize

1 microgrids under SB-1339.

2 Bloom Energy's testimony in that proceeding states
3 that the demands for backup generators has spiked 1400
4 percent since the PSPS program began. A key concern for our
5 zero-emission vehicle efforts is the fact that emergency
6 generators are principally diesel fueled and that according
7 to the Air Resources Board, quote, "operating an uncontrolled
8 1 megawatt diesel engine for only 250 hours per year results
9 in a 50 percent increase in the cancer risk to residents
10 living within one city block."

11 This challenge of energy scarcity and local pollution
12 poses a stark contrast to our goals for millions of zero-
13 emission vehicles, clean not only the tailpipe, but powered
14 renewable and with 100 percent clean energy. California is
15 committed to this objective, and so in coordination with ARB
16 staff, which recently promulgated regulations targeting 100
17 percent zero-emission buses by 2040, we invited experts to
18 help us understand some of the most acute clean
19 transportation reliability problems that would be posed by
20 the power's shutoffs.

21 In addition, we assembled charging infrastructure
22 providers that can offer grid independence and rapidly
23 deployable solutions that could scale upward from light
24 vehicles into more applications. With careful planning and
25 investment in these creative solutions, we can hope to

1 replicate the benefits of microgrids to offer resilience to
2 zero-emission infrastructure, as we'll learn during this
3 panel.

4 And so as shown in this next slide, I'll introduce
5 our five panelists sequentially, where each will give a brief
6 presentation starting with Joe Callaway, director of capital
7 projects at AC Transit.

8 Joe is responsible for transitioning the fleet of
9 Alameda County and Contra Costa County's transit district
10 buses to fuel cell and battery electric vehicles. Joe has
11 experienced setting up a variety of distributed energy
12 systems to support the fleets charging and refueling needs.

13 Joe, please start your presentation.

14 MR. BOBADILLA: Joe, you're still muted.

15 COMMISSIONER MONAHAN: Joe, I think you're on mute.

16 MR. CALLAWAY: My apologies. This technology -- I
17 might be able to build a hydrogen station, but Zoom gets me.

18 So good afternoon, it's a pleasure to be here with
19 everybody today. Thanks to the CEC staff and commissioners
20 for making this workshop available. It's a great way to
21 share information and talk about what our needs are.

22 So my name's Joe Callaway. I'm the director of
23 capital projects with AC Transit. For the last 13 years I've
24 been working, among other things, to develop AC Transit's
25 zero-emission bus infrastructure.

1 And, next slide, please.

2 Okay. So I'm not going to spend a lot of time
3 talking about what we've done because I've only got five
4 minutes, and I'd rather talk about what our needs are. But
5 over the last 20 years, we've moved from demonstration
6 project, small, almost science fair type projects into
7 commercial operation with our zero-emission buses. We've
8 employed a major change when, in 2010, when we built our
9 liquid hydrogen stations. We converted from gas hydrogen to
10 liquid hydrogen, which gave us onsite storage of from one,
11 instead of one day, now, you know, 30 days.

12 And we also employed onsite hydrogen generation with
13 an electrolyzer powered by PV solar. And also self
14 generation of, in another 1.4 megawatts of solar, along with
15 420 kilowatts of solid oxide fuel cell.

16 Right now, we're moving forward to bring ten more,
17 excuse me -- right now we're moving forward to bring 20 more
18 fuel cell buses into our fleet, along with 20 more battery
19 electric buses. And that'll be in addition to the ten fuel
20 cell buses that we've recently commissioned along with the
21 five battery electric buses that is our first entrée into the
22 battery electric field. We've also increased our onsite
23 storage.

24 So those are some of the things that we've been able
25 to do with regard to making sure our operations continue.

1 But the things that we're thinking about now is, is that
2 resiliency just can't be an afterthought. It has to be part
3 of your core project planning. You know, we're no longer
4 just a small demonstration project. Now that we're with
5 these new fuel cell bus purchases and new battery electric
6 bus purchases, our zero-emission buses will be ten percent of
7 our fleet.

8 Our core business, our mission is to safely and
9 effectively move people to the places they need to be. So
10 when somebody gets on a bus stop and the bus doesn't come
11 because we're in a PSPS, that's just not a good situation for
12 them. So we have to find a way to be resilient. And, of
13 course, the obstacle -- there are several obstacles, but the
14 number one, you know, probably starts and stops with the
15 discussion of funding. Funding for storage, funding for self
16 generation, funding to move into a microgrid environment.

17 But funding beyond just our local needs, but also for
18 our supply chain, for the hydrogen supply chain and even the
19 electrical supply chain. Policies that mandate the hydrogen
20 suppliers have some sort of a neutral aid agreement, much
21 like public utilities have when they will power between
22 utilities. So the consumer never gets left high and dry
23 without -- without power. You know, we're looking at some
24 other kind of more abstract things to do, like charging
25 battery electric buses with our fuel cell buses, or even

1 using our fuel cell buses to power our hydrogen stations
2 during a time of, like a PSPS.

3 And, of course -- next slide, please.

4 And, of course, there's a long list of challenges in
5 order for us to perfect this transition. You know, let's
6 face it, we're a public transit agency. Our goal is -- is
7 our riders. Our goal is not our equipment. So we have to be
8 able to do this in a way that accomplishes our mission.

9 So in California and, you know, we're all subject to
10 this, we're going to have 100 percent ZEV fleet by the year
11 2040. Well, given that we run buses for 13 years, that means
12 we will buy our last diesel bus in 2026. That's pretty
13 quick. So to keep pace with that, like I said, we've ordered
14 40 additional ZEV buses, I'll be constructing two new battery
15 electric bus charging facilities, and we'll be maintaining a,
16 kind of a technology neutral approach to these buses while
17 we're conducting some side by side surveys, some studies
18 about the operating characteristics of the battery electric
19 versus the fuel cells. That'll tell us how they fit into our
20 fleet and what the best mix for our fleet is moving forward.

21 But the challenges, of course, come back to the
22 funding. The funding gaps between the CapEx spectrum of
23 public transit just can't fund that ourselves. The
24 infrastructures and supply chain development, which is
25 outside of our industry, and along with some of the

1 resiliency and, and sustainability questions that we have
2 with -- with our public utilities.

3 You know, a couple years ago, we never would have put
4 PSPS or COVID-19 in our business plan, but here we are. And,
5 you know, when we have that rider on the street, they're not
6 going to care that, oh, we've got a challenge with COVID, or
7 we've got a -- it's changed our business a little bit. They
8 just want their ride to the doctor, or to work, or wherever
9 they're going.

10 So what we'd like to see in the future is for fuel
11 supply chains for both electric and hydrogen to have policies
12 that demand resiliency. When we build projects, it's got to
13 be part of our core thinking and not an afterthought. It's
14 got to be part of our, our key deliverable. And what goes
15 with that also is sustainable maintenance practices, things
16 that -- workforce readiness.

17 You know, interestingly enough, the fuel cell bus and
18 the electric drive, the battery electric bus are both really
19 similar. They're both electric drive motors. They both work
20 on batteries. The only difference is not, the amount of
21 batteries that are on board and how they're charged. So we
22 have to be able to have a workforce ready to work on those
23 sort of buses and facilities. So that's, that speaks to our
24 maintenance practices on our facilities, our buses, and then,
25 of course, the training for that.

1 Proud to say AC Transit has kind of written the book
2 on fuel cell training, but we're just dipping our toe into
3 the water for battery electrics. And so we're anxious to see
4 how that will play out.

5 And Noel, I think that's my five minutes.

6 MR. CRISOSTOMO: Thank you, Joe.

7 We'll definitely get into how we can prepare for a
8 resilient workforce during the discussion.

9 Now we have Jana Ganion, director of sustainability
10 and government affairs at Blue Lake Rancheria. Jana leads
11 the tribe's energy transition to renewables, while improving
12 climate resiliency. She serves on key national and state
13 efforts, including the Department of Energy's Indian Country
14 Energy and Infrastructure Working Group and on the CEC and
15 CPUC's Disadvantaged Communities Advisory Group.

16 Welcome, Jana.

17 MS. GANION: Thanks so much. Just a quick sound
18 check. Can everyone hear me okay?

19 MR. CRISOSTOMO: Yes, we can.

20 MS. GANION: Great. Next slide, please.

21 So the tribal government has a wraparound climate
22 smart resilient strategy focused on lifeline sectors. So we
23 look at energy, water, food, communications, and
24 transportation with the idea that if we do all these things
25 well, the social, environmental, and economic benefits will

1 result.

2 The tribe's investing in lower carbon transportation
3 in the following ways. So we have waste oil from the tribe's
4 kitchens that is used to make biodiesel, which is then used
5 in public transit buses. The tribe is transitioning its
6 fleet to EVs wherever possible. We're working with partners
7 to expand electrified public transit and increase adoption of
8 EVs by lower income community members. And EV charging
9 onsite is powered from resilient low carbon microgrids.

10 Next slide, please.

11 As a result of a pretty extraordinary public private
12 partnership, including funding from EPIC and SGIP,
13 integration engineering from the Schatz Energy Research
14 Center and other key partners, the tribe has two microgrids
15 that can island and power our needs onsite for as long as we
16 need it. These microgrids power the EV infrastructure for
17 the tribe. And importantly, our microgrids are based on
18 solar PV plus storage with diesel generators used only in
19 emergencies and eventually, we're going to phase them out.

20 Next slide, please.

21 So electrified transportation, as we've already
22 heard, requires power at all times, but particularly in
23 emergencies, and the microgrids demonstrated this value
24 during the PSPS events of last year. Because we had robust
25 power, we were able to provide EV charging for the region.

1 Many of the public charging stations were down elsewhere and,
2 in turn, after they charged at the Rancheria, people used
3 their car batteries to recharge refrigerators and freezers to
4 keep medicines cold and food preserved, and for other uses
5 throughout the community. So we saw not only direct
6 charging, but vehicle-to-grid use as well.

7 And one other note, by increasing reliance on solar
8 with storage, we're reducing our need for fuel deliveries.
9 In our isolated and seismically risky area, it is not good
10 resilience practice to rely on outside resources for
11 emergency power.

12 Next slide, please.

13 The -- the PSPS events in our region were relatively
14 short, about 30 hours. If they had lasted longer, I want to
15 bring up one key point. There would have been lots of other
16 issues, but communication failures is sort of at the top of
17 the list.

18 At about the 24-hour mark, cell and Internet service
19 started to fail throughout the region. The Rancheria didn't
20 suffer disruption due to microgrids and telecom investments,
21 but loss of connectivity will impact charging station
22 functions, even if there is power. So if communications go
23 down, another concern is that the Internet enabled controls
24 of the microgrids will also be impacted.

25 So as a colleague has said, if you're in the energy

1 business, you're in the telecom business, though you may just
2 not realize it yet. And to that I would add, you're also in
3 the electrified transportation business.

4 Next slide, please.

5 So a couple of design considerations that, and
6 lessons learned. When grid connected, Level 2 and trickle
7 chargers won't likely impact operations or economics, but
8 super fast chargers could trigger demand charges and have
9 other economic and operational issues. So you have to look
10 at the super fast charging profile pretty carefully.

11 When islanded, super fast chargers, due to their
12 larger power use and spikes, may be challenging, especially
13 in smaller microgrids depending on the amount of generation
14 you have available. In terms of how we value, fund, and
15 operate microgrids, that in turn power EV infrastructure, the
16 benefit stack is considerable. Lower pollution from both
17 generation and tailpipes, greater reliability, resource
18 adequacy, potentially lower costs, emergency power for
19 charging.

20 In business as usual, these benefits may accrue to
21 select stakeholders. In emergencies, the benefits may
22 broaden significantly and accrue to the region, vulnerable
23 populations, emergency response agencies, healthcare and
24 business sectors, and others. And due to this layered
25 benefit mix, we should explore desiloing and layering funding

1 sources. So typical grants and incentives can be paired with
2 emergency preparedness monies, climate mitigation funds,
3 disaster relief funds, and other things.

4 And I'll just echo something that Joe mentioned, is
5 that if we want a fast transition, we need to address
6 capacity. So especially in rural and under resourced areas,
7 this is going to be an issue.

8 And finally, I just want to emphasize that for the
9 benefits that these systems can bring, the transition to
10 electric transportation should prioritize disadvantaged and
11 vulnerable communities, and to some degree, public transit.
12 As we deal with COVID-19 and climate amplifications,
13 equitable clean, safe transportation has never been more
14 important for those who have the least access to it.

15 Thanks so much.

16 MR. CRISOSTOMO: Thank you very much, Jana.

17 We'll get into how to help manage these charging
18 impacts with our next two speakers, starting with Desmond
19 Wheatley, president and CEO of Envision Solar International.
20 Desmond has been CEO of Envision, a manufacturer of off-grid
21 electric infrastructure, including for charging for over a
22 decade. Prior to Envision, Desmond led multiple companies
23 offering integrated building automation, energy management,
24 and security technology.

25 Desmond, take it away.

1 MR. WHEATLEY: Well, thank you very much, Noel.

2 And thanks to everybody else. This is a very
3 important subject, I'm delighted to be speaking about it and
4 it's something that's been close to our hearts here at
5 Envision Solar for that decade, by the way.

6 I think I'm certainly not alone in this call in
7 thinking that Governor Brown's executive order to push for
8 250,000 publicly available charging stations in California by
9 2025 was a really excellent idea. We should do everything we
10 can to get there.

11 But I might be slightly less in common with others on
12 there in that I don't believe that if we're going to continue
13 to do things that, you know, the traditional model of
14 connecting to the grid that we're going to get there on time.
15 So our whole focus is on producing rapidly deployed highly
16 scalable EV charging infrastructure solutions. We're totally
17 agnostic as to the vendor of the EDSCR the service provision
18 which are rapidly deployed, can be deployed at scale quickly
19 hit those kind of numbers.

20 And then crucially, most importantly where this
21 conversation is concerned, operate if there's a grid failure
22 or anywhere where you can't get to the grid.

23 Shift to the next slide, please, Noel.

24 So we do that, this is our mainstay product here, the
25 EV ARC 2020. It's a product that we produce here in our

1 factory in California. It was invented here and it's
2 manufactured in California, shift them all over the United
3 States and internationally.

4 We have a tracking solar array with a patent tracking
5 solution that puts power into energy storage solution up
6 there underneath the array. All the energy storage and
7 electronics and everything is 9½ feet above grade so the
8 thing is flood proof, seismic proof, and it's capable of
9 withstanding winds -- actually stand to withstand winds of
10 120 miles per hour. But we know it survived 185-mile-an-hour
11 Category 5 winds in the Caribbean. And it's not connected to
12 the ground at all by anything except gravity which allows us
13 to deploy these things very, very rapidly.

14 Again, you can put any EV charger on there. We
15 probably deploy more ChargePoint units than anything else,
16 but we also deploy Blink, Enel. We do that based on our
17 customer's requirements. We try and get them the best
18 charger for their needs.

19 Next slide, please.

20 So installing grid-tied EV charging is a little bit
21 more expensive and complicated than a lot of people give it
22 credit for. There's an awful lot of work you have to go
23 through between the permitting and environmental impact
24 studies and everything. None of these things should go away,
25 they're important, they're there for a reason but it is

1 expensive and time consuming. And then of course connecting
2 to the grid results in utility bills and then that terrible
3 centralized vulnerability if there's a grid failure, the
4 charging doesn't continue to work.

5 Next slide, please.

6 The EV ARC, on the other hand, is deployed without
7 any construction, without any connection to the grid, without
8 any disruption or environmental impact. The charging
9 experience is just the same for the individual. That unit
10 you're looking at in the picture there is going to produce
11 about 200 -- or generate, store enough electricity to drive
12 about 245 miles in a given day. Let me put that in
13 perspective, the average U.S. sedan drives 30.4 miles per
14 day. So from a single parking space completely off-grid
15 solution, we're deploying lots and lots of driving experience
16 for people. It's completely off-grid and frankly delivers
17 the lowest cost of ownership between avoided construction
18 costs and never paying the utility bill.

19 Next slide, please.

20 Fits inside the legal sized parking space. This is
21 really important. But it doesn't reduce available parking
22 anywhere at all because the vehicle parks on it. And it's
23 ADA compliant.

24 Next slide, please.

25 You can move them around in a variety of different

1 ways. It is a permanent solution. Once this thing's put
2 down, it's a 20-year product. We've heard them operating now
3 since 2012 with absolutely no appreciable degradation in
4 their performance, batteries and everything else is still
5 working well. And of course the components that we're
6 integrating today are better than they were back in 2012 when
7 we first started making these things.

8 But you can move it around either with a forklift.
9 We also have an ARC mobility trailer which is a specialized
10 hydraulic transportation solution that we also invented and
11 did and we manufacture these. And on some of our bigger
12 customers like Google and New York City and others actually
13 own the trailer as well and is able -- they're able to move
14 around their own EV charging solutions.

15 Of course these are designed to charge sedans for the
16 most part but we do have them charging light transit buses
17 for the Fresno County Rural Transit Authority, many others
18 across the country. And then we have a larger format which
19 is for charging heavy-duty vehicles, full-sized buses, 18-
20 wheelers and the like.

21 Next slide, please.

22 This is all about resiliency, we're big believers in
23 this. Our units supports when the power goes down. They're
24 not just useful because they continue to charge your vital
25 fleet vehicles, although that is a major important part of

1 them. And during PSPS, and blackouts in New York and
2 elsewhere our units have continued to charge vital vehicles.
3 We think that's very important, that's a big part of the
4 value that they offer. But they're each of them also are
5 equipped with an emergency power panel so that emergency
6 first responders or anyone, frankly, that the host designates
7 can connect and get lifesaving or other useful power from
8 these units during those disasters.

9 So multiple layers of value here. And potential to
10 reach into multiple budgets to pay for the thing too. You
11 reach into your EV charging budget for part of it and also
12 into disaster preparedness Department Homeland Security
13 dollars to pay for the emergency preparedness side or
14 resiliency side of it.

15 Next slide, please.

16 Most notably recently, our products fantastically,
17 we're very proud of this. Some of them have been
18 underutilized during COVID because of course a lot of people
19 are working from home so workplace charging hasn't been used
20 so much. In this instance here you're looking at City of
21 Oakland moved one of their EV ARC units down to an emergency
22 COVID test center. It had been operating on a diesel
23 generator. You know, fumes and respiratory problem
24 environment are not exactly the best thing to have. Noise.
25 Medics having to refuel the thing. We replaced that whole

1 issue with this fantastic silent and clean solution. And
2 frankly, transformed the whole environment. So it continued
3 to charge electric vehicles but also power the COVID
4 emergency center. Again, multiple layers of value for that
5 municipal customer there.

6 And by the way, there's a news story there if you
7 want to click on the link at some point at your own leisure,
8 you can watch the news story.

9 Next slide, please.

10 Lots of other uses from a resiliency point of view.
11 We're very proud of some of the fantastic brave first
12 responders that have used our products to power testing and
13 also some real live emergencies have gone on. So it's
14 definitely a multiple layer, easiest, fastest deployed,
15 lowest cost of ownership EV charging solution which can help
16 us get to these fantastic goals that we have. Everybody
17 driving on sunshine clearly is saying the clean goals of
18 electric vehicles in a way that grid-tied power can't always
19 perform. But also just having these additional layers of
20 value for our customers very important.

21 Next slide, please.

22 Just this last piece I mentioned, but the last that,
23 you know, you're going to get in the telco business if you're
24 doing this. We do produce an awful lot of data, the units
25 are all connected wirelessly. We make that data available to

1 our customers. We're also able to manipulate, manage the
2 products ourselves. We know where they all are, we know if
3 they've moved. We're able to reboot them on the rare
4 occasions where we do have problems with them. Most of the
5 times we solve the problems without ever going anywhere near
6 them.

7 But crucially to the last speaker's point, was a very
8 good point, by the way. When the grid goes down, telco goes
9 down too. Our units will continue to operate even absent the
10 grid, absent telco. They did through Hurricanes Irma and
11 Maria, 185-mile-an-hour Category 5 winds, continue to
12 operating. And we're storing all the data on board too. So
13 when we do get connectivity back, we're able to read what's
14 happened with the units and get all that data out to our
15 customers.

16 So no shortage of data there, even though the thing's
17 not connected with a centralized grid or a centralized
18 network, you're getting all the power you could need and all
19 that data you need. You never get a utility bill, no cost of
20 construction, no permitting requirements, no environmental
21 impact. Just lots of driving on sunshine.

22 And if we're going to have an electrified
23 transportation sector, we know that power outages are already
24 costing U.S. businesses a couple of hundred billion dollars a
25 year. When we have an electrified transportation sector,

1 which we should and I applaud that, then power outages will
2 become catastrophic. We're the hedge against that. So some
3 percentage of your EV charging should be locally generated
4 and locally stored. And of course we have a product made in
5 California that's ready to solve that problem for you.

6 Thank you, Noel.

7 MR. CRISOSTOMO: Thank you, Desmond.

8 It's a good complement to our next speaker Susie
9 Monson from FreeWire Technology. She's the head of sales
10 enablement and channel program. In this role, Susie works
11 with partners like ET, municipal, institutional, and utility
12 customers. She brings prior experience as vice president of
13 operations and finance at Cabala Analytics and as a director
14 of Sunrun.

15 Welcome, Susie.

16 MS. MONSON: Thanks. So just a quick sound check.
17 Can everyone hear me fine?

18 MR. CRISOSTOMO: Yes.

19 MS. MONSON: Okay. Great. So really happy to have
20 been included on this panel on this important topic, so
21 thanks very much for having me here today.

22 You can advance to the next slide, please.

23 So as vehicles electrify and as our changing world is
24 serving up new and unpredictable challenges, we really have
25 to think broadly about power needs. What we're focused on is

1 how can we most efficiently match the source of power with
2 uses of power in locations where it's most useful?

3 Next slide, please.

4 So at FreeWire, we're considering customers' energy
5 needs and energy management needs holistically. We focus on
6 delivering flexible products for customers so that customers
7 can construct the solution that works the best for them. And
8 our belief is that products with minimal realistic footprints
9 and low grid impacts improve customers' ability to adapt as
10 their power needs change.

11 So like Envision, we are also located here locally.
12 We're in San Leandro, California. And we design and
13 manufacture right here.

14 If you can move on to the next slide, please.

15 So we have two product lines. The first is our Mobi
16 product line and that has been out in the market for several
17 years. Mobi's a fully mobile battery unit that can be used
18 for a variety of power needs. We like to refer to it as sort
19 of a like a Swiss Army Knife for power. So you can use it
20 for charging cars or really anything that you might use a
21 generator for more traditionally. It's zero-emission, it's
22 quiet, it's completely mobile for rapid deployment. And has
23 a 80-kilowatt hour storage capability.

24 Our newest product which we're just beginning
25 deployments of in the next few weeks is called the Boost

1 Charger. So the Boost is a fixed charger. It's battery
2 integrated. It's a DC fast charger. The innovation about
3 the Boost is that it only requires a little voltage grid
4 connection. So it looks from the grid perspective like a
5 Level 2 charger, but from the vehicle perspective it's a fast
6 charger. So the fact that it can plug in to a lower voltage
7 grid connection can unlock a lot more locations for fast
8 charging and also enables it to be relocated with relative
9 ease.

10 Next slide, please.

11 So in terms of improving resiliency per zero-emission
12 vehicles, as many other panelists have talked about today,
13 co-locating EV chargers with storage and/or distributed
14 generation like solar would enhance resiliency and harden
15 community infrastructure from outages. We think battery
16 integrated EV charging systems represent a great solution for
17 deployment within a solar plus storage project. By providing
18 additional energy storage capacity, it can be islanded for a
19 recharging vehicle or using it more flexibly to balance
20 broader site loads.

21 As we're looking at our product roadmap, we have
22 several features planned for improving the utility of our
23 products in a grid down situation.

24 Next slide.

25 So we wanted to highlight some real life customer

1 situations and their challenges with regards to power needs
2 and how storage systems allow them to prioritize their
3 highest energy needs in a crisis.

4 So the first customer example I'll highlight is UC
5 Davis fleet services. So UC Davis has one of our Mobi gen
6 products. They have a few traditional EV chargers at their
7 garage but limited electrical capacity. So it's not
8 practical for them to add more fixed EV charging
9 infrastructure. So they use a Mobi gen primarily for
10 recharging several of their fleet vehicles overnight. But in
11 their -- in an outage situation, they are interested in using
12 the Mobi to back -- as backup power for supporting their
13 garage and their gas pumps for the rest of their fleet. So
14 they may, you know, prioritize their power needs differently,
15 depending on their kind of highest and best use of energy in
16 that situation.

17 Other shocks to the system like COVID are certainly
18 highlighting new use cases for flexible powers needs as other
19 panelists have alluded to. You know, some New York City
20 hospitals, for example, had testing locations on the
21 sidewalks outside of hospitals that they need to move the
22 site to interior courtyards in terms of protecting patient
23 privacy. And zero-emission option would allow them to locate
24 more flexibly without adverse health impacts.

25 Lastly, I think, you know, what we're seeing with

1 remote work and shelter-in-place is that consumers are maybe
2 increasingly concerned about reliable power at home and that
3 could increase the attention on V2G or other home storage
4 systems as backup.

5 Last slide, please.

6 So a few, you know, potential policy recommendations
7 to support this, support promoting resiliency, you can
8 imagine sort of a core-like program focused on storage or
9 other resiliency features. Some soft-cost reductions in
10 terms of self-tracking interconnections or -- and including
11 resiliency equipment or projects in other existing IOU
12 programs or adders onto existing programs for resiliency
13 features.

14 And I think my time's up so I'll wrap up there.

15 Thanks very much.

16 MR. CRISOSTOMO: Thanks, Susie.

17 And our last panelist will also represents the
18 transit agencies. For sharing some solution providers is
19 Michael Pimentel, legislative and regulatory advocate for the
20 California Transit Association.

21 Michael previously held legislative positions in the
22 office of former Governor Brown. And SV California High-
23 Speed Rail Authority. Michael currently represents trans
24 districts before various proceedings at state agencies
25 including CARB's innovative clean transit rule and the CPC's

1 TE train work.

2 Michael, please go ahead.

3 MR. PIMENTEL: All right. Thank you, Noel.

4 And, folks, want to make sure I've got a quick mic
5 check. Make sure you all can hear me just fine.

6 MR. CRISOSTOMO: Yes.

7 MR. PIMENTEL: Fantastic. So good afternoon,
8 Commissioners, I'm Michael Pimentel, now actually deputy
9 executive director to the California Transit Association.

10 As Noel mentioned, we are a nonprofit trade
11 organization representing California's transit agencies.

12 Next slide, please.

13 As Noel mentioned at the very start of today's panel
14 discussion, in December 2018, the California Air Resources
15 Board adopted through negotiation with my association and
16 stakeholders statewide the Innovative Clean Transit
17 Regulation. And this regulation seeks to convert
18 California's transit bus fleet to zero-emission technology by
19 2040.

20 And please advance to the next slide. Next slide,
21 please. Next slide.

22 And though it appears as though we've got actually
23 earlier slide deck, the expanded rather than the abridged
24 slide deck presented here.

25 MR. CRISOSTOMO: Apologies for that, Michael. Are

1 you able to use those slides that are loaded or?

2 MR. PIMENTEL: Absolutely. So, yes, we can just go
3 ahead and click on through.

4 So folks, as I mentioned, Innovative Clean Transit
5 Regulation was adopted in 2018. It is one that's looking to
6 compel the transition to zero-emission bus technology by
7 2040. And it is the operating principle by which most the
8 agencies are considering their transition to these low-
9 emission or zero-emission technologies.

10 So next slide, please.

11 Now I do want to say while the goals of the
12 Innovative Clean Transit Regulation are certainly ambitious
13 and ones that we fully support, it must be underscored that
14 for transit agencies above all else, we are mobile providers.
15 And in usual years, we provide roughly 1.4 billion unlinked
16 passenger trips to Californians across the state. Now
17 obviously that's changed quite a bit during the pandemic with
18 ridership being down at most agencies by about 80 percent.
19 For some agencies it's actually in excess of 90 percent. But
20 today perhaps more than ever, we are serving as a lifeline
21 for Californians who have no other means of mobility.

22 And I say all this, this conversation focused on
23 resiliency because I think it contextualizes the balancing
24 act that transit agencies that are inherently resource
25 constrained, both from a staffing and a financial

1 perspective, must engage in as they strive to maintain
2 transit service while also advancing state and local mandates
3 to electrify which come at significant price tags.

4 Now I spend a lot of time with transit CEOs and
5 COOs, as the staff lead for zero-emission bus task force.
6 And I can tell you that for most of them, what keeps them up
7 at night are their concerns about how the cost and the state
8 of zero-emission technologies, as well as grid reliability,
9 if not properly scoped into a project or addressed, could
10 undermine their ability to ultimately provide service. And
11 these concerns or considerations are further complicated by
12 the reality that transit agencies are often called on to play
13 a role in emergency response. Now for these agencies, if the
14 technology does underperform, or the grid is compromised in
15 any way, not only might they be unable to provide daily
16 service, they may also be unable to assist evacuations when
17 and if an earthquake or wildfire strikes.

18 Next slide please.

19 Now to address these concerns, transit agencies are
20 planning for in building redundant infrastructure at the
21 facilities. For most agencies, to date, this is net
22 deploying backup generators that can provide between 1.5 and
23 2 megawatts of power. Enough power to -- to support
24 approximately about 30 buses. Now this solution, however, is
25 inherently imperfect because it relies on diesel and CNG

1 fuel, of course cutting at the air quality and greenhouse gas
2 emission reduction benefits of electrification itself. And
3 often that cannot be scaled by transit agencies due to the
4 costs of the technology or depot space constraints.

5 Now moving on to next slide please. If we can move
6 to the next slide, please.

7 As an example -- as an example, Foothill Transit
8 was a service territory that stands east in Los Angeles
9 County, which is viewed by many in the industry as the leader
10 in battery electric bus deployment is actively considering
11 how to repurpose some of their CNG refueling infrastructure
12 to accommodate affordable CNG generators. Now that said,
13 they see this as a stop-gap measure. Depot space -- depot
14 space limitations that I mentioned previously, they are
15 cleared eye that this approach cannot be scaled and may be
16 impractical, an impractical for a portion of their battery
17 electric bus fleet that relies on opportunity charge.

18 Now for this reason, several others led to the
19 range in battery electric buses, they are also exploring how
20 they might complement the battery electric bus fleet with
21 fuel cell electric buses. Now these fuel cell electric buses
22 could provide redundant vehicles during a grid outage. Could
23 more readily allow for onsite storage of fuel, which can also
24 be used to power those vehicles in the events of compromise.

25 Now of course this isn't the only strategy agencies

1 are pursuing. Agencies like Antelope Valley Transportation
2 Authority in Lancaster are proceeding with a development of
3 microgrids. In the case of AVTA, these microgrids would be
4 comprised of solar and -- solar and storage systems. And the
5 system would not only address reliability issue but may also
6 achieve some operating cost savings by allowing for peak
7 shaving. And also address ultimately the sustainability of
8 their operations as this system would be drawing on purely --
9 purely solar in renewable energy.

10 Next slide, please.

11 So what can we do as a state? Now I highlighted
12 how depot space constraints present a challenge to deploying
13 battery -- sorry, to deploying backup generators at some
14 agencies, particularly in urban areas. Now this limitation
15 extends also to onsite DG, to onsite storage, as well as
16 systems like -- like are necessary for methane reformation.
17 And to break through this challenge, we need to -- we need to
18 find ways to support large scale demonstrations of zero-
19 emission buses.

20 I do want to note here that the CEC has heard a lot
21 of the feedback from the industry. And through the
22 leadership of Commissioner Monahan is now advancing several
23 programs within the larger Clean Transportation Program to
24 support exactly this.

25 Next, we must simply provide more funding to

1 transit agencies to deploy zero-emission buses and charging
2 for refueling infrastructure. And as noted on your screen,
3 these programs must actively be expanded to provide as an
4 allowable expense, grid redundant infrastructure.

5 Now very finally, I do want to highlight that we
6 must take certain baseline steps also to encourage the IOUs
7 to be good actors in the space. And for our association, top
8 priorities include requiring that the IOUs name transit and
9 rail agencies and essential customers. Now this has no
10 practical benefit in the case of PSPS, but this would allow
11 agencies to be considered as a higher priority when or if we
12 do find that the grid is compromised in some way.

13 And then very finally, with regards to notices, we
14 are encouraging increase and perhaps earlier advanced notice
15 of when a PSPS is planned as a way of making sure that
16 transit agencies have the ability to make alternative plans
17 for service delivery and can also scope into any evacuation
18 order needs that they might ultimately have to respond to in
19 the event of a PSPS.

20 So with that, thank you for -- for your time today.
21 I do look forward to -- to the discussion in the Q&A.

22 MR. CRISOSTOMO: Thank you, Michael. And thank you
23 panelists, all.

24 Before we get into our discussion, I'd like to turn
25 it to the dais to see if Commissioner Monahan or others have

1 questions.

2 COMMISSIONER MONAHAN: Thanks, Noel.

3 And thanks to all the panelists, this is really
4 fascinating.

5 I, you know, it -- from this panel, which is of
6 course just a microcosm of the larger side of -- of issues.
7 You know, there -- it seems like on the light-duty side we
8 have some, Envision Solar, FreeWire. This is -- there's
9 some, I don't know if you would call them solutions but
10 there's definitely some ways to address, you know, to power
11 light-duty vehicles when the power goes down.

12 With heavy-duty, it's much more difficult. And I'm
13 just curious if any of the technology providers have been
14 thinking or scoping out any -- any types of solutions on
15 the -- on the heavy-duty side to address some of the issues
16 that both Joe and Michael have raised.

17 MR. WHEATLEY: I can certainly take a go at that.
18 This is Desmond Wheatley with Envision Solar.

19 What you saw was not that we have a lack of
20 solutions, but a lack of time to present them. So we -- we
21 have our solar tree product which is exactly the same
22 technology as the EVR that I showed you there. This is much
23 larger. We are currently in the process of deploying those
24 for the Fresno County Rural Transit Authority to charge full-
25 size electric buses. They can operate connected to the grid

1 or off-grid. They operate properly well without a grid
2 connection and they will charge buses, or 18-wheelers, or any
3 heavy-duty vehicle that -- that pulls up into a DC fast
4 charging solution, either conductively or wirelessly.

5 So there's -- there's no end to the solution. And
6 by the way, I'm fine with you calling a solution. This is a
7 tried and tested product. We've been deploying these things
8 for many years. We're in over a hundred municipalities
9 across the United States of America. CalTrans is our biggest
10 customer in California.

11 But we're in the worst possible environments.
12 Nevada, top secret federal facilities. New York, Buffalo
13 during the winter. Product works everywhere. So it's --
14 it's way beyond a concept. Tried and tested.

15 And for heavy-duty, I'll just add, for heavy-duty
16 vehicles of course there's just a lot more generation and
17 storage and so they -- they, you know, the resiliency side of
18 it to just providing a lot more available energy for uses
19 beyond keeping vehicles going. Certainly, our focus is to
20 keep the fleets moving, whether they're government-owned or
21 otherwise, or transit or otherwise. But it's certainly nice
22 to have that extra source of power that renews every single
23 day. We know where the sun's going to be for the next five
24 billion years. That's what I call energy security.

25 COMMISSIONER MONAHAN: Desmond, did you say -- did

1 I hear you right that CalTrans is your -- is one of your
2 major customers?

3 MR. WHEATLEY: In California I think CalTrans is
4 our largest customer at the moment. We deployed DC fast
5 charging for them, completely off-grid and rest areas. We
6 also deploy a lot of Level 2 charging for their fleet
7 vehicles. And then on the -- on the transit side, it's
8 mostly buses. And we were just about to start on full-size
9 buses for the first time. We've been doing a lot of kind of
10 the mid-size vans and that sort of stuff, but mostly buses.
11 Now it can be mostly full-size buses with a solar tree
12 product.

13 COMMISSIONER MONAHAN: Thank you.

14 Jana, I had a question for you. I heard so much
15 about the Blue Lake Rancheria. I -- it's, you know, really
16 exciting what you have been able to accomplish. And I had a
17 question about the charging. I appreciated your
18 recommendations of trickle charge in Level 2 observing code
19 when it comes to charging during PSPS.

20 Have you all considered having vehicles provide
21 energy back to the grid as well as just being able to power
22 the vehicles in a -- in a power setup?

23 MS. GANION: We've considered it. Certainly, it's
24 on our list of things to explore. And I think that we're
25 interested, especially because of the functionality we saw in

1 the PSPS events of -- of vehicle to grid use. Now the
2 vehicle to grid use was constrained by the size of the
3 inverters and how -- and how cars could actually function
4 with sort of a little bit jerry-rigged kind of systems there.

5 I think that -- there's a lot smarter people than
6 me thinking about vehicle to grid and grid to vehicle use,
7 and it's not something that we've explored in depth. But I
8 do think that especially when we're dealing with these larger
9 batteries in buses, in our fire trucks, in our bigger
10 equipment, like you were saying, heavy-duty, that that needs
11 to be explored because we will want the demand response and
12 the -- and the grid balancing control of that potentially
13 when we're islanded.

14 So -- so maybe when we're grid connected it's not
15 so important but when we're -- I mean, it's important
16 California-wide, but it might not be important for our site.
17 But when we're islanded, that could be really important for
18 us.

19 COMMISSIONER MONAHAN: I wonder for both Envision
20 Solar and FreeWire, can you illuminate us on how much the
21 viewer business model would -- do you think is going to be
22 services beyond the vehicle. So when there's a power shutoff
23 or if there is just some need for powering equipment, or your
24 home, or other things besides the vehicle, how much of your
25 business model is built on these other uses or other

1 potential draws of energy?

2 MR. WHEATLEY: Go ahead, Sarah.

3 MS. MONSON: All right. This is -- this is Susie
4 with FreeWire.

5 And I don't know that I would be able to quantify
6 kind of the percentage of our business model. But it
7 certainly is the case that we foresee the, you know, the
8 Boost Charger for example as a -- as a general energy asset
9 and energy management asset. It happens to be able to charge
10 vehicles in a -- in an innovative way. But I think that we
11 do think of it as an asset that could be deployed in a
12 variety of ways. You know, demand response, et cetera,
13 backup power for a site. And that that is part of the value
14 and interest in -- in our technology.

15 MR. WHEATLEY: So I'll tell you from Envision's
16 point of view, Commissioner, we are very much focused on
17 transportation. We -- we think that we've got a gigantic
18 mountain to climb here. We think there's nothing more
19 important than electrifying transportation and especially
20 using renewable energy to do that. Seventy percent of the
21 U.S. greenhouse gas emissions comes from transportation of
22 the generation of electricity. Our products solve for both.

23 And so having a rapidly deployed scalable solution
24 is going to be essential. Because as I said earlier, you know I
25 think our entire industry has deployed something in the order

1 of 20,000 publicly available chargers over the last decade
2 and Governor Brown's magnificent goal is going to set us a
3 goal of having more than 50,000 per year deployed now between
4 now and 2025. Clearly, we've got to have something beyond
5 the siege mentality of digging up parking lots and extending
6 the grid.

7 And then beyond that, the grid locally and
8 California and certainly from a U.S. point of view does not
9 have a sufficient capacity to allow for the electrification
10 of transportation. I mean, we're about 30 to 40 percent
11 short, actually. And we all know how long it takes to build
12 centralized power stations, and transmission and distribution
13 infrastructure, and how environmental impactful that is.
14 It's not a plan to succeed, frankly, if we're going to
15 continue doing this way. So we have definitely focused on
16 building something that's incredibly robust, long-lived, zero
17 unit cost for energy will survive and continue to power
18 vehicles during blackouts and brownouts and everything else,
19 and be able to be deployed at the sort of scale that we need.

20 And if you think about California in the future,
21 we're just driving on sunshine and there's no unit cost of
22 energy. The impact that that has to the local tax basis,
23 average American spends \$5,000 a year putting fuel and
24 maintenance in their internal combustion engine vehicle.
25 Just imagine if all that went back into local tax basis

1 because we were using nothing but locally generated stored
2 electricity.

3 So the -- the disaster preparedness side of it for
4 us is, I won't call it icing on the cake because it's vital
5 to many of our customers. You saw that in the, you know,
6 Oakland scenario powering the COVID test centers. We got --
7 we know that New York's emergency services have used the
8 power -- emergency power panels. But transportation's the
9 goal number one. And then if we can provide these other
10 layers of values in a way that no other EV charging
11 infrastructure can because again, every morning, we get -- we
12 get a new boost shot in the arm and we can just keep doing
13 that forever, frankly, no matter how bad things are.
14 Earthquakes, hurricanes, flood proof thrown at our feet and
15 everything else. So it's very important. Resiliency is very
16 important to us, but transportation's the number one goal.

17 COMMISSIONER MONAHAN: Well that's -- that's all my
18 questions.

19 I'm not sure, Heather, are there other members of
20 the virtual dais here?

21 MS. RAITT: Yeah. Dan Sperling.

22 COMMISSIONER MONAHAN: Dan, do you have any
23 questions for the panel?

24 MR. SPERLING: You know, it's more of a comment if
25 that's okay.

1 You know, it's been a excellent panel, excellent
2 discussion. You know, those of us in state government and
3 academia, we do all these studies that show total cost of
4 ownership is going to be very attractive soon. And we can do
5 all these forecasts, but the reality is getting from here to
6 there, there's lots of challenges. It's a whole ecosystem
7 we're talking about here.

8 And so all these, you know, I'll call them little
9 ideas that are not so little, are really part of the
10 solution, are part of the solution set. And we've got to
11 figure out how to scale them up because they only make sense
12 at scale.

13 And we also have to acknowledge that charging,
14 selling electrons is not a business model. You know, almost
15 anyone in that business is getting funding from local
16 governments, retailers, employers. Someone that's
17 subsidizing it. And so, you know, the focus of the
18 Commission and CARB really is to be responsive to what we're
19 hearing here in these presentations. Is figuring out a way
20 of helping them scale up, supporting what they're doing,
21 supporting experiments and, you know, in different kinds of
22 ways. So this has been a excellent discussion.

23 MR. WHEATLEY: Thank you for that.

24 COMMISSIONER MONAHAN: Thanks, Dan. Great
25 comments, as always.

1 All right. So I'm going to go off video and let
2 Noel take over the facilitation.

3 MR. CRISOSTOMO: Thanks, everyone.

4 So let's jump into the questions. We have about 18
5 minutes.

6 Let's try to uncover how we could better value,
7 these DERs. Everyone's highlighting the need for more
8 intensive funding to make the model work. Dan just had
9 highlighted the desire to support experimentation.

10 So I want to break this up into two questions. So
11 we'll say that, so the first set of questions is for Susie,
12 Desmond, and Jana.

13 So FreeWire's battery VAX chargers, the solar arc,
14 and then the islands and microgrids are often perceived as
15 niches and it's challenging to make these pencil in the
16 conventional way of accounting. And so what are the key
17 missing parts and how do we better account for those on our
18 energy planning ledgers? Are there monetary values that we
19 can place more holistically to understand the true benefit of
20 resiliency and the technologies that you're pursuing?

21 For example, the speed of deployment. The option
22 value of stacking those future benefits for grid services and
23 avoiding grid impacts, whether they be system upgrades or
24 de-energization and of course the social benefits. I know we
25 talked a lot about that during your presentations, but how

1 can we better finance that in a way that scales the business
2 model?

3 MR. WHEATLEY: Who do you want to go first, Noel?

4 MR. CRISOSTOMO: Let's do Jana, Susie, and then
5 Desmond.

6 MS. GANION: Okay. So thank you. I think it's a
7 great question.

8 First of all, I know this is a trite saying, but we
9 needed all of the above. When I -- when we talk about
10 microgrids, in our situation it's a behind the meter type of
11 scenario. It was largely a research and demonstration
12 project to prove up intermittently available renewable
13 resources, and battery storage, and fancy microgrid controls,
14 and load shed, and all of that. And -- and these have been
15 extraordinary successful projects.

16 And I think to respond to your question, it is an
17 open question whether or not microgrids will make sense
18 behind the meter broadly or like we've seen most recently, we
19 have a couple of boxes to check. We need these products that
20 exist off-grid, definitely, to achieve our climate goals.
21 But we also have just come out of a couple of public safety
22 power shutoffs that in this rural geographically isolated
23 region, even though they only went on for 30 hours, it caused
24 a lot of social and economic disruption.

25 So when I think about the solutions that -- that

1 the CPUC and the CEC and technology vendors are going for
2 now, I see sectionalizing and segmenting the grid further
3 with DVR deployed so that we can meet those heavy-duty
4 transportation needs, as well as ticking both boxes of the
5 transportation and the power lifeline sectors for people and
6 of course communications and everything else that -- that
7 power supports.

8 So -- so we've heard across the board that there's
9 also an issue of capacity. So if we want to move fast and if
10 we want to achieve this resilience with zero-emission
11 resources quickly and safely, you know, I look around and I
12 see the vast majority of grid expertise and management, with
13 the grid as the nexus, gathered within utilities and CCAs.
14 And with the CPUC and CEC and research and development
15 entities and technology vendors as key partners, having that
16 appropriate capacity is no small thing. And I can tell you
17 from personal experience that deploying a mini electrical
18 grid to power all this critical infrastructure, including
19 transportation, is not as easy as it sounds.

20 And so I think it is an open question about how we
21 do microgrids, or grid segmentation with DERs going forward.
22 Thank you.

23 MR. CRISOSTOMO: Desmond. Or sorry, Susie and
24 then Desmond.

25 MS. MONSON: Sure. So a few different thoughts on

1 this. So first I would say in terms of -- of these being
2 niche solutions, I mean, I guess you could say -- many people
3 would say EVs are -- are a niche market at this point. And
4 getting to -- getting to broader scale is certainly a part of
5 these -- these solutions being considered less niche. And
6 right now I think another reason we're -- it's considered
7 niche is the -- is the financial reality, you know, in that
8 our -- our products are expensive and, you know, battery
9 technology is still quite expensive and doesn't -- doesn't
10 pencil out without some incentives to -- to Mr. Sperling's
11 point with regard to, you know, selling, just selling,
12 selling the EV charging isn't going to -- to pencil out.

13 But I do think that there are a lot of benefits
14 with regard to avoided costs which are hard to quantify and
15 maybe hard to get people to attach to as specifically. And
16 many of them are things that Desmond had also referred to.

17 So whether that is your operating expense is much
18 lower because you're going to be able to avoid demand charges
19 because you have some of your own generation offsetting it,
20 or you have a battery that's acting as a buffer. Whether
21 that's a real estate -- a real estate savings in that you
22 don't have to tear up your parking lot and you don't have to
23 dedicate, you know, 12 parking spaces to having a transformer
24 on a pad, and instead you can have a solution that is more --
25 more space efficient.

1 And whether you just are going to be able to have a
2 faster deployment that does have some flexibility so that if
3 your needs changed in the future, you could redeploy to a
4 different location. Those are all things that -- that, you
5 know, those are -- you can think of those as costs that
6 you're avoiding as opposed to like a specific, you know,
7 upfront savings.

8 MR. WHEATHLEY: Yes. So I think this is an
9 excellent question. One that we deal with all the time and
10 have been for a decade now. It's getting easier, I must say,
11 because we're getting more acceptance. You know, as a friend
12 of mine that used to work for Governor Brown always liked to
13 say everybody in government can't wait to be first to be
14 second. And so it's really so very helpful now that we have,
15 you know, these large customers like CalTrans and New York
16 City and others, and a hundred municipalities showing that
17 there's no risk here.

18 Noel, to your point. I would say that the genesis
19 of the problem here where we're is concerned is that we are
20 often viewed as a last resort solution. When you just can't
21 dig up the parking lot enough, or pull enough cables, or
22 spend enough money upgrading the grid and risking the
23 centralized vulnerability and all that sort of stuff, then
24 you come to Envision Solar. And this is completely upside
25 down. We should be the first choice and only in locations

1 where you cannot use zero environmental impact, zero cost of
2 energy, completely emissions free charging infrastructure
3 should you consider the incredibly expensive and invasive
4 process of extending the grid, which as I say, is already
5 under capacity for the task at hand here.

6 There's nothing against the grid. The grid should
7 be involved as part of this mix, but it shouldn't be always
8 the first choice. The problem where the money is concerned
9 is often that first of all, we deal with customers who are
10 either only concerned with CapEx or OpEx, but not both. And
11 so many of our customers, and I won't name any, don't really
12 care how much electricity costs as long as they get their
13 installation cost low. And similarly, we have other
14 customers that want electricity to be really cheap and don't
15 care how -- what the capital expenditures are.

16 And then we're in other environments where, for
17 example, we're -- everybody's desperately trying to get the
18 utilities to pay for so-called make-readies. And yet, and
19 this seems to be welcomed as a great idea. Although it would
20 be unique in any other appliance on the electrical grid where
21 you have the utility paying to deliver power to that
22 appliance. Imagine if laundromats operated that way. And
23 yet they're not able to invest ratepayer money in solutions
24 like ours.

25 And really does the -- does the ratepayer care

1 where their electron comes from, or the kilowatt hour comes
2 from? I mean, just the fact that we're not directly
3 connected to the grid infrastructure seems to be a terrible
4 reason not to be able to use money sensibly in these
5 circumstances.

6 So I think what needs to happen is we need to look
7 at total cost of ownership. At the end of the day that's
8 what affects ratepayers, taxpayers, and just general citizens
9 more than anything else. We need to look at reliability and
10 you're absolutely right, we should be factoring in what is
11 the cost of downtime? You know, what is the cost of a
12 blackout? We already know it's \$200 billion dollars a year
13 for businesses today, but when we have electrified
14 transportation, I don't think anybody's calculated what that
15 cost will be.

16 And what percentage of infrastructure must we have
17 that is immune to these types of failures in order to
18 maintain a secure transportation center. We know all these
19 things. If we know all of these things, we can be certain
20 that -- that nefarious actors out there know these things,
21 too, and to the extent that they can negatively impact us,
22 they will.

23 And then the last comment I'll make is to
24 Mr. Spelling, I think it was, comment that, you know, selling
25 kilowatt hours unless you're a large entrenched monopoly like

1 the utilities, it's not a very good business. You know, I
2 think most people in the EV charging space are spending \$10
3 to collect a dollar. We've got to come up with better
4 business models in this. You're about to see us roll out
5 with a driving on sunshine networks. That'll be free to the
6 EV driver and funded in much more innovative ways and I'm
7 really looking forward to that.

8 The transaction around fueling is going to change
9 dramatically. And as long as we have no-cost for kilowatt
10 hours, we don't. No cost per unit of energy, we're going to
11 be able to deliver things to consumers that they've never
12 seen before to the benefit of everyone involved.

13 MR. CISOSTOMO: Great. Thank you. All three of
14 you.

15 To try to move toward public Q&A, and I want to
16 give the last words to Michael and Joe in a related question.
17 So we just heard the terms of what it costs several times and
18 that -- that parallels a presentation that I gave during our
19 workshop a few weeks ago on charging infrastructure
20 investment where we're, as a state, I think trying to look
21 towards the most cost efficient portfolio of solutions to
22 enable electric miles. Whether that looks like fast charger,
23 or Level 2 charger, or something like a Mobi or a solar ARC.

24 This really ultimately comes down to the total cost
25 of energy. And so Joe, you've deployed several conventional

1 and alternative energy solutions that are now being
2 considered by your counterparts across the state as part of
3 the implementation of the Innovative Clean Transit Rule
4 represented by CTA and Michael address transit agencies
5 across California and the U.S. more broadly soon.

6 Given the grid light, or grid optional, or
7 microgrid solutions that were just described by Susie,
8 Desmond, and Jana, one of the key financial considerations or
9 constraints that have been challenging and -- are the capital
10 and operational expenditures that you're operating under
11 structured appropriately to take full advantage of the
12 solutions necessary to scale as quickly as we need.

13 Let's do Joe, then Michael.

14 MR. CALLAWAY: Okay. Well I think that's a really
15 good question because one of the challenges we have is
16 understanding what's vapor wear versus what's 90 percent
17 ready. And in an emerging technology market, what's state of
18 the art this year is not even functional next year.

19 So we have to manage our CapEx dollars such that
20 we're buying, that we're investing in a way that -- that
21 provides a long-term viability from the standpoint of, you
22 know, things. In a lot of our normal equipment purchases, we
23 think in terms of 20 and 30-year lifespans. And in our, you
24 know, in our zero-emission infrastructure, we're thinking in
25 terms of will it make 10 years because the industries are

1 going to change, the sources of energy are going to change.
2 The how we use it is going to change. And so it's really
3 hard for us to create a cost model that takes in about both
4 CapEx and OpEx when you really don't know where the
5 industry's going and whether something is state of the art
6 today but tomorrow's goose egg, if you will.

7 So that's a challenge for us. We can't afford to
8 invest in a trendy approach. We have to invest in a very
9 sound stable approach and then we have to drive that -- that
10 solution probably twice beyond its useful life in order to
11 make it work for a public agency. So that's the challenge
12 with us with regard to funding. I mean, well with regard to
13 using the funding.

14 Michael, do you -- do you have anything you want to
15 add?

16 MR. PIMENTEL: I think, Joe, that that's spot on.
17 I think, got a take that maybe goes in a slightly different
18 direction. So Noel, if I can just kind of take this as an
19 opportunity to highlight what I think is just an underlying
20 challenge for the industry. And that's just that public
21 transit has historically and chronically been woefully
22 underfunded. And we as a state, and as a federal government
23 need to find ways to provide transit agencies with the
24 resources they need in order to pursue what might be dual, if
25 not tri-mandates.

1 We talked a lot about the need for transit service
2 to be robust. The need for agencies to get service out on a
3 daily basis. At the same time, we're also asking them to
4 take on what is a enormous task of electrifying that fleet.

5 And to just put this into perspective, when the
6 California Resources Board did their analysis of what the
7 cost would be for this transition to a fully electrified
8 fleet between 2020 and 2040, they had identified a cost of
9 upwards of a billion dollars.

10 Now my association, my members think that that
11 number is fairly low, but even if we were to take it as a
12 given, I think one of the challenges that we're now faced
13 with, particularly in light of COVID-19, is that in this
14 fiscal year alone, California transit agencies stand to be in
15 the red to a tune of \$3.1 billion. And so I think we find
16 ourselves in a situation where absent new money essentially
17 being invested, probably from the federal government, our
18 ability to advance all of these technologies in a way that is
19 coherent, that ultimately doesn't take away from our ability
20 to provide that core service, is going to be severely
21 compromised.

22 And I think one of the things that we as a state
23 need to grapple with is how can we then best utilize the
24 resources that we have. And I think the structure of
25 incentive programs has been one that has really encouraged

1 every agency to go out and buy a zero-emission bus. Whether
2 it's battery electric or fuel-cell electric, we may have to
3 find a way to consolidate some of those resources whereby we
4 are truly doing large scale demonstrations so we can bring
5 the cost down of the technology but then also start producing
6 some lessons learned that can be socialized more generally
7 with the industry.

8 It really doesn't serve any one any good if
9 agencies are struggling together, struggling in tandem. It
10 makes much more sense for we as a state to focus our
11 investments, learn as much as we can, and then propagate the
12 learning to a broader industry.

13 MR. CISOSTOMO: So there's definitely work to
14 continue, with what I'm hearing. There's some ideas out as
15 to how to kind of bootstrap our way and find the most
16 effective uses, and I think we'd like to work with everyone
17 to figure out how to bring in these advanced technologies and
18 how to support the really struggling public agencies that
19 serve a reliability purpose. Not only for transportation but
20 as people we're brainstorming, eventually community,
21 resilience, and services.

22 So we'll look forward to working with you on
23 capturing these really wide variations of business models and
24 unknown to the industry through the IEPR and beyond.

25 So with that, we would like to take some public

1 comments, but I want to thank Joe, Michael, Susie, Desmond,
2 and Jana very much for a very insightful session and look
3 forward to continuing it afterwards. Thanks.

4 MR. WHEATLEY: Thank all of you.

5 MS. RAITT: Thanks, and this is Heather. And if
6 you could all just stay on for just another moment or two
7 while we take a couple of questions from attendees.

8 And Jonathan Bobadilla, go ahead. We just have a
9 couple minutes here.

10 MR. BOBADILLA: Okay. Thank you. This question is
11 from Andrew Bennett.

12 Does the Boost Charger support V2G functionality if
13 connected to the right vehicle?

14 MS. MONSON: So we are complying with the, I think
15 it's the ISO 15118 standards on -- that would enable V2G.
16 We -- it's a little, I would say it's still in the works. So
17 at the moment, it does not. But when we do enable
18 bidirectionality for the Boost within the next year, that
19 would be available as well.

20 MR. BOBADILLA: Thank you.

21 And then this question is from Raoul and it's
22 directed at Desmond.

23 Assuming that -- that as a solar panel on top of
24 the structure, does that provide enough power to operate two
25 EVSE, and at what rate?

1 MR. WHEATLEY: So the answer is that we do all
2 three rates of charging. Level 1, Level 2, and DC fast
3 charging. When we do DC fast charging, it has to be said
4 that we actually interconnect four of the units that you see
5 behind me, together. It's all above ground with a
6 pre-engineered connection so there's no construction, and
7 none of the permitting or any of that that we have to go
8 through there.

9 Yes, it certainly generates enough to operate the
10 two EVSEs that you see on there. We've got deployed all over
11 the country doing that. The combination of solar and storage
12 onboards will produce and deliver enough electricity to power
13 up to 245 miles in a given day. Obviously, that can vary
14 depending on insulation and -- and other things. But even in
15 environments like New York City in the winter, we're powering
16 New York Police Department cars with dual head chargers on
17 the -- on these units. So it's a -- it's a very, very good
18 functional solution and works well all over the country.

19 MR. BOBADILLA: Thank you.

20 Heather, how's our time looking?

21 MS. RAITT: Yeah, I think we probably better move
22 on to public comment, but thank you so much, Jonathan, and
23 Noel, and Joe, and Jana, and Desmond, and Susie, and Michael.
24 Thank you for your time and your expertise. Really
25 appreciate it.

1 And we could just go ahead and move on to public
2 comment.

3 MR. WHEATLEY: And thank you.

4 MS. RAITT: Thanks.

5 All right. So just wanted to remind everybody that
6 we are taking comments and we're -- please limit it to one
7 person per organization, and we'll be limiting it to three
8 minutes per speaker.

9 And so if you're on -- using the Zoom platform, you
10 can go ahead and press the raise hand icon to let us know
11 that you'd like to make comments. And if you're on the phone
12 using Zoom, go ahead and dial zero -- excuse me, star 9 and
13 that will raise your hand to let us know that you want to
14 comment. And then you can just press star 6 to mute and
15 unmute your line if you're on that phone.

16 And with that, I will go ahead and introduce
17 Rosemary Avalos from the Public Advisor's Office at the
18 Energy Commission who is going to go ahead and help us with
19 the public comment period.

20 Thank you.

21 MS. AVALOS: Thank you, Heather.

22 I will first call on attendees using the raised
23 hand feature on Zoom. Please state your name and affiliation
24 and spell your first and last name. Also, do not use the
25 speaker phone feature because we may not be able to hear you

1 clearly.

2 CT 11, your line is open. And you may need to
3 unmute on your end.

4 MR. LEVIN: Yes. This is Jaimie Levin with the
5 Center for Transportation and the Environment. My first name
6 is spelled J-A-I-M-I-E. And last name, L-E-V-I-N.

7 And I wanted to comment on the -- the importance of
8 heavy-duty vehicles in addressing the resiliency question
9 that is posed with this IEPR workshop. I spoke about this in
10 the IEPR workshop that I actually was a panelist at some
11 weeks ago.

12 Michael Pimentel mentioned transit buses being an
13 important resource in emergencies and natural disasters where
14 you need to move people from one area to another and maybe
15 considerable distances. And therefore these zero-emission
16 vehicles are going to need that robustness to be able to go
17 further than they maybe normally go in a -- their daily duty
18 cycle.

19 But the other value that should be recognized,
20 especially with fuel cell electric vehicles and buses in
21 particular, is that as an example, the 40-foot fuel cell
22 electric bus that we just launched in service in Orange
23 County in AC Transit carries almost 600 kilowatt hours of
24 usable stored energy. And we're also in the process of
25 building articulated, 60-foot articulated fuel cell buses,

1 with over a megawatt hour of usable energy. And both those
2 buses can be refilled or recharged within 6 to 15 minutes.
3 And eventually it'll be possible to do that with a mobile
4 fueler.

5 But you can imagine the resource capability of
6 having a whole fleet of buses to serve emergency situations.
7 And so it also behooves the state and the California Energy
8 Commission to consider what, you know, buildings and
9 facilities in our communities should be geared up to handle
10 exportable power for these purposes.

11 Thank you very much.

12 MS. AVALOS: Thank you.

13 Next comment to DeLisa. Please state your name and
14 affiliation and spell your first and last name. Your line is
15 open, and you may need to unmute on your end. DeLisa. Go
16 ahead.

17 DeLisa, go ahead and make your comment.

18 MS. DELISA: Oh. I'm sorry. It just hit the
19 phone. No comment.

20 MS. AVALOS: Oh, okay. Thank you.

21 The next commenter is Botsford. And again, please
22 spell your name and state your affiliation. Your line is
23 open.

24 MR. BOTSFORD: Hi. Charlie Botsford,

25 B-O-T-S-F-O-R-D. Charlie, C-H-A-R-L-I-E. On behalf of

1 myself.

2 Commissioner McAllister earlier had a question
3 about standards, communications protocol for providing power
4 back to the grid from EVs. I'm on the Society of Automotive
5 Engineers SAE J3072 committee which is developing that
6 standard. So it talks about communications protocol and also
7 power flow requirements for the onboard inverters, onboard
8 chargers for the, for electric vehicles. And part of that is
9 IEEE 1547, and IEEE 1547.1 which is the testing requirements.

10 So it's -- it's pretty robust the standard required
11 to put power back onto the grid. And we're working with OEMs
12 and utilities, and charging, charger vendors, and putting a
13 standard together. So I just wanted to answer Commissioner
14 McAllister's question about that.

15 Thank you.

16 MS. ALAVOS: Okay. Thank you for your comment.

17 Reminder, dial star 9 to raise your hand and star 6
18 to unmute and then mute your phone line.

19 Are there any other comments? Please raise your
20 hand.

21 Okay. Seeing that there are no more comments, I
22 will hand the mic to -- back to Commissioner Monahan.

23 COMMISSIONER MONAHAN: Great. Well thanks to
24 Heather, to the IEPR team, to the folks in the Field and
25 Transportation Division, and all of the many others for

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of September, 2020.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of September, 2020.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852