

DOCKETED

Docket Number:	20-IEPR-04
Project Title:	Microgrids
TN #:	234950
Document Title:	Transcripts 7-7-20 - IEPR COMMISSIONER WORKSHOP ASSESSING THE FUTURE ROLE FOR MICROGRIDS
Description:	07-07-20 SESSION 1: ASSESSING THE VALUE AND ROLE OF MICROGRIDS IN CALIFORNIA
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/29/2020 3:59:59 PM
Docketed Date:	9/29/2020

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:

)	
2020 Integrated Energy)	Docket No. 20-IEPR-04
Policy Report Update)	REMOTE ACCESS WORKSHOP
(2020 IEPR Update))	
<hr/>)	

IEPR COMMISSIONER WORKSHOP
ASSESSING THE FUTURE ROLE FOR MICROGRIDS IN CALIFORNIA

REMOTE VIA ZOOM

SESSION 1: ASSESSING THE VALUE AND ROLE OF MICROGRIDS IN
CALIFORNIA

TUESDAY, JULY 7, 2020

10:00 A.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONERS AND EXECUTIVES

David Hochschild, CEC Chair

Janea A. Scott, CEC Vice Chair

Marybel Batjer, CPUC President

Genevieve Shiroma, CPUC Commissioner

Neil Millar, CAISO President

CEC STAFF

Heather Raitt, CEC, IEPR Program Manager

Qing Tian, CEC, Supervisor

PRESENTERS

Jessica Tse, CPUC, Senior Analyst

Mike Gravely, CEC, Team Lead

PUBLIC ADVISOR

RoseMary Avalos

MODERATOR

David Erne, CEC, Supervisor

PRESENTERS

John Griffiths, ConTech-CA

Vipul Gore, GridScape Solutions

Mick Wasco, Miramar MCAS

Jessie Denver, East Bay Community Energy

APPEARANCES

PUBLIC COMMENT

Allie Detrio, Microgrid Resources Coalition

Tanya Barham, Community Energy Labs

Sharmila Ravula

AGENDA

	<u>Page</u>
Introduction	5
Opening Remarks	8
David Hochschild, CEC Chair	
Janea A. Scott, CEC Vice Chair	
Marybel Batjer, CPUC President	
Genevieve Shiroma, CPUC Commissioner	
Neil Millar, CAISO Vice President	
Update on Senate Bill 1339	15
Jessica Tse, CPUC	
Lessons Learned from CEC EPIC Research Activities	23
Mike Gravely, CEC	
Panel 1: What is Working and Why for Microgrids: Design Considerations and Operational Lessons Learned	37
Moderator: David Erne, CEC	
Panelists:	
A. John Griffith, ConTech-CA	
B. Vipul Gore, GridScape Solutions	
C. Mick Wasco, Miramar MCAS	
D. Jessie Denver, East Bay Community Energy	
Public Comments	96
Closing Comments	103
Adjourn	107

1 So this morning's session is on assessing
2 the value of role -- assessing the value and role
3 of microgrids in California. And on Thursday,
4 July 9th, we'll have the second session, starting
5 at 10:00 a.m., to address microgrids for
6 resiliency and, also, microgrid economics.
7 Session 3 is also on Thursday starting at 2:00
8 p.m. and addressing residential microgrids and
9 emerging microgrid technologies.

10 This meeting is being recorded. We will
11 post a recording and a written transcript on our
12 website. Also, today's presentations have been
13 posted on our website.

14 We're working on making on the IEPR
15 workshops more engaging in this remote
16 environment and we will be using the Q&A function
17 in Zoom with the capability to vote on questions
18 posed by others. So attendees may type questions
19 for panelists by clicking on the Q&A icon.
20 Before typing a question, please check to see if
21 someone else has already posed a similar one and,
22 if so, you can click the thumbs-up to vote on it
23 and that will move the question up in the queue.
24 Questions with the most thumbs-up clicks will be
25 up-voted to the top of the list.

1 And then we will reserve five minutes at
2 the end of each panel -- or at the end of the
3 panel for attendee Q&A. And given the time
4 restrictions, we're unlikely to elevate all
5 questions received. Also, given the packed
6 schedule today, we do not plan to raise attendee
7 Q&A to the two presenters before the panel.

8 Now I'll go over how to provide comments
9 on the material in today's workshop.

10 There will be an opportunity for public
11 comments at the end of the session. On Zoom,
12 click the raise-hand icon to let us know that
13 you'd like to make a comment. And, if you change
14 your mind, you can click it again and your hand
15 will go down.

16 For those on the phone not using Zoom,
17 press star nine to raise your hand and then we
18 will open your line during the public comment
19 period.

20 Alternately, written comments after the
21 workshop are welcome and they are due on July
22 30th. And, again, the notice gives you all the
23 information for providing written comments.

24 And with that, I will turn it over to
25 Vice Chair Scott for opening remarks.

1 Thank you.

2 VICE CHAIR SCOTT: Hi. Good morning
3 everyone.

4 And thank you so much, Heather, for your
5 opening remarks.

6 I am just delighted to be here this
7 morning and spend a little time talking about
8 microgrids with folks in the midst of our
9 transportation-focused IEPR. As you all know,
10 microgrids are one of the tools that will help
11 the state get to our 100 percent clean energy
12 standard in the most efficient and equitable way
13 possible. I think that we have some really good
14 experience to share with you from various
15 communities across the state, low-income
16 communities, rural communities, our military
17 communities, really, communities all across the
18 state of California. And I look forward to
19 hearing more information from our panelists later
20 today about that, and over on the Thursday as
21 well.

22 And I also just want to say, welcome so
23 much to our colleagues from the Public Utilities
24 Commission, and also from the Independent System
25 Operator. We are so delighted to have you join

1 us this morning.

2 And what I will do is you can either
3 raise your hand physically or virtually and I
4 will be delighted to call on you to see if you
5 have a few opening remarks before we kick off our
6 panel.

7 Maybe I'll start with my colleagues at
8 the Energy Commission.

9 CHAIR HOCHSCHILD: Yeah. Thank you,
10 Madam Vice Chair.

11 And I just wanted to say that, obviously,
12 2020 has already proven to be a year of biblical-
13 scale challenges from a, you know, pandemic to a
14 recession, and we do face the prospect of further
15 PSPS events. But it's also, I think,
16 highlighting some great success in terms of the
17 collaboration we're seeing between the agencies,
18 particularly between the PUC and the Energy
19 Commission, on innovation. And that's really
20 what I'm most interested in today, is looking at
21 lessons learned from the microgrids that we've
22 installed in Native American tribes and fire
23 departments and other sites, as the Vice Chair
24 mentioned.

25 So I just wanted to, in particular, thank

1 Commissioner Shiroma for her terrific leadership
2 on this issue, and President Batjer, as well, for
3 your ongoing leadership as we help the state
4 prepare for the PSPS events that may come in the
5 months and years ahead and help us build
6 resilience.

7 VICE CHAIR SCOTT: Great. Thank you,
8 Chair Hochschild.

9 Commissioner Douglas, yes, please.

10 COMMISSIONER DOUGLAS: Well, just as a
11 brief welcome, I guess, and quick opening
12 comment, you know, it's been really interesting
13 watching microgrids move from being a really good
14 idea that was, you know, expensive and hard to
15 implement and challenging and seeing the EPIC
16 program, in particular, through funding a number
17 of demonstrations with really great partners who
18 found ways to solve technical challenges, to
19 solve integration challenges, to solve, you know,
20 to figure out the economics of microgrids and to
21 see us now in a place where this is such an
22 important tool for the state as we move forward
23 to address a whole series of challenges,
24 resiliency, reliability, and finding better ways
25 of integrating renewable energy and storage in

1 these very robust systems.

2 And so, you know, I have, in particular,
3 been working closely with a number of tribes,
4 some of whom have implemented microgrids. I've
5 had an opportunity to learn quite a bit about
6 some of the Department of Defense microgrids,
7 toured the San Diego State one, of course, which
8 a number of the Commissioners, maybe every
9 Commissioner on this workshop, has done.

10 But it's a very exciting topic. It's
11 definitely something whose time has come. And
12 I'm really excited to take part in this workshop
13 and dialogue today.

14 VICE CHAIR SCOTT: Great. Thank you so
15 much, Commissioner Douglas.

16 Let me turn to our friends at the PUC.

17 President Batjer, would you like to make
18 some opening remarks?

19 PRESIDENT BATJAR: Thank you, Vice Chair
20 Scott. Very, very briefly, because I think we
21 have some really important ground to cover. And
22 my esteemed colleagues on this virtual dais have
23 already, you know, spoken to important issues
24 that we're going to be exploring today, and then
25 on Thursday.

1 I really want to thank my fellow
2 Commissioner, Commissioner Shiroma, who is my
3 partner, or I am her partner, she is the lead on
4 microgrids and the resiliency proceeding. And
5 she did a magnificent job for the Commission and
6 for all of us by re-scoping the proceeding last
7 December and included the very important topic of
8 resiliency and expedited the decision, which some
9 folks know that our processes at the PUC are
10 somewhat archaic and time consuming. So for us
11 to re-scope and expedite a proceeding from
12 December to June is extraordinary. And
13 Commissioner Shiroma did that with the eye toward
14 such an important situation of PSPS and the
15 upcoming wildfire season. So hats off to
16 Commissioner Shiroma and the terrific staff at
17 the PUC.

18 And I'm really looking forward to the
19 workshop and learning more. I am concerned that
20 this wildfire season we will see a lot of diesel
21 generation used to ensure the resiliency. And we
22 have to get to a cleaner and quieter form of
23 resiliency backup power. And so I'm really
24 looking forward to those ideas and thoughts from
25 the experts and our staffs because it's so very

1 important.

2 So I really want to thank Chairman
3 Hochschild and Vice Chairman Scott for including
4 me the discussion today, I'm honored, so thank
5 you very much.

6 VICE CHAIR SCOTT: Oh, well, thank you
7 and welcome.

8 Let's turn to Commissioner Shiroma to see
9 if she has some opening remarks.

10 COMMISSIONER SHIROMA: I do. Thank you,
11 Vice Chair Scott.

12 It seems just like yesterday that Chair
13 Hochschild and I were on the dais in San
14 Francisco, holding our, I guess you would call
15 it, kickoff workshop on microgrids. And here we
16 are today.

17 So I'm pleased to join everyone on the
18 dais, on this virtual dais. I often times
19 thought that the California Energy Commission has
20 really mentored all of us on how to put together
21 these workshops and hearings and what have you
22 that include your sister agencies and has
23 everything run so smoothly. Thank you so much
24 for the opportunity to learn more today.

25 We finished the Track 1, as President

1 Batjer alluded to. The staff, along with your
2 staff at the Energy Commission, really did a
3 herculean job and we've come a long ways.

4 Now we are heading into our Track 2 phase
5 to meet all of the requirements of Senate Bill
6 1339. And Jessica Tse will be outlining all of
7 those, the accomplishments, and then also looking
8 ahead on the microgrids proceedings so, of
9 course, stay tuned.

10 I do look forward to hearing from the
11 panels today and, also, on Thursday. And, again,
12 thank you to the Energy Commission for hosting
13 this workshop. I look forward to engaging all
14 the panelists on these important issues.

15 Thank you.

16 VICE CHAIR SCOTT: Great. Thank you and
17 welcome.

18 And let's see if we have opening remarks
19 from our colleague, Neil Millar, from the
20 California ISO?

21 VICE PRESIDENT MILLAR: Good morning and
22 yes. Thank you.

23 VICE CHAIR SCOTT: Um-hmm.

24 VICE PRESIDENT MILLAR: I would first
25 like to thank all of you for the opportunity to

1 participate in today's session. These are very
2 important for us to have the opportunity to
3 really understand and learn about the different
4 flavors of microgrids that are evolving, both in
5 terms of making sure that our existing processes
6 are adequate for accommodating them, for managing
7 their interconnection and their relationship with
8 our systems, as well as further exploring what
9 opportunities there are to take advantage of
10 these resources and include them in our planning
11 efforts.

12 So thank you very much for the
13 opportunity to participate and we're looking
14 forward to some really interesting material.

15 VICE CHAIR SCOTT: Great. Thank you and
16 welcome.

17 VICE PRESIDENT MILLAR: Thank you.

18 VICE CHAIR SCOTT: So we're delighted to
19 have everyone here.

20 And with that, I am pleased to introduce
21 our first speaker, Jessica Tse from the
22 California PUC, and she's going to provide an
23 update on efforts to implement Senate Bill 1339.

24 Jessica, it's all you.

25 MS. TSE: Hi. Good morning everyone. I

1 am from the CPUC's Energy Division on the
2 Resiliency of Microgrids Team. And as previously
3 mentioned, I'm going to quickly share with you
4 some updates regarding SB 1339.

5 Next slide please.

6 So in September of last year the
7 Commission initiated a rulemaking to design a
8 framework to facilitate the commercialization of
9 microgrids. And as you see in front of you here,
10 these are the specific actions that the
11 Commission must take to address the statutory
12 requirements by December 1st of this year, first,
13 developing microgrid service centers to meet
14 state and local permitting requirements,
15 developing methods to reduce barriers without
16 cost shifting, developing guidelines that
17 determine what impact studies are required.

18 Next, we have developing separate large
19 corporation rates and tariffs, as well as forming
20 a working group to codify standards and
21 protocols.

22 Last but not least, you see up there, is
23 developing a standard for direct current meeting
24 in Rule 21 to streamlined interconnection
25 process, as well as lower costs for those

1 applications.

2 Next slide please.

3 So this proceeding is separated into
4 three tracks. First, we have Track 1, where, as
5 previously mentioned, we're really focused on
6 developing fast tracking near-term strategies and
7 actions that we can put in place in time for this
8 year's wildfire season outages. Just last month,
9 those actions and strategies were voted on and
10 became the Decision 20-06-017. And I will go
11 into more details in the upcoming slides.

12 Track 2, we're going to be focusing more
13 on accomplishing the broader policy goals of SB
14 1339, so a really deeper dive into the regulatory
15 barriers, the financial barriers, technical
16 barriers and so forth.

17 And then last but not least, Track 3 will
18 be for the ongoing implementation of all of the
19 SB 1339 requirements.

20 Next slide please. Great.

21 So now, into the details of Track 1 or
22 short-term actions. The first topic area of that
23 we've addressed is prioritizing and streamlining
24 interconnections applications for resiliency
25 projects.

1 What we've done. The Commission, we
2 directed the IOUs to develop preapproved single-
3 line diagram templates to streamline
4 interconnection. These templates are used or can
5 be used by eligible projects for the fast track
6 interconnection process.

7 We've also directed the IOUs to provide
8 specific technical criteria that are used to
9 determine when field inspections are necessary so
10 that it can help developers construct their
11 projects in a way where it minimizes the need for
12 field inspections versus when virtual inspections
13 may be applicable.

14 And then last, we've also directed the
15 IOUs to increase their staff to their
16 interconnection and distribution teams for faster
17 processing for all projects.

18 Next slide please.

19 So the second topic of Track 1 is
20 modernizing tariff to maximize resiliency
21 benefits.

22 First, we've allowed energy storage
23 systems to import from the grid in events of PSPS
24 events, but not export. Two, we've removed the
25 storage sizing limit for large NEM and paired

1 storage.

2 Next slide please.

3 And then the last topic area is sharing

4 information with local and tribal governments.

5 So the goal of these actions I'm about to

6 describe to you is really to empower local

7 jurisdictions for the better understanding of

8 utility infrastructure, weather events, grid

9 operations, so that local and tribal governments

10 will be better positioned or in a position to

11 make informed decisions on where to focus their

12 resiliency planning efforts, their capital

13 investments, and pre-event operations.

14 So what we've done is directed the

15 utilities to provide these type of data by having

16 face-to-face county-level workshops.

17 We've also directed the utilities to

18 prepare a resiliency project engagement guide, so

19 answering questions such as: How does one even

20 start to engage the utilities on such projects?

21 Where are the best practices for a successful

22 project implementation?

23 Next slide please.

24 So as part of this sharing information

25 with local and tribal governments, we've also

1 required the utilities to have a dedicated
2 distribution planning team for the local and
3 tribal projects, so thinking about it as a one-
4 stop resource.

5 I want to quickly note that this is for
6 SCE and SDG&E only. Separately, PG&E proposed
7 and we approved the Community Microgrid
8 Enablement Program. There's significant overlaps
9 and I will go into more detail in upcoming
10 slides.

11 Last but not least, we've also directed
12 the utilities to develop a data portal for local
13 jurisdictions to provide more information to
14 support these projects, for instance, map layers
15 of high fire-threat districts, electrical
16 infrastructure, weather-related information, to
17 help inform their projects.

18 Next slide please. Great.

19 So now we're going into PG&E resiliency
20 strategies.

21 So in addition to the short-term action
22 items that I just described, the utilities were
23 also directed to submit proposals for immediate
24 implementation of resiliency strategies. For
25 PG&E, the Commission authorized infrastructure

1 upgrades at multiple substations to interconnect
2 generation in the event of an outage. You may be
3 familiar of their name, the Make-Ready Program.

4 Two, we've authorized the deployment of
5 temporary diesel generators for this year's
6 wildfire season. You may have heard the name
7 Temp Gen or Temporary Generation Program. As the
8 name implies, this is a short-term localized
9 solution until the transmission and distribution
10 system that is -- is hardened. Unfortunately,
11 when we were looking into this, there were just
12 not any plug-and-play alternatives. But we are
13 doing everything we can to transition away from
14 diesel generation to alternative clean backup
15 power.

16 In fact, just a real quick plug, we do
17 have a diesel workshop coming up next month, so
18 more on that. Look out for more information on
19 that coming from us soon.

20 Next, we also authorized PG&E to provide
21 technical and financial support for community
22 requested microgrids. So this is similar to the
23 action items that I just described earlier. So
24 this program, you may have heard the name,
25 Community Microgrid Enablement Program, CMEP. I

1 do want to note here that as part of this
2 program, there is a one-time fund that will be
3 made available to help defray the costs of
4 special facilities or distribution system
5 upgrades.

6 Next slide please.

7 So for SDG&E, the Commission authorized
8 the procurement of a local area distribution
9 controller, which is a proprietary software and
10 hardware solution, to enhance their microgrid
11 operations.

12 Next slide please.

13 All right, so, really, that was really
14 quick but those were the actions we took in Track
15 1 to achieve microgrid commercialization and
16 towards resiliency. So we started to address the
17 statutory requirements and we're going to
18 continue to work on meeting those requirements by
19 December of this year. So for more details, I do
20 want to highlight that the Commission put out a
21 scoping memo last Friday, if you would like more
22 details on the schedule of activity, so
23 definitely a lot more to come before the end of
24 this year.

25 And I think that's it for all of my

1 slides. Thank you.

2 VICE CHAIR SCOTT: All right. Great.

3 Thank you so much, Jessica.

4 Let me see if there are any questions
5 from my fellow dais mates? If so, now's a great
6 time to ask Jessica. Okay, I'm seeing shaking
7 heads on all the ones that I can see.

8 So thank you so much for your excellent
9 presentation. We appreciate that very much.

10 MS. TSE: Thank you so much.

11 VICE CHAIR SCOTT: And we will go on --
12 glad to have you -- to our next presentation,
13 which will be from Mike Gravely at the California
14 Energy Commission.

15 Mike, take it away.

16 MR. GRAVELEY: Well, good morning again.
17 I'm Mike Gravely. I'm a Senior Engineer from the
18 Research and Development Division. And I want to
19 cover a brief review of our experience and active
20 participation in microgrids.

21 Next slide please.

22 The R&D Division has three main funding
23 sources right now. The EPIC Program is, by far,
24 the largest, about \$130 million a year. We have
25 a Natural Gas Program. And we also have a Special

1 Fund Program and one of the programs under that
2 is the Food Processing Incentive Program. And
3 they also have funded several microgrids.

4 Next chart please.

5 This Commission and the R&D Division has
6 a long history with microgrids that go back
7 almost a decade. We were looking at the early
8 stages of research and just connecting renewables
9 to storage to generation to the grid so that you
10 could switch back and forth and not shut down the
11 grid, not shut down the customer. We then
12 shifted, when microgrids became more popular, we
13 shifted to more integrated microgrids and working
14 on controller technology and being able to
15 perform different functions and being able to
16 isolate from the grid successfully and reconnect.
17 And then we've shifted now to where we're
18 focusing a lot on commercialization.

19 One of the things I failed to mention
20 earlier, our R&D Program ultimate goal is to
21 bring products to a commercial success. So in
22 this microgrid area, we're trying to do research
23 and prepare knowledge with the ultimate goal of
24 microgrids being a commercial product that people
25 can, literally, buy and choose as they need and

1 at a price range that's affordable for the people
2 who want to use them.

3 Next chart.

4 We are fortunate to have a considerable
5 amount of money invested. We currently have over
6 45. And we have another four to five microgrids
7 that we'll be awarding over the summer in that
8 area. It's a very popular research topic. It's
9 addressing a lot of energy challenges.
10 Resiliency is probably the most important area.
11 But, overall, just understanding how microgrids
12 can help industry, communities, and customers is
13 an element that we are doing a lot.

14 We are a public program, so everything we
15 do is shared, all of our technical results are
16 shared, and so one of our goals is to get that
17 information out, so today's workshop will be part
18 of it. You will be hearing today from several of
19 the awardees that are on this list.

20 Next chart.

21 So we also have the benefit and the value
22 of a wide variety of microgrid applications. So
23 critical facilities are always one of the most --
24 one of the top of the list of people needing
25 microgrids, military bases and ports, community-

1 scale information, so -- and also industrial.
2 And then what's not shown here is that many of
3 these microgrids are in low-income and
4 disadvantaged communities. We have a large
5 support from the Native American tribe community.
6 So we're doing our best to evaluate these
7 microgrids to determine where they apply the best
8 and where they provide the economics so that they
9 don't require government support to maintain
10 them.

11 Next chart.

12 So if you take a lesson learned -- well,
13 we covered two areas, the site level, and then
14 the policy level. So if you look at the site of
15 a microgrid, a customer who wants a microgrid,
16 many of the current microgrids you'll hear today
17 that we have would not have happened without the
18 government funding, the research funding we did.
19 But a microgrid is a complex engineering process,
20 so it's not a simple thing you just go take it
21 and plug it in. It's not a self-running system.
22 So customers need to take the time to plan
23 properly. What do they really want the microgrid
24 to do for them? What services, what value, and
25 what cost it is, and is it worth their

1 investment?

2 Once they've made a decision they need to
3 do proper engineering analysis so that the system
4 is properly integrated. They can get their
5 permitting and their interconnection
6 requirements. So, again, it takes technical
7 expertise to do that. And most of these
8 microgrids are designed to operate 15 to 20 years
9 so that the owner also has to make that decision
10 of how they're going to do that.

11 As I mentioned earlier, we have three
12 types of models for ownership, that's utility
13 owned, a customer owned, and a third-party owned.
14 And each one of those scenarios has a different
15 way that they would plan their future
16 maintenance. But as far as the customer is
17 concerned, proper planning, proper execution, and
18 proper maintenance are critical to the microgrid
19 being successful.

20 Next chart.

21 If you look at the program level
22 throughout the state and throughout the country,
23 obviously, we're here today and there's a lot of
24 people participating because microgrids have a
25 huge potential to address different issues in

1 California and the country and, also, to help us
2 meet our future policy goals.

3 However, it is also understood today, and
4 we will talk about this in some of the future
5 sessions today and on Thursday, about the
6 business case and understanding exactly why
7 someone made a decision and what the value
8 they're getting from it is.

9 It's also good to understand, you know,
10 some people think that the grid should be a
11 microgrid but, realistically, microgrids don't
12 fit everywhere. And so part of the question is:
13 Where are microgrids to best fit and where do
14 they provide the value that makes the most sense?

15 Also, I mentioned that different
16 ownership models make a difference in how you
17 handle. And, today, they're starting to shift to
18 things like power purchase agreements to make the
19 financing easier for the customer in those types
20 of environments going forward. Most of the
21 microgrids that we have, the 45 microgrids we
22 have, we have some utility owned and operated
23 microgrids. But the vast majority of our
24 microgrids, over 90 percent, are customer owned
25 or third-party owned microgrids, so that's where

1 a lot of our experience lies.

2 Also, just understanding how microgrids
3 can manage the energy, can handle separation, can
4 handle wildfire, PSPS events, and other things is
5 another case for us just to understand. One of
6 the areas we get is, you know, what is the value
7 for reliability? What is the value for
8 resiliency? What is the value for clean air?
9 Those are things that we have to work on to find
10 a way to put an economic value so you can make
11 these business cases.

12 And, also, today's meeting and Thursday's
13 meeting will help us understand, is there a role
14 the government and regulation can play to help
15 define these questions and to help microgrids end
16 up in the places where they're the most valuable?

17 Next chart.

18 So this is a very wordy chart but I'll
19 summarize it very briefly. For those of you who
20 have microgrids that are not currently funded by
21 the CEC, you've seen our list. We have a mapping
22 system that can tell you where they are and how
23 they relate to disadvantaged communities, low-
24 income communities, wildfire zones. We would
25 like to add the microphones that are --

1 microgrids that are not part or not funded by the
2 Commission. But understanding from researchers,
3 we have, as we said, about 45 microgrids, my
4 understanding is about 80 to 100 microgrids are
5 active in the state of California, so we would
6 like to get -- we have about half and we'd like
7 to get the other half so we can share that
8 information and learn from those systems also.

9 So there is a request here for those of
10 you online and those of you who know of
11 microgrids if you will be happy enough to share
12 you location with us and a little information,
13 then please respond to what's on this page and we
14 will be glad to include you. That will be a
15 public database that will be on the Commission
16 website for anybody to view in the future.

17 Next chart.

18 And with that, I am ready for any kind of
19 questions from the dais that you have, and then
20 we'll transition to the first panel.

21 Commissioner Scott?

22 VICE CHAIR SCOTT: All right, that sounds
23 great. Thank you so much for your excellent
24 presentation, Mike.

25 I also want to echo Mike's call for the

1 data on microgrids. So please do make sure, if
2 you've got some information on the microgrids
3 that are not funded by the Energy Commission that
4 you could share with us, to send it to Mike and
5 his team.

6 Let me turn to my fellow dais mates and
7 see if anyone has questions for mike?

8 It looks like Chair Hochschild, yes,
9 please.

10 CHAIR HOCHSCHILD: Yeah. So thank you,
11 Mike. And, also, thank you for your ongoing work
12 over many years getting us to where we are today.

13 One of the things I'm interested in is
14 the prospect of finding a useful second life for
15 electric vehicle batteries. So what we're
16 finding now, we're about three-quarters of a
17 million electric vehicles have been sold in the
18 state of California. And we have, you know, many
19 more coming, 18 electric vehicle manufacturers in
20 the state. EVs are our number one export from
21 the state today. But what we're finding is that
22 when the range of the battery gets down to about
23 75 to 80 percent of the nameplate rating of the
24 battery, people want to swap it out; right? And
25 so -- but that battery still has a very long

1 potential second life before it needs to get
2 recycled.

3 And I'm just curious, do we have any
4 microgrids so far or in development that you're
5 aware of that are using used EV batteries? And
6 do you have any thoughts about this? Because it
7 seems to me it would meet a couple needs,
8 including, potentially, reducing the cost of
9 microgrids and, also, reducing the waste stream.
10 And I'm just curious if you've given any thought
11 to that or have any insight?

12 MR. GRAVELEY: Yes, sir. So I'm happy to
13 say that we actually do have a project that is
14 using second-use batteries in microgrids. We
15 have a grid funding opportunity where there were
16 two grants awarded last month and two more to be
17 awarded tomorrow. I'm not sure which one of
18 those four they are but one of them actually does
19 have -- is, in fact, applying second-use
20 batteries to microgrids. And the other projects
21 are looking at to assess the value, the duration,
22 of second-use batteries. So I think most people
23 feel that there's an opportunity to get,
24 depending on your particular use profile and
25 things.

1 So I do think we will find, in the
2 future, that some of these second-use battery
3 research will give people a portfolio of how the
4 vehicle battery works. And I agree, if we reach
5 5 million vehicles on the road, based on our
6 goal, there will be a lot, in the future, of
7 these batteries.

8 And so, yes, sir, we are evaluating one
9 specific project. And then we're also evaluating
10 batteries and comparing it to other batteries so
11 we can have an understanding of how does that
12 technology fit for microgrids? And it's very
13 likely that it will be a popular solution in the
14 future.

15 VICE CHAIR SCOTT: Great. Are there
16 other questions from my fellow dais mates?

17 Oh, yes, Commissioner Shiroma, please.

18 COMMISSIONER SHIROMA: Thank you.

19 Thank you, Mike, for the excellent
20 presentation. You did a call-out for folks who
21 have got operating microgrids to send in their
22 information so that the Energy Commission can
23 become a clearinghouse for what's happening
24 across the state of California and I definitely
25 support that effort.

1 Do you also foresee that the --
2 Commission will become a clearinghouse for best
3 practices, for a sharing of microgrid
4 technologies, models, where there is a sort of
5 one-stop look-see on your website for folks who
6 are interested in the state of the state of
7 microgrids, small and large? Do you foresee that
8 that would be something that you're already doing
9 or that it would be a next step?

10 MR. GRAVELEY: So, fortunately, you will
11 hear on Thursday from one our researchers, in
12 fact, that is doing a CEC-funded project to
13 develop a publicly-available easy-to-use
14 microgrid tool. It's supposed to be available
15 before the end of the year online. And so that's
16 from LBNL that's actually developing that. And
17 so we are developing a tool and we are making
18 available to the public. And it's supposed to
19 have people go through and help them evaluate, at
20 any level, whether a microgrid will fit their
21 needs and what it would cost and what their
22 variations or variabilities are.

23 So we are in the process of working the
24 alpha version of that model now. They expect to
25 make the online available before the end of the

1 calendar year. And so that will answer one
2 question.

3 And the second thing is we do envision
4 having some technology workshops, not just IEPR
5 workshops, where we just share the results of our
6 different projects. And we have our microgrids
7 talk about what's working and what's not. So we
8 envision end of fall having just, basically, a
9 technology transfer workshop.

10 So we're trying very hard to get the
11 information out. But, yes, we have taken on that
12 role. They've been working about 18 months on
13 that model. And it's -- oh, I'm sorry, it's
14 actually EPRI, not LBNL that's doing it. And so
15 the model, again, we envision it being useful and
16 we will be taking feedback from customers as they
17 use it. So we have a two-year maintenance effort
18 on it so that as the people use it, we can modify
19 it if it's too hard to use or whatever.

20 So I think, to answer your question, we
21 hope before this year is up to have a tool
22 available. And, certainly, your office and staff
23 will be actively involved as we do the wringing
24 out of the software.

25 Thank you.

1 COMMISSIONER SHIROMA: Excellent. Glad
2 to hear. Thank you. Thank you, Mike.

3 VICE CHAIR SCOTT: Thank you. And I
4 think I saw everyone else shaking their heads
5 when I asked about questions.

6 So I will say, thank you so much, Mike,
7 for your excellent presentation.

8 And I will turn it back to Heather.

9 I'll do a reminder for my fellow dais
10 mates, while the panel is presenting, if you'd
11 like to turn your camera off, that's fine, just
12 please remember to turn it back on when we get
13 back to our discussion part.

14 And as the fellow panelists are on their
15 way, it's time for them to turn on their cameras.
16 And I will turn it to Heather to provide
17 additional instructions.

18 MS. RAITT: Great. Thank you, Vice
19 Chair.

20 This is Heather Raitt. And before we
21 start the panel, I'd just like to ask people to
22 click the raise-hand function in Zoom if you plan
23 to make a comment during the public comment
24 period.

25 So at the end of this session, at about

1 11:30, we'll open lines one at a time for those
2 who have raised their hand. So, in Zoom, you can
3 click the raise-hand icon. And if you're on the
4 phone, you can raise your hand by pressing star
5 nine. And so if you can go ahead and do that
6 now, that helps us plan for the public comment
7 period. And if you change your mind, you can
8 just press that raise-hand icon again and it will
9 lower your hand.

10 So with that, I will go ahead and we can
11 get started on our panel. The panel is on What
12 is Working and Why for Microgrids: Design
13 Considerations and Operational Lessons Learned.
14 It's moderated by David Erne from the Energy
15 Commission. And Qing Tian from the Energy
16 Commission will help moderate Q&A from attendees.
17 So we'll have a series of short presentations.

18 And so, David, if you could go ahead and
19 start your panel please? Thank you.

20 MR. ERNE: Great. Thank you, Heather.

21 So, again, I'm David Erne. I'm from the
22 R&D Division within the Energy Commission.
23 Today's panel is, actually, probably the most
24 technical of the panels for this microgrid
25 workshop. We brought together some different

1 perspectives on the design and operation of
2 microgrids from the end user, the developer, and
3 the aggregator perspective. And all of them have
4 had a focus on critical facilities, so that will
5 be a theme throughout -- facilities and
6 operations, and that will be a theme throughout
7 the presentations.

8 We have four panel members. They'll each
9 give about a five-minute introductory comment
10 period, and then we'll follow that with questions
11 from the dais, and then public Q&A.

12 Before I introduce the panel members, and
13 I'll have them all go one after the other, I'll
14 reiterate Heather's comment, which is if you have
15 a question, use the Q&A function. Please use the
16 thumbs-up feature if your question is already in
17 there because that will help raise it to the top
18 and Qing will be able to curate those better for
19 the public comment -- or public Q&A session. And
20 then, separately, use the raise-hand function if
21 you want to make a comment at the end of the
22 workshop.

23 So our four panelists, all bringing
24 different perspective, we have, first, John
25 Griffiths of ConTech, who has a fair amount of

1 experience with healthcare facilities with a
2 variety of sizes and styles.

3 Next will be Vipul Gore from GridScape
4 Solutions. His service offering has brought
5 microgrids together for a variety of critical
6 facilities, including fire and police stations,
7 shelters, et cetera, so he'll talk about his
8 design philosophy and structures for that.

9 Next is Mick Wasco, who is from Marine
10 Corps Air Station Miramar, where they've
11 developed a microgrid for the broad facility
12 there. And the interesting aspect about that one
13 is they're utilizing landfill gas as part of the
14 generation portion of that microgrid, so he'll
15 talk a little bit about that as well.

16 And last is Jessie Denver from East Bay
17 Community Energy where they're developing their
18 strategy for how they, as the CCA in the
19 community is looking for their role and
20 approaches for them for supporting critical
21 facilities and microgrids.

22 So those are four panelists. And I will
23 turn it over, first, to John Griffiths, who will
24 provide his healthcare perspective.

25 MR. GRIFFITHS: Good morning. Can you

1 hear me? Am I on video?

2 MS. RAITT: We can hear you, John, but
3 your video needs --

4 MR. GRIFFITHS: Yay. Good morning.

5 MS. RAITT: There we go.

6 MR. GRIFFITHS: Sorry about that.

7 MS. RAITT: Thank you.

8 MR. GRIFFITHS: Fantastic. Well, good
9 morning. Nice to meet everybody virtually.

10 And thank you, David, for the
11 introduction.

12 So in my five minutes, I'd just like to
13 run through -- you know, most of my perspective
14 here is going to be, you know, focused on
15 healthcare and, really, my sort of entry into a
16 microgrid experience was through the CEC-funded
17 microgrid project at Kaiser Richmond, which is
18 hosted by Kaiser.

19 So with that, could I have the next slide
20 please?

21 As David mentioned, you know, most of my
22 business perspective is through healthcare
23 designing, delivering, and helping facilities
24 operate it. I'm also a consulting member of the
25 Hospital Building Safety Board. And as we talk

1 about, you know, design considerations and
2 lessons learned, also, I wanted to, a little bit,
3 talk about here is a proposed electrical power
4 systems, that we're taking lessons learned from
5 these projects at the Hospital Building Safety
6 Board in helping -- (clear throat) excuse me --
7 how can we apply those to future electrical --
8 future, more sustainable power systems for
9 hospitals?

10 So the approach we're taking is, firstly,
11 a hybrid approach where we utilize alternate
12 power systems, very similar to the Kaiser
13 Richmond program where we have -- and I'll talk
14 about that in a later slide in a couple minutes,
15 where we're using energy storage and/or fuel
16 cells to supplement the traditional backup power
17 system, and this is for the essential power. And
18 then, ultimately, we can, on other traditionally
19 more medical office buildings where they either
20 have very small emergency power systems, just for
21 life safety, or not backup power systems.

22 And we're looking at supplanting the
23 traditional -- or providing emergency power
24 system where, certainly from the market we're
25 seeing, or operations, we're seeing a big desire,

1 particularly -- and, again, mostly this is driven
2 from the PSPS where they have medical
3 refrigerators and some basic functions that they
4 either -- they use power or power systems, they
5 have to offsite the medical -- the medications.
6 And, hopefully, if we have energy storage, the
7 microgrids, they're able to operate the building
8 to keep basic systems going but, also, hopefully,
9 to even provide basic medical services.

10 So can I have the next slide please?

11 So, you know, doing that has a lot of
12 advantages and, you know, from an essential --
13 traditional essential power system in a
14 healthcare environment, which is typically a
15 diesel generator. You know, I know you all know
16 this, but we utilize -- we are able to utilize
17 renewables. We have a generator. It's a very
18 expensive asset. It is -- the only time you get
19 value is in an emergency power outage. The
20 hospitals and healthcare facilities, they're in a
21 very difficult financial position before COVID-19
22 and probably even after. So any grant funding
23 available would be a huge advantage for them.
24 And fuel deliveries in a PSPS, certainly, that is
25 a major challenge.

1 And something I'd like to talk about is
2 noise and exhaust. You know, diesel generators,
3 the traditional systems, again, with the long
4 outages, certainly from my clients here, that's
5 something that can -- if we can provide solutions
6 so we don't have a five-day diesel generator
7 working in an urban area would be a huge
8 advantage to the community.

9 Next slide please.

10 So that's all fine but there's a lot of
11 challenges delivering this, particularly in
12 healthcare, which is, you know, first, it's
13 institutional inertia. You know, healthcare is
14 highly regulated, probably rightly so. You know,
15 it's delivering essential services. So there's a
16 lot of barriers and challenges we need to
17 overcome. And there's risks. You know, in
18 California, construction is very risk adverse.
19 There's a perceived capital expense,
20 complexities, cyber security, so many challenges
21 that we need to overcome.

22 But backing up, and I can talk about that
23 later in design considerations and lessons
24 learned, you know, representing the Hospital
25 Building Safety Board, you know, we engaged in

1 setting up a White Paper Committee to develop
2 that so we can expedite adoption of microgrids.

3 So if I could have the next slide please?

4 So that's a lot of pictures, a lot of
5 pics, but this is a quick overview of the Kaiser
6 Richmond microgrid. So, very simply, I don't know
7 if any of you are familiar with this project.

8 Personally, I feel, personally and
9 professionally, very proud to be associated with
10 this. This is providing renewable power in a
11 disadvantaged community. And it's one of the
12 only critical access hospitals in the area, so,
13 you know, thank you to CEC for making that
14 happen.

15 So very quickly, this comprises of a 200
16 kilowatt solar array on the roof that serves a 1-
17 megawatt hour lithium-ion battery in the
18 basement. The parking structure, and I'll talk
19 about that later, is in the city jurisdiction.
20 And then that then feeds the power into the
21 hospital, which is under OSHPD hospital
22 jurisdiction. So this is able to provide -- you
23 know, offset the normal power usage and demand
24 response in normal situations. But in an
25 unfortunate event where we use utility and

1 existing emergency power systems, we have
2 islanded this project. And I know, David, you
3 were on the site when we did that.

4 So that is adding a very high level of
5 resilience. And if that unfortunate situation
6 happened, you know, we can operate the life
7 safety branch, which is the highest level of
8 acuity in the hospital for, you know, a
9 particularly extended period of time.

10 So next slide please.

11 Oh, so I'm trying to get everything in
12 five minutes. So this is a quick graphic, just
13 showing how, you know, over the three years that
14 we've had this system set up, you know, as we
15 tune the system, we are able to generate, you
16 know, pretty appreciable kilowatt hour savings.
17 But we're also providing financial savings to the
18 facility through demand response.

19 Next slide please.

20 So that's it. I think I'm under five
21 minutes. And queue, probably, the next
22 presenter.

23 Thank you.

24 MR. ERNE: Yes. Thank you, John.

25 We'll go ahead and move on to Vipul, who

1 will go next.

2 MR. GORE: Hi. This is Vipul Gore.

3 Let's see if you can hear me. Okay. Can you
4 hear me and see my presentation?

5 MR. ERNE: Yes.

6 MR. GORE: Okay. Great. Thank you.

7 Thank you all. Thanks for the conference today.

8 I'm deeply honored to be presenting in front of
9 the Commission and this audience.

10 You know, as a citizen of California for
11 a long time, you know, California is far ahead in
12 making more decisions in the policy framework for
13 our clean energy future. And I really thank and
14 appreciate the work of the Commission, California
15 Energy Commission, CPUC, and CAISO is doing in
16 making this a reality for us, as well as our
17 future generations.

18 A quick introduction to GridScape, we are
19 a startup, community startup based in Fremont,
20 and we've been in business for about six, seven
21 years. We have a very longstanding relationship
22 with California Energy Commission. We have been
23 the recipient of several EPIC-funded grants.
24 That has enabled us to build our microgrid
25 technology and commercialize it. We are on a

1 path to commercialize our microgrids. And I'll
2 present the things we have done so far, what, you
3 know, (indiscernible) we were provided and some
4 challenges there. Okay.

5 Next slide. Thank you.

6 So this is our critical facility
7 microgrid network. We have about five microgrids
8 in operation. They've been operating for about
9 two or three years now, especially in the City of
10 Fremont where we have fire station microgrids.
11 That was originally EPIC-funded/CEC-funded
12 project that finished in 2018-19. We have
13 another 15 in the design and construction phases.
14 And we plan to do more than 50 microgrids by
15 2021/2022. As you can see, our focus, really, is
16 into small and mid-size critical facility
17 systems, businesses that have, you know, critical
18 resiliency needs. And we cater to a different, a
19 very, you know, very different working goals. So
20 starting from government critical facilities,
21 like fire stations and police stations, all the
22 way to residential communities, food processing
23 plant, and a grocery store. So we intend to get
24 all our systems deployed to each one of these,
25 you know, more modular and a scalable product-

1 centric focus.

2 Next slide.

3 Now these are the pictures of some of the
4 microgrids that we have already deployed. As you
5 can see, there are some of the fire stations.
6 Some of them are grocery stations and so on and a
7 few of these have been operating for several
8 years now and we have good operating experience
9 on those microgrids.

10 Next page.

11 Our goal is to kind of take a product-
12 centric approach to microgrid systems. So,
13 traditionally, microgrids have been custom
14 designed and, you know, call it each different
15 types of distribution, and that's not scalable,
16 so we took a different approach. Our technology
17 and systems are based on more of a product-
18 centric approach but in a modular and a scalable
19 fashion, so you could actually scale the
20 microgrid or make it modular. And then it's
21 mainly software driven. So we standardize on the
22 hardware, the interfaces, and then, you know,
23 provide the differences for different type of
24 verticals based on the software, and we've been
25 quite successful in doing that over the last

1 five, six years.

2 As you can see in the bottom of this
3 chart here, our Version 1.0 is kind of a 20-foot
4 container option back in 2016-17. And then we
5 went to the modular kind of approach. And then
6 we did more box-type design that we are deploying
7 now at several locations. And every time we did
8 that we were able to achieve about 30 to 50
9 percent cost reduction, not just on the product
10 but, also, in terms of deployment and
11 standardizing interconnections and designing and
12 all of that.

13 Next slide.

14 This kind of like shows the whole design
15 and operations of our microgrid. The lower half
16 of this slide shows how the PV system and the
17 load, whether they are critical load or EV
18 chargers that are kind of connected in the
19 microgrid, our box, as you can see in the middle,
20 is where the battery system and the control
21 resizing is connected to a cloud system. That
22 connects to different parts of the network,
23 whether it's a utility back office or what have
24 you.

25 And the idea here is to kind of provide

1 two modes, both grid time and off-grid. In the
2 grid-time mode, it can provide energy savings,
3 demand charge reduction, and all those community
4 services, grid services. And when there is a
5 real even of microgrid, that's a PSPS event or an
6 outage, then the system can safely select from
7 the grid and provide continual clean power to the
8 facility for, you know, whatever time it is
9 designed to do that.

10 And the next slide.

11 So here are some challenges and
12 opportunities we see in terms of kind of how we,
13 you know, have been deploying the system.

14 So the first challenge we see is private
15 financing. And this is essential for
16 commercialization. Our focus is small critical
17 facility microgrids. They are very difficult to
18 finance fully with private financing. So my
19 recommendation and suggestion is to continue
20 investment programs, establish the value of
21 resiliency whether it is a microgrid tariff or
22 displacement cost of fossil fuels. Create new
23 ancillary grid service revenue for cluster of
24 microgrids.

25 CAISO has a good program where you can

1 actually have a large, you know, let's say energy
2 resource or storage resource where you can
3 actually provide grid service on it. But, you
4 know, we need to be able to be creative in kind
5 of supporting our cluster of continued grant
6 projects. And the big point here is that, you
7 know, prioritize subsidies for smaller projects
8 because larger microgrids projects are
9 financeable and do not need subsidies. But
10 smaller projects, like fire stations, typically,
11 they really need subsidies right now in this
12 market until prices drop.

13 Secondly, challenges trying to deploy, I
14 had a long conversation with CPUC on this. And
15 I'm proud to see -- happy to see the work they
16 have done in terms of SB 1339. You know, the
17 time it takes to connect and the permit process,
18 you know, standardized design and building codes,
19 they have standardized the interconnection
20 process and so on.

21 A third important point I'd like to make
22 is awareness and decision making. A lot of
23 critical facility operators, you need a lot of
24 education in terms of importance of microgrids.
25 And so, you know, develop some market outreach

1 and awareness programs.

2 I think point number two there is
3 important, to actually promote a data-driven
4 approach. We have all the data. We know exactly
5 where we can get energy savings, where we can get
6 good solar production. If that data is provided
7 to companies, you know, then we can actually
8 figure out what sites best benefits and are
9 financeable-possible, bankable, in terms of
10 energy savings and resilience. Further, building
11 code development and, you know, and so on, and
12 standardized community microgrid.

13 And the final point I would like to make
14 is cost to deploy. The material costs, batteries
15 and PV, they kind of go up and down. You know,
16 kind of over long period of time, it goes down.
17 But, you know, because of the tariffs and market
18 uncertainty, we have seen the prices fluctuate.
19 And that kind of, you know, creates a problem for
20 companies like us who are trying to deploy
21 several of these microgrids. So the idea is to
22 promote a product-centric approach and, you know,
23 try to figure out a way to standardize and
24 decrease and stabilize those prices.

25 Next slide.

1 And that's it. I think that's what I
2 wanted to present. I'll be happy to answer any
3 questions for me in the question and answer
4 session.

5 Onto the next, okay?

6 MR. ERNE: Great. We'll move on to Mick.

7 MR. WASCO: Hi everybody. I'm going to
8 present on MCAS Miramar. Hold on. I'm starting
9 my video here. I work for Utilities and Energy
10 Management at Marine Corps Air Station Miramar in
11 San Diego. I've been doing energy there since
12 2012. And this installation microgrid has been
13 my entire career pretty much.

14 Next slide.

15 So a bit of history. I'm going to talk
16 about the installation microgrid today. But in
17 2012, we also studied or started a parallel path
18 where we were doing research/demonstration
19 microgrids in which we completed a 100 percent
20 renewable microgrid for our building, which was
21 solar and battery storage with no spinning
22 generation, just for the record. In 2016, we
23 successfully demonstrated that. It took \$3
24 million and quite a bit of effort to get that
25 done. And I consider that a huge learning

1 experience for what we're doing in the bigger
2 installation microgrid project which, make no
3 mistake about it, was a capital investment from
4 the Marine Corps for mission assurance and
5 resilience.

6 So the \$20 million microgrid supplemented
7 existing onsite renewable resources. So you can
8 see, we get about -- or the details are on the
9 next slide but we get about half of our
10 electricity from landfill power. And that's
11 unique through a power purchase agreement. We
12 also have about 1.7 megawatts of PV on the
13 installation at this point.

14 The microgrid project itself was a \$20
15 million investment that, essentially, built a
16 central power plant that enables us to island all
17 of our critical loads. And so when you see that
18 airfield there, the entire airfield is powered by
19 the microgrid system. And we have the
20 flexibility, with all of our resources, to choose
21 what sections of the base get powered. But in
22 terms of capacity, the power plant is designed to
23 carry out all airfield operations.

24 In addition, we have some other resources
25 that are being integrated. As part of a CEC EPIC

1 Grant that was awarded a couple years ago, we
2 will be installing large-scale battery storage
3 and, also, a robust demand response control
4 mechanism within the microgrid as well.

5 Next slide.

6 So here are all of those DERs by the
7 resources -- or by the numbers. And it's a bit
8 complicated because everything's kind of in
9 motion right now and the battery storage EPIC
10 project is still in design. The power plant is
11 finalized and in commissioning. And that
12 landfill power has been going on for -- since
13 2012. So everything is a work in progress.
14 There are some other assets in the system, such
15 as a vehicle-to-grid demonstration that's being
16 done with the CEC as well. A lot of those assets
17 are just opportunities for us to research these
18 ideas and concepts later as part of
19 demonstrations.

20 But, you know, the main focus of the
21 microgrid at Miramar is for resilience for the
22 Marine Corps to ensure that we can carry out our
23 mission at all times given any state of the
24 country. And that requirement is actually for 14
25 days.

1 So next slide.

2 Very proud to state, and I got very lucky
3 to do this webinar after the fact, but we had our
4 first couple of successful island tests for the
5 entire operation just a couple weeks ago in June.
6 So this has been insanely exciting for me. My
7 entire career has led up to that moment to see
8 these things actually work. And so this
9 screenshot, you can see all of our power plant
10 assets, as well as our landfill power,
11 contributing to powering the entire installation
12 at Miramar.

13 So if you remember a couple slides back
14 of that aerial view, that's over 500 facilities,
15 pretty much like a small city. I wouldn't be
16 surprised if the loads were the same as the
17 hospital but -- because, you know, it is not a
18 very big base. You know, our average load is
19 only eight or, you know, nine megawatts. But in
20 terms of complexity, there's certainly a lot of
21 variability with different types of buildings and
22 different types of missions going on.

23 So during that testing, we were able to
24 do some stress tests that are very interesting.
25 We simulated losing landfill power and, also,

1 losing diesel generation, and so I can talk about
2 those technical details at length, but I'll,
3 rather, give opportunity for questions later.
4 I'll just clarify that on this page, you have to
5 recognize that our system is still in
6 commissioning and there are some datapoints that
7 are not accurate or not complete yet.

8 For example, the PV bar on the right
9 shows -- doesn't show any values but that's
10 because the meters are currently not linked. But
11 all of those PV systems were operating and
12 contributing to the grid as well.

13 The bar next to that, that says,
14 "Loading," is waiting for our future battery to
15 get integrated into that DER set.

16 Now if you'd go to the next slide?

17 So just more comments about what it takes
18 to make this happen. I think what I bring to the
19 discussion today is just not sugarcoating any of
20 this microgrid stuff. It's taken a very long
21 time, very difficult to implement, especially at
22 an installation scale. All of the tenants,
23 remember, there's 10,000 people at MCAS Miramar
24 that had to be affected by just one day of
25 testing to have a base-wide outage and all of

1 that coordination, especially with all the
2 different team members.

3 And, you know, the future of microgrids
4 is definitely not to be understated with -- we
5 now have a new microgrid operator who is going to
6 be operating the system full-time. So in terms
7 of economics, there's a lot of interesting
8 conversations to have about Miramar and the
9 microgrid as it relates to economics in the
10 future. We are not intended to island ourselves
11 all the time. It's meant as a backup system.
12 But all of our investments have been made to try
13 and support the local grid and to try and do so
14 as cost effectively as possible.

15 So I'll leave it at that, and you can go
16 to the next slide, and then I'll finish up.

17 MR. ERNE: Great. Thank you, Mick. I
18 appreciate it.

19 And we'll now move on to Jessie. Jessie,
20 you're still muted.

21 MS. DENVER: Great. Can you hear me
22 okay?

23 MR. ERNE: Yes.

24 MS. DENVER: All right. Perfect. Well,
25 thanks so much for inviting EBCE to the

1 conversation. A quick overview of who we are.

2 East Bay Community Energy is the load-
3 serving CCA program in Alameda County. And we
4 will also begin serving the City of Tracy in
5 neighboring San Joaquin County in 2021. The
6 structure of EBCE is that we're a Joint Power
7 Authority whose members include 14 cities and the
8 County of Alameda itself. And we are governed by
9 a board of directors that's made up elected
10 officials from each of our JPA-member
11 communities.

12 Next slide please.

13 So over the last year, EBCE has been
14 working with these local government partners to
15 determine, when there is a major grid outage,
16 where will people go? What will they need from
17 the cities and the county? And will the critical
18 facilities be ready. So these facilities range
19 from EOCs, fire and police departments, rec
20 centers, schools, libraries, which all serve
21 critical functions of ensuring that the community
22 has light and security, warm places to sleep,
23 food and drink, communication, medical support,
24 and general people to help the community in
25 response to a major grid outage.

1 And so over the course of the last year
2 we've been working with these local government
3 partners to identify what critical facilities
4 they have and what those loads at those critical
5 facilities are that need to be met by solar and
6 storage.

7 And I should mention that we're also
8 collaborating with Peninsula Clean Energy, who is
9 the CCA serving San Mateo County on this project.
10 So together we've developed an initial portfolio
11 of almost 500 facilities in 26 cities across the
12 two counties, Alameda and San Mateo County. And
13 we worked to score those 500 facilities to
14 prioritize facilities that had a lower hazard
15 exposure and a higher service value to the
16 community. So what we looked at was were
17 facilities in a fault or liquefaction zone? Were
18 they susceptible to flooding and other types of
19 hazards? And also looked at how easy was it for
20 the community to, for example, walk to a
21 particular facility to be able to get these
22 services.

23 So from that prioritized list of about
24 425 facilities, we worked with our technical
25 consultant, ARUP, to actually size solar and

1 storage systems to meet the critical loads at
2 these priority sites. And we're currently
3 determining the best path forward to deploy these
4 system at scale across such a large portfolio.

5 Next slide please.

6 So to that end, in May, we issued a
7 request for information to gain industry insight
8 on the following sections of the RFI. Section
9 one was the value of aggregated procurement.
10 There's been a number of regional bulk
11 procurement efforts over the last 10 to 15 years
12 for solar in the Bay Area on public facilities.
13 And they've resulted in system deployment but not
14 at the scale and within the time frame that we
15 need to do so today. So we really wanted to
16 figure out how this could be done more
17 efficiently and the role of the CCA in helping to
18 expedite that.

19 Section two of RFI was on preferred
20 procurement pathways and I'll cover that in the
21 next slide.

22 Section three, we asked industry to give
23 us some feedback on foreseeable challenges with
24 the approach of issuing an RFP for such a large
25 portfolio of facilities across so many

1 jurisdictions. We also asked the industry to
2 provide us feedback on potential challenges with
3 existing PV systems. Some of these critical
4 facilities have deployed solar through power
5 purchase agreements, and so we would need to
6 retrofit those systems with battery-energy
7 storage. So what are the legal and kind of
8 contractual challenges associated with that?

9 And next slide please.

10 With regards to the procurement models,
11 these are the specific options that we outlined
12 in the RFI. So we're all very familiar with the
13 traditional PPA model, and that was Option A.
14 And we asked for feedback on these other options,
15 including Option B, which is where the CCA would
16 actually fill the role as the central PPA
17 counterparty. The other options included a
18 public sector partner purchasing the project
19 outright and/or the public sector issuing a bond
20 to be able to fund these projects.

21 So what you can see here is that the
22 industry feedback we received, and we did receive
23 18 responses to the RFI, overwhelmingly, the
24 preference was for this Option B, the CCAs being
25 the central PPA counterparty.

1 And so the CCAs are currently discussing
2 how we would do that and how we would develop a
3 standardized kind of PPA contract that we could
4 negotiate with each of our local government
5 partners and then sign with the project sector
6 industry partner. And the intent here is to
7 reduce complexity of negotiating contracts.

8 Next slide please.

9 Just to wrap up, some of the other areas
10 that we received feedback from the RFI included
11 the best practices and improvements of aggregated
12 procurement, really standardizing what the
13 systems do across the entire portfolio, ensuring
14 that we have early buy-in from our public
15 partners, so really getting that top-down
16 approval for participating in this project to
17 ensure that when industry bids on this, the
18 projects will get built.

19 The industry did indicate that they
20 really felt that, from the perspective of
21 customer acquisition, the CCAs having the central
22 role of organizing the portfolio of projects
23 would result in time savings.

24 And there is this value of the CCAs in
25 providing some of the upfront site and

1 development work which industry indicated they'd
2 be willing to reimburse the CCAs for doing. And
3 this, in turn, would lower their risk of projects
4 not being viable.

5 And then, from the perspective of
6 existing solar PV systems, there will be
7 challenges with addressing those existing PPA
8 contractual relationships and retrofitting those
9 system with battery-energy storage, so we're
10 trying to figure out what that looks like.

11 And then other foreseeable challenges,
12 from the industry's perspective, include
13 potential COVID-19 delays, IOU interconnection.
14 Some felt like they might have some supply chain
15 delays. And then just the public site access
16 constraints, again, tied to COVID.

17 So next steps for the CCAs is we're
18 determining internally how the CCAs can fill the
19 role of being the PPA counterparty across this
20 portfolio of sites with our local government
21 partners. And we'll be bringing out partners
22 together over the next couple months to discuss
23 that in more detail and get some commitments
24 around the procurement next steps. And we
25 tentatively aim to issue an RFP for the portfolio

1 of sites later this year or into early 2021.

2 Thanks so much.

3 MR. ERNE: Great. Thank you, Jessie.

4 So that completes all our panelists, so
5 I'll turn it back over to the Vice Chair, if
6 there are any questions from the dais.

7 VICE CHAIR SCOTT: Okay. Thank you so
8 much to David.

9 I want to say thank you to John and
10 Vipul, Mick and Jessie, for a fascinating and
11 informative panel.

12 Let me ask both the panelists and, also,
13 my fellow dais mates to please turn on your
14 videos so that we can have a group discussion
15 together.

16 And I have a few questions but let me
17 open it up and see if some of my dais mates have
18 questions they'd like to start with? Okay.
19 Everyone's a little shy.

20 Oh, yes, please, Commissioner Shiroma, go
21 ahead.

22 COMMISSIONER SHIROMA: All excellent
23 presentations. Thank you to each of our panel
24 presenters.

25 Well, here's my question, and you can

1 choose to answer it or not answer it. We've got
2 our track two proceeding underway. We just
3 issued a scoping memo last Friday on it. Lots
4 more to follow. But for each of our presenters,
5 if there is one specific thing that takes top
6 priority from your perspective that the CPUC
7 should focus on within our Track 2 rubric, what
8 would it be?

9 MR. GORE: Well, I can go first.

10 Yeah, thank you, Commissioner Shiroma.
11 So, yeah, interconnection challenges still remain
12 a challenge for us. I think that's very
13 important. There was a lot of, you know, work
14 done in the Track 1 interconnection but I think
15 that still remains a challenge for us.

16 And you asked for one but I'm going to
17 give you two.

18 The second one is a financing challenge.
19 You know, we still need to make sure these
20 microgrids are financially reliable and bankable.
21 For small sites, you know, challenges remain the
22 financial.

23 Those are the two things. Those two
24 things make my -- I don't like to see that
25 (indiscernible) at this right now.

1 MR. ERNE: Vipul, can you elaborate on
2 some of the challenges with the interconnection
3 that you still experience?

4 MR. GORE: It's -- so we've been
5 having -- so that's a great question.

6 So prior to SB 1339 activities, we had a
7 lot of challenges. I mean, you know,
8 interconnection would take us 9 months and 12
9 months, you know, and so on, really long. After
10 1339, the pain has reduced. We have some -- some
11 of these, the processes are streamlined. We
12 have, actually, the right people we are talking
13 to who they took an action for teams to
14 standardize the design and it's a back and forth
15 discussion we are able to break and is all very
16 good. I'm in the midst of three of four of those
17 discussions with SCE, PG&E and SDG&E right now as
18 we speak.

19 But, still, I think there are headwinds.
20 You know, sometimes it just takes a long time for
21 us to, basically, make a point and get going.

22 And the way I always compare it is it's
23 not every -- a residential interconnection takes
24 like a week or ten days to interconnect. Then
25 you've got any like fire station or a police

1 station for it to connect, this could take six to
2 nine months, and that's the problem. We have to
3 figure out a way to get a standardized design and
4 just get it one very quickly. And that's what
5 I'm -- we are hoping that it should look like.

6 MR. ERNE: Thank you.

7 And I think, John, you wanted to make
8 some comments.

9 MR. GRIFFITHS: Yeah. Well, thank you,
10 Vipul. I would second that. Yeah, certainly, a
11 number of projects I'm involved in that the
12 interconnection sets the critical path.

13 And the other side is, you know, in terms
14 of delivering these projects, I think, Mick, as
15 you said, these are challenging projects to
16 deliver until we get more used to that. And I
17 think, if there's a way we can find to simplify
18 the interconnection so the effort that teams put
19 into the interconnection, getting the projects
20 interconnected, can then focus on delivering
21 value, you know, choosing better design,
22 optimizing the controls. It's sort of
23 reinforcing that point.

24 But I think it's -- you asked that,
25 what's the one thing? And I would certainly

1 second that.

2 MR. WASCO: I could add some different
3 points.

4 You know, for me, the interconnection was
5 not too much of a struggle. So it's very
6 interesting that everybody has different
7 perspective.

8 For me the -- I have two real main
9 things.

10 We've been developing our project for
11 nearly a decade. And at this point, to kind of
12 kill two birds with one stone, one of the
13 questions online was talking about departing load
14 charges. And the reality is, is that I have no
15 idea how the economics of our microgrid system is
16 going to work in the future. We designed and
17 built it to support the grid and levelize our
18 load with the utility and become a better, easier
19 customer. And there's currently no tariff or
20 economic opportunity to do that.

21 And the other thing I would comment on is
22 just policy. And I definitely agree with the
23 goals of a cleaner and quieter resilience. But
24 at this time, we are just trying to achieve
25 resilience. And in the Marine Corps, our

1 requirement is 14 days. Our system has the
2 capability of running 21 days, just off the
3 resources that we have onsite, thanks to
4 renewables.

5 And the fact of the matter is, is that is
6 because we have diesel and natural gas, although
7 it is currently the most clean diesel and natural
8 gas that could even be built, it's still sort of
9 looked at as not a true microgrid in the state of
10 California. And that's my challenge, is that I
11 have tremendous opportunity to use clean natural
12 gas to be a better customer of SDG&E, support the
13 grid, and provide complete and total resilience
14 to the military, but there is zero economic
15 incentive to do that because our departing load
16 charges potentially cancel out any benefit that
17 we have of just the minimal use of peak shaving
18 with natural gas.

19 So in general, those are my biggest
20 things, economic opportunity and not having
21 technical policy against a certain technology
22 because microgrids should not be curtailed to a
23 certain technology by policy at this point.

24 MR. SCAVO: So this is Janea Scott. I'd
25 like to throw in a question here which is, all of

1 you have mentioned, at one point in your
2 presentations, that's it's difficult to overcome
3 the institutional inertia and that there's a lot
4 of education that needs to be done around
5 microgrids. And I was wondering if you were
6 willing to provide some insight onto either,
7 whether it was a data, a datapoint that was most
8 compelling, or what it was that was most
9 persuasive to the folks that you are working with
10 to get them to want to build a microgrid and go
11 down this pathway with us? And I think that's
12 important as we are looking towards the
13 commercialization of microgrids, like Mike
14 Gravely mentioned a little bit earlier.

15 MR. WASCO: I could go first on that
16 because it's the easiest for the military. It
17 really starts with leadership and buy-in from the
18 customer. You can't have a technology or an
19 outside stakeholder trying to achieve something
20 for an entity. They have to want it themselves.

21 And so I think having that project
22 championed within the organization is the
23 solution to following through on these projects
24 for me. And that's, for us, been our commanding
25 officer on the installation has had full buy-in

1 into our microgrid program for the last decade.
2 Even though that military officer changes over
3 every two years, it's really easy to continue
4 that continuity.

5 MR. GORE: I can go next. So, yeah, Vice
6 Chair Scott, for us, you know, the thing that
7 really caught attention of the interconnection
8 piece process is utilize containerized design. I
9 mean, that's our approach, this clean, standard
10 box design that we are going to deploy in all the
11 locations, that's simplified and that caught
12 attention with all the people who were addressing
13 the interconnection study and the whole process.

14 You know, from their perspective, every
15 time there is a different design, they have to
16 kind of see how this is going to destabilize the
17 grid or, you know, what is the impact on the grid
18 of the distribution? But if you have a standard
19 design, you know, same type of factory systems,
20 same power level, same type of way to connect and
21 disconnect, that simplifies a lot and I think
22 that caught attention from a design perspective.

23 MR. GRIFFITHS: So can I, may I, say --
24 try to -- make sure I answer your -- could I try
25 and answer your question?

1 I think, was your question here, why --
2 what overcame the institutional inertia? Is that
3 the -- I think that was your question.

4 VICE CHAIR SCOTT: I was wondering what
5 it was that convinced the person to say, yes,
6 okay, you can go ahead and build this microgrid?

7 MR. GRIFFITHS: Yeah. Well, truthfully,
8 I think it was -- there was a CEC grant, well,
9 great, that's awesome, I think, being perfectly
10 frank. Just thinking about one and I need little
11 bit of time to think about that.

12 And I think the other point is leadership
13 within organizations. I think Bernard Tyson
14 before he passed away, you know, he was a big
15 advocate, you know, at Kaiser for more
16 sustainable solutions. And I think, you know,
17 we're delivering microgrids at different
18 organizations but I think, you know, it's great
19 that California is providing that leadership.
20 But I think there's also place at corporate
21 leadership to challenge because it's -- you know,
22 if an organization comes to an engineer or
23 somebody and says, well, I need backup for this
24 PSPS, the default solution, okay, diesel
25 generator, here you go.

1 But I think that maybe corporate
2 leadership, you know, and it's great that the
3 Marine Corps are doing this, is -- I think that
4 has a place in driving this, as well, at a state
5 level.

6 I don't -- anyway, that's maybe a
7 slightly different perspective that may help.

8 MS. DENVER: And I'd just add that, in
9 addition to the top-down leadership buy-in, that
10 having the technical support for these
11 organizations, like that that's coming from the
12 CCAs right now, is really helpful because cities
13 and counties don't have staff who have the
14 bandwidth or the knowledge and expertise to be
15 able to move these projects forward. And they
16 don't have the funding to be able to hire a
17 third-party consulting firm to do that work for
18 them or to issue bid solicitations one off of
19 each other.

20 And if we're trying to achieve economies
21 of scale and try to get these systems on the roof
22 and in the ground quicker, that is this new goal
23 that the CCAs are seeing themselves being able to
24 fill as being able to provide that technical
25 assistance back to our customers to enable them

1 to achieve these resilience goals as they've been
2 working so long to achieve.

3 MR. WASCO: I second that because at MCAS
4 Miramar, we've been partners with the National
5 Renewable Energy Lab in Golden, Colorado for
6 nearly a decade. And we wouldn't have done
7 anything that we've done without their support
8 the entire time.

9 Other military bases around the country
10 are using national labs and much of them are
11 gaining success in the microgrid arena just by
12 having their technical support.

13 VICE CHAIR SCOTT: Great. Thank you.
14 Are there other questions from my dais
15 mates?

16 Yes, please, Commissioner Douglas.

17 COMMISSIONER DOUGLAS: So, briefly, on of
18 the obstacles to microgrids that was discussed
19 was just permitting challenges. Can you maybe
20 describe a little more what some of the
21 complexities can be once you've got a project
22 that you're ready to build?

23 MR. GORE: So let me understand the
24 question properly, so can you please ask the
25 question again? I'm sorry, Commissioner.

1 COMMISSIONER DOUGLAS: It was actually, I
2 think, in your presentation. You raised
3 permitting challenges as one of the challenges in
4 front of microgrids. So I was hoping you could
5 explain a little more about what some of those
6 challenges are?

7 MR. GORE: Yeah. So in the permitting
8 process, you know, it's very new to the cities
9 that, you know, we are deploying these new
10 microgrids. But they know how to permit a diesel
11 gensets very easily and there are lots of cases
12 and, you know, of resilience that they can rely
13 on. But many are deploying solar and a storage
14 system together. You know, there are challenges
15 about how it is going to get connected, where
16 basically, you are going to draw the service
17 panels and all of that. And so I think from the
18 city process, you know, there are some questions.

19 Not -- there -- I have not seen too many
20 of electrical, you know, permitting questions,
21 but I've seen sometimes, you know, structural,
22 procedural, those types of questions a lot.

23 So get a standardized way. And the city
24 permit AFJs (phonetic), they know that, you know,
25 these are going to be deployed in this manner and

1 there's awareness, then the permitting process
2 can go faster.

3 COMMISSIONER DOUGLAS: Okay. Thank you.
4 And then I also --

5 MR. GRIFFITHS: And could I --

6 COMMISSIONER DOUGLAS: Please.

7 VICE CHAIR SCOTT: Yes, let's go to John,
8 and then we'll go back to David.

9 MR. GRIFFITHS: Okay. Thank you. Sorry.
10 I was just trying to be polite.

11 You know, from a healthcare perspective,
12 the permitting, just by the nature of their
13 essential specifics, is that it's many layered.
14 You know, they all right regulated by OSHPD,
15 which is OSHPD which, you know, has been very
16 proactive in starting to adopt these standards,
17 but then there's the NFPAs that, you know, they
18 reference.

19 And the other challenge is we have, at
20 the federal level, CMS. So for hospital, if you
21 have a microgrid connected, to get licensed you
22 need to meet the federal standards. And so
23 there's a multi-layered agreement to get to
24 where, ultimately, you can permit the project.
25 But if it's a licensed hospital, there are some

1 other challenges that need to be overcome.

2 But, you know, the process has started,
3 so it's -- I'm laying out, probably, not
4 necessarily the solution. But, you know, I think
5 time is not on our side. You know, Mick saying
6 21 days, you know, we've gone from 72 to 96 hours
7 and the healthcare facilities are looking for
8 backup power for five days. So you know, we have
9 to work on that somehow.

10 COMMISSIONER DOUGLAS: Right. And let me
11 just do a super quick follow up on that,
12 especially in the hospital setting, because I
13 know it is extremely challenging and, also,
14 extremely valuable in terms of the use case.

15 You know, aside from, say, getting an
16 EPIC Grant, what are the -- what kinds of
17 incentives might really move the needle? Could
18 it be low-income loans? Could it be programs
19 that help on rate? You know, what makes the most
20 sense for healthcare providers specifically?

21 MR. GRIFFITHS: That's a really good
22 question. I think just one of the barriers we've
23 come up against are a lot of them are not-for-
24 profit, so, you know, the PPA model works well.
25 I know Kaiser and other healthcare providers have

1 adopted that.

2 Yeah, I think the other side is
3 education. And then maybe I'll say a different
4 point.

5 One is, I don't know, funding that
6 because, you know, there's a lot of people and
7 healthcare operators, decision makers, are very
8 busy. And to ask them to do something that,
9 potentially, they're unsure of, then put them
10 at -- that they see as a risk, I think investing
11 in education.

12 But just a small point. We did a
13 presentation at Kaiser Richmond and it was for
14 the California Society of Healthcare Engineers.
15 And usually we get about 10 or 12 people who
16 attend. We were -- the room was packed. We had
17 to turn people away. And I felt really proud
18 that they had showed up.

19 So I think there's an interest that these
20 are the guys that, you know, engineers,
21 operators, work in the boiler rooms day in, day
22 out. So I took -- that was in the evening. They
23 took their time out off their own back to come
24 in, so I see there's interest, so we can educate
25 them because they have a place in making

1 decisions. Is it a diesel generator or is
2 service/storage? So --

3 COMMISSIONER DOUGLAS: Right.

4 MR. GRIFFITHS: -- it may be just, you
5 know, an idea, education.

6 COMMISSIONER DOUGLAS: And I keep
7 threatening to ask the last question but I have
8 one more, just from what you just said, and that
9 is have you done an analysis of the performance
10 of the microgrid, you know, compared to diesel
11 generation? Because, of course, diesel
12 generators, you've got an upfront cost but you've
13 got this ongoing maintenance issue, you've got to
14 buy fuel, you've got to make sure the fuel is
15 fresh. It's not like you can set it and forget
16 it.

17 And, also, you know, microgrids, if
18 they're in place, should be better. They should
19 be a lot better. But is that your experience and
20 observation? Is that something that would
21 resonate?

22 MR. GRIFFITHS: I think so, yeah.

23 Oh, Mike, do you want to answer that?

24 MR. WASCO: No. No. You can go first.

25 I'll just add on. I didn't mean --

1 MR. GRIFFITHS: Sure. Yeah.

2 MR. WASCO: -- to interrupt you.

3 MR. GRIFFITHS: Yeah. Sure. No. No. I
4 think it's that value proposition. And I, you
5 know, I've recently been involved in a large
6 medical office building in Marin. And we
7 actually have to quantify the costs, the ongoing
8 costs in there. They're fairly, fairly large in
9 terms of value.

10 One thing that I could throw out which, I
11 think, in the PSPS is noise and exhaust
12 Because I'm trying to make sure this is relevant
13 to your question. But if we see generation --
14 you know, if they're all bets you can -- don't
15 meet the local noise ordinances and, also, Bay
16 Area Air Quality.

17 So, again, COVID is going to have more
18 immune-compromised people, but I think that's a
19 value that, when we look at it in dollars and
20 centers, is I think there's going to be a lot of,
21 at the end of this PSPS season, I'm not sure, but
22 there's going to be a lot of unhappy people with
23 500 kilowatt diesel generators parked in their
24 parking lot next to a residence. How do you
25 quantify that value? Because, you know, if

1 they're not well executed, these are other kind
2 of, sort of, let's say intangibles but things
3 that will come up that microgrids and solar plus
4 storage projects, that's not an issue in.

5 Anyway, I've gone off on a bit a tangent,
6 so hopefully that that was informative. I better
7 leave it to you, Mick, before we run out time.

8 MR. WASCO: So all I was going to say was
9 that, in my mind, the more likely situation for
10 microgrids in the future is to have all of these
11 assets participating together.

12 You know, the comment in the beginning,
13 I'm really working off of that, that we're trying
14 to make resilience cleaner and quieter, not clean
15 and quiet. I think part of the challenge is,
16 taking part in a 100 percent renewable microgrid
17 earlier in my career, I know technology advances
18 every day but, still, the difference between
19 doing 100 percent renewable and a mixed DER
20 system, like what we have, we have a specific
21 reason for every single type of technology that
22 we have in our microgrid. And it all pays
23 dividends to have those different technologies.

24 Per electrical engineers at the National
25 Renewable Energy Lab, we couldn't have a

1 microgrid to successfully have resilience for our
2 mission without diesel. And so I think the
3 technical solution is, you know, something that
4 the engineers can figure out and the value for
5 the renewables is most definitely there.

6 You know, especially for the military, it
7 is not good to rely on diesel fuel. So there's
8 an obvious benefit to having natural gas
9 generation and, also, to have PV and onsite
10 landfill gas generation for us. I know that MCAS
11 Miramar is extremely lucky to have those
12 resources onsite. But make no mistake about it,
13 we are leveraging as much as possible of our
14 onsite resources but absolutely need the diesel
15 to make our system work to meet the mission.

16 COMMISSIONER DOUGLAS: No, I think
17 that --

18 VICE CHAIR SCOTT: No. I know that --

19 COMMISSIONER DOUGLAS: -- I think --

20 VICE CHAIR SCOTT: Oh, go ahead.

21 COMMISSIONER DOUGLAS: I'm sorry. Just
22 super briefly.

23 You know, you guys did really great
24 leadership work with 100 percent renewable
25 microgrid. I think a lot of people in the state,

1 though, you know, unfortunately, sort of think
2 they're in the 100 percent diesel backup mode.
3 And so it becomes the question of, you know, what
4 are the benefits to you of losing less diesel and
5 more renewable within this --

6 MR. GRIFFITHS: Um-hmm.

7 COMMISSIONER DOUGLAS: -- system that --

8 MR. GRIFFITHS: Yeah.

9 COMMISSIONER DOUGLAS: -- you know, for
10 larger users most likely still includes some
11 diesel. And that's where that tradeoff is kind
12 of interesting.

13 MR. GRIFFITHS: Yes.

14 MR. GORE: If I could just make one
15 comment, Commissioner Douglas?

16 I was evaluating multiple hotels for
17 replacing the diesel gen set with onsite battery
18 and solar system, and the economies did not work
19 out. You know, like they should last -- they
20 should last three months. The cost of the
21 generator is one-time cost but it was cheaper
22 than actually putting the PV in and the battery.
23 I hope that going forward, you know, the prices
24 come down and it becomes economical. With
25 smaller sites, they're still a challenge.

1 MS. DENVER: And I would add that --

2 VICE CHAIR SCOTT: I'm going to take one
3 last word in. We'll just do one last comment in
4 from Jessie. I know this is so exciting to talk
5 about. We could talk for many hours. I think
6 our 90 minutes has gone by so quickly. But let's
7 hear from Jessie. And then we had said that we
8 would take a few comments in from the audience,
9 as well, and so Qing has those teed up for us.

10 So, Jessie, and then we'll turn over to
11 Qing please.

12 MS. DENVER: All right. Great. Thanks.

13 I would just add that, you know, right
14 now there is a focus on PSPS events but we still
15 are looking at the potential for a major
16 earthquake. And if there were a major
17 earthquake, that the natural grid -- that natural
18 gas grid could be down, according to the Lifeline
19 Council, for up to 30 days. And the roads would
20 be closed which would inhibit the ability for
21 diesel fuel to actually be delivered.

22 And when we're talking about critical
23 public facilities, like shelters, libraries, fire
24 stations, you know, some of these facilities,
25 cities and counties don't actually own diesel

1 generators at these sites. They have contracts
2 with diesel generator providers. And there's no
3 guarantee, for example, if there was a hurricane
4 happening at the same time on the east coast,
5 that the diesel generators would actually be
6 delivered to these sites.

7 So, you know, thinking about the scale of
8 the site and the appropriate combination of
9 technologies, you know, for libraries and
10 community centers, schools, the solution that is
11 onsite renewables with battery energy storage
12 does work because of these other factors.

13 I would also encourage the state to
14 consider what the value of resiliency is because,
15 as somebody noted earlier, for some of these
16 smaller systems, like a 5 kilowatt system or a 6
17 kilowatt system at a fire station, the economics
18 of that can be kind of hard. And if you then
19 factor in what the value of that resiliency is,
20 separate from a traditional return on investment,
21 then that kind of helps get decision makers over
22 the line in thinking about what is the value of
23 an avoided loss of life? What is the value of
24 social continuity and security because you have
25 lights on at a sheltering location and there

1 isn't crime that ensues because there are no
2 lights or -- you know?

3 And San Francisco had looked at this
4 through their resiliency work, so there is kind
5 of the start of that effort. But I would also
6 encourage kind of what is the value of that
7 resiliency so that that can start to be
8 considered by decision makers in addition to the
9 kind of traditional return on investment that
10 everyone looks at for project deployment.

11 VICE CHAIR SCOTT: Great.

12 Let me turn it over to Qing to ask a
13 couple of questions. I think we have about five
14 minutes, so let's do that, kind of in a lightning
15 round way. And then we'll open it up to the
16 public comment.

17 Qing, take it away please.

18 MR. TIAN: Yeah. This is Qing. And
19 we've got a lot of interest from the online
20 participants, so we probably will not have time
21 to go through everyone of them. I will have to
22 distill the information, you know, in terms of
23 what's most relevant to our panel.

24 So first question, I think we have a lot
25 of interest on the, you know, how can we use

1 microgrids to help address PSPS events?

2 And there were a number of questions on
3 how, for the existing microgrids, how long can
4 these microgrids provide power during a PSPS
5 event?

6 And what kind of resilience duration have
7 you or will you consider for microgrid design to
8 help address PSPS? As you all know, PSPS events
9 are expected to be days, not hours.

10 MR. GORE: I can go first, Qing. Thanks
11 for that question.

12 See, in our case, the way we design our
13 system is we design it for 24-hour resiliency.
14 Now it's a function of the size of the battery,
15 the critical loads and all of that, so we
16 carefully design that system and tell the
17 customer that if you, basically, get you know, it
18 has to be financially viable first. If you get
19 this size of a battery, you could schedule your
20 loads to this level. And, you know, lest just
21 say you have 50 percent production spoken and all
22 of that, then you would get a 24-hour, and then
23 we work backwards. That's how we design our
24 systems.

25 MS. DENVER: And for the systems that

1 we're sizing the solar and storage to meet
2 critical loads at the public critical facilities,
3 those are for a 5-day grid outage or a 120 hours.

4 MR. GRIFFITHS: Yeah. If I could just
5 add, yeah, from my, not design, but from my
6 clients, it seems to be five days, the desire to
7 have backup power, let's say, designed for.

8 MR. WASCO: And I'll --

9 MR. TIAN: Mick, is there anything you
10 want to add?

11 MR. WASCO: Yeah. On the military side,
12 I think it's a little bit more stringent. The
13 Department of Defense is calling for 14 days.
14 And with our system, in particular, given the
15 onsite resources and available fuel on the air
16 station, we suspect, given the usage of all of
17 our disparate DERs, we can run for 21 days
18 without an external fuel supply. But if the
19 natural gas pipeline goes down, if the landfill
20 power goes down, that time frame starts to
21 diminish.

22 But our goal in operation is to have the
23 most flexibility as possible, so that's why we
24 are implementing the demand response control
25 capability that we think will give us about one-

1 and-a-half megawatts worth of control across the
2 air station.

3 And I think that when you're talking
4 about days, not hours, there's so many different
5 contingency operations and so many things to
6 consider anyway that it's very difficult to plan
7 and design for those outcomes.

8 You know, before we were looking at
9 microgrids and we were looking at PSPS events,
10 now all of a sudden there's COVID and there's
11 another thing to consider. And it's interesting
12 that you never know what's going to be thrown at
13 you. And I guess our perspective is to just make
14 everything as redundant as possible for the most
15 amount of flexibility.

16 MR. TIAN: Yeah. Thank you very much.
17 Yeah.

18 So another thing I want to find out is,
19 you know, for our Fremont Microgrid Project and,
20 also, Richmond Microgrid Project, actually, we
21 started the project about six years ago. At that
22 time, you know, we don't even have a PSPS. So
23 things are evolving as we are, you know, moving
24 along.

25 And I also -- here's a second question

1 and it's about the -- you know, about
2 optimization.

3 So how many of these microgrids optimize
4 electric and thermal loads? Vice versa, what are
5 just electric load?

6 MR. GORE: Yes. Sorry. I was --

7 MR. TIAN: How about Vipul?

8 MR. GORE: Yeah. Quick --

9 MR. TIAN: Can you take this one?

10 MR. GORE: Yeah. Quick, quick response
11 to that one.

12 So in our case, what we do is we start
13 with electric. We look at the thermal loads. If
14 the thermal load -- you know, again, I'm talking
15 about small to midsize facilities. They're not
16 large facilities. If that thermal load is
17 loading up, then we load it. But if it is a
18 little bit larger, you know, let's say 25 percent
19 in electrical therms of the total electric load,
20 then we try to offset that. But normally we
21 don't consider thermal loads in our projects to
22 keep the costs low.

23 MR. GRIFFITHS: So --

24 MR. WASCO: You know, I --

25 MR. GRIFFITHS: Go ahead.

1 MR. WASCO: -- I can just add that our
2 system, in terms of electrical optimization, in
3 island mode the system, basically, uses all the
4 available generators in the power plant. And
5 we've proven that we cannot island with only
6 natural gas engines. We need at least one of our
7 diesel engines. And when the system is
8 stabilized we integrate the landfill power.

9 The landfill power, in terms of
10 electrical, has its challenges in that the gas
11 has problems with the electrical output. And so
12 we need spinning reserve online for integrating
13 those renewables, just in case they go down.
14 They're less reliable than the generation assets
15 in the power plant. But those renewable sources
16 greatly reduce the fuel, obviously, in island.

17 And our system, when grid connected,
18 operates entirely off of economics. So if
19 natural gas is needed to supplement a landfill
20 generator dropping offline and causing a peak for
21 our installation, then the natural gas will be
22 used and the diesel won't be used because it's
23 not economical.

24 MR. TIAN: Okay. Great. Thanks Mick.

25 I want to save the last question for

1 Jessie.

2 How does the CCA coordinate with
3 utilities, for example, PG&E's Community Resource
4 Center, which serves as a similar purpose during
5 a PSPS event?

6 MS. DENVER: So that's a good question.
7 Right now we've been coordinating more directly
8 with our local government partners on sizing the
9 sites that they have, that they've identified
10 across their different hazard mitigation and
11 energy response plans as needing to serve the
12 community in time of great outage.

13 We are on email communications with PG&E
14 who's identifying community resource centers
15 where they are deploying resilient centers but we
16 are not informing that particular process, so
17 they're a little bit -- but they are definitely
18 separate efforts that don't really have a lot of
19 crossover. The sites are not necessarily
20 interconnected to each other.

21 MR. TIAN: Okay. Okay. Thanks Jessie.

22 So we are close to the end of the panel,
23 so I would like to wrap up our time for Zoom Q&A.

24 I'd like to turn the meeting back to our
25 Vice Chair Scott.

1 VICE CHAIR SCOTT: Okay. Well, thank you
2 so much. I appreciate having a chance to get
3 some questions from the audience through Zoom, so
4 thank you for facilitating that for us, Qing.

5 I also want to say, thank you so much to
6 our panelists for what I think was very
7 interesting and data-rich presentations. As you
8 can probably tell, we could ask you questions for
9 the rest of the day but we won't. All right,
10 so --

11 MR. TIAN: Thank you.

12 VICE CHAIR SCOTT: -- thank you so much
13 for being part of today's discussion.

14 What we're going to do now is transition
15 into the public comment. So, panelists, you are
16 welcome to stay with your videos on. You are
17 also welcome to turn your videos off if you'd
18 like.

19 I would like for my fellow dais members
20 to please keep their cameras on as we listen to
21 our public comment.

22 And I'll hand it over to Heather Raitt,
23 who will walk you through how to do that and get
24 that part going for us.

25 MS. RAITT: Thank you, Vice Chair. This

1 is Heather Raitt.

2 I would just like to remind folks, if
3 you -- I see a couple hands up. But if you did
4 want to make public comments, go ahead and click
5 that raise-hand icon now, or press star nine if
6 you're on the phone. And we are fortunate enough
7 to have RoseMary Avalos with us today from the
8 Energy Commission's Public Advisors Officer, to
9 walk through the public comment process for us.
10 Thanks so much.

11 Go ahead, RoseMary.

12 PUBLIC ADVISOR AVALOS: Thank you,
13 Heather.

14 I'm RoseMary Avalos with the Public
15 Advisors Office. And I'll first call on
16 attendees using the raise-hand feature on Zoom.
17 Please state your name and affiliation for the
18 record. Also, spell your first and last name
19 after you are un-muted and before commenting.
20 And, please, do not use speaker phone feature
21 when talking because we won't be able to hear you
22 clearly.

23 And now I'll move on to A.D.

24 You're un-muted. Go ahead and make your
25 comment.

1 MS. DETRIO: Hello. This is Allie
2 Detrio. Name is spelled A-L-L-I-E D-E-T-R-I-O.
3 I'm with the Microgrid Resources Coalition.

4 First, just wanted to say thanks to
5 everybody for the great presentations today. A
6 lot of really great questions in information.

7 Since I know we're pressed for time, I
8 just want to underscore one major point, even
9 though I have several things I would love to
10 comment on if there were more time. Departing
11 load and standby charges are the single largest
12 financial barrier to microgrid deployment in
13 California. All non net-metered systems are
14 subject to these charges. You heard the folks at
15 Miramar where they don't even understand the full
16 economic impact of their microgrid because of the
17 departing load charges and how detrimental they
18 are to the overall cash flow and economics.

19 Exempting microgrids from departing load
20 charges is the single most impactful thing the
21 State of California could do to accelerate the
22 deployment of microgrids across the state. You
23 could consider it a form of economic stimulus
24 that the state can implement without having to
25 spend any money.

1 Modernizing standby charges so they're
2 more fairly calculated based on real-world
3 circumstances is also something that really is
4 important, as well as really evaluating
5 interconnection costs and looking to standardize
6 a lot more of those costs when we're looking at
7 systems that are not net-metered systems.

8 So I just really want to stress that to
9 all of the participants here, that removing some
10 of these financial barriers will result in
11 California becoming much more resilient much,
12 much faster.

13 Thank you.

14 PUBLIC ADVISOR AVALOS: Thank you.

15 I just want to remind phone users to dial
16 star nine to raise your hand. And are there any
17 other comments? Please raise your hand. I'm
18 going to give a few seconds to allow people on
19 the phones, just in case they want to dial star
20 nine.

21 Okay, Tanya, your line is un-muted.

22 MS. BARHAM: Hi. I just wanted to
23 publicly comment. And I think throughout the
24 presentation, several of the presenters sort of
25 touched on this, as we better match load shape to

1 the capabilities of our different energy assets
2 in a microgrid portfolio, and obviously, when
3 you've got a nice big, you know, canvas, like a
4 military base, you've got more diversity in the
5 generating assets and storage assets that you can
6 deploy, but as we look at more deployment of
7 clean assets for longer durations, several of the
8 presenters sort of alluded to the importance of
9 the ability for loads to better match those
10 storage and generation profiles.

11 I've raised this in other forums before.
12 But I think, as we start to move these microgrids
13 into smaller and smaller assets portfolios or
14 aggregations of buildings, it's going to be very
15 important that we have smart interoperable
16 connected loads that are able to respond to
17 either grid signals or to signals from a
18 microgrid controller in a standardized way that
19 will help reduce the cost of implementation for
20 these systems.

21 I know we're at the very high level right
22 now, looking at general microgrid
23 interconnections. These are big projects.
24 There's a lot of specialized engineering. But,
25 you know, I'm hearing many communities that are

1 looking at 2045 goals. One of their big deals is
2 electrification of loads by 2030. And in the
3 state of California, that's a massive lift in ten
4 years to electrify all end uses.

5 So while we're doing that, I just want to
6 have, on the record, that we should really be
7 thinking about smart communication, command, and
8 interoperable open standards that can be used for
9 smart loads to better match them with clean
10 storage and clean generation in our asset
11 portfolios.

12 PUBLIC ADVISOR AVALOS: Thank you, Tanya.
13 And we'll move on to -- yes?

14 (Off mike colloquy between Court Reporter and
15 Public Advisor Avalos)

16 PUBLIC ADVISOR AVALOS: Okay. Go ahead,
17 Tanya.

18 MS. BARHAM: Thank you. My name is Tanya
19 Barham. I'm with Community Energy Labs. Yes.
20 T-A-N-Y-A. Last name is spelled B, as in
21 boy, -A-R-H-A-M, as in mother, Barham.

22 PUBLIC ADVISOR AVALOS: Okay. Thank you,
23 Tanya.

24 And we'll move on to Sharmila Ravula.

25 Your line is un-muted.

1 MS. RAVULA: Hi. This is Sharmila
2 Ravula. I'm representing the Emerge Alliance,
3 which works on DCE standards. The name is
4 S-H-A-R-M-I-L-A, and last name, Ravula,
5 R-A-V-U-L-A.

6 There are two different aspects I would
7 like to just put on the public record.

8 One is, since we're looking at microgrids
9 at a community scale, as well as at the site
10 level, for the community microgrids, one thing
11 that I think would be great to explore in terms
12 of these proceedings will be how you could
13 encourage front-of-the-meter coupling of solar
14 and storage and having community-scale systems
15 support low-income neighborhoods and DAC
16 communities on the residential and commercial
17 level because that is of high priority for the
18 State of California.

19 And the other point that really needs to
20 be explored and that has been brought by multiple
21 presenters today is the financing. So one thing
22 that could really help the challenges of
23 financing is looking at options where the CCAs
24 and IOUs could potentially own these assets so
25 that it makes it much easier for these microgrids

1 to proliferate.

2 Thank you.

3 PUBLIC ADVISOR AVALOS: Thank you, Ms.
4 Ravula.

5 Are there any other comments? Please
6 raise your hand. And if you are on the phone,
7 dial star nine. Okay, I have commenter A.D.

8 Go ahead. Your line is un-muted.

9 MS. DETRIO: Hi. This is Allie Detrio
10 again. Since there doesn't seem to be a lot of
11 comments, I would like to make one more.

12 I was the one that asked the questions
13 about microgrids, including electric and thermal
14 loads and optimizing both types of energy
15 sources. And I think it would be really
16 beneficial for all stakeholders to think through
17 how clean fuels can play a role in microgrids
18 because optimizing both electric and thermal
19 loads can result in really significant efficiency
20 gains.

21 And so when we were looking at the
22 loading order and looking at how we can, first,
23 reduce overall demand and really optimize these
24 resources, thinking through how we can optimize
25 the use of clean fuels and integrate electric and

1 thermal loads, those are really important things
2 to also consider with microgrid deployment. I
3 know most of these here seem to focus on
4 electric-only but we can gain significant
5 efficiencies through optimizing electric and
6 thermal loads.

7 PUBLIC ADVISOR AVALOS: Okay. Thank you,
8 Allie.

9 I have Tanya. Your line is un-muted.
10 Oh, I'm sorry.

11 I'm going to move on to the phone line.
12 And I will call the last three digits of your
13 phone number. It's 682. Go ahead. Your line is
14 un-muted, 682. Okay.

15 All right, we're -- that concludes the
16 comments that -- from those on Zoom and on the
17 phone. And we'll go ahead and hand over the
18 meeting to Heather.

19 MS. RAITT: Thank you, RoseMary.

20 Actually, if we want to just go ahead,
21 Vice Chair, and move on to closing remarks?

22 VICE CHAIR SCOTT: Absolutely. And I
23 think I may save my closing remarks for the end
24 of the day on Thursday, after we've had a chance
25 to hear from all of our panelists, but let me

1 turn to my fellow dais mates and see if anyone
2 would like to make a closing remark today? And
3 that -- I'm not seeing any hands raised.

4 Oh, Commissioner Shiroma, please go
5 ahead.

6 COMMISSIONER SHIROMA: Okay. Thank you.
7 I just wanted to thank everyone. Thank you, Vice
8 Chair Scott.

9 And check out our scoping memo that was
10 issued this past Friday. It is pretty high
11 level, certainly, but I think that a number of
12 the points that were brought up by not only our
13 panel members but also by some of the commenters
14 today will be addressed and covered in our Track
15 2 proceeding. And while there's not a date set
16 yet, we do also intend to hold a workshop on
17 alternatives to diesel.

18 And, again, for the 2020 fire season, we
19 have a reliance on diesel because, at the utility
20 scale that we were addressing, the parties
21 participating in that proceeding did not bring in
22 alternatives, readily available alternatives, as
23 Jessica Tse said, you know, a plug-and-play. But
24 in this workshop, we do hope to hear about
25 whether there are viable alternatives for 2021?

1 Thank you. Thank you, Commissioner
2 Scott.

3 CHAIR HOCHSCHILD: I just wanted to --

4 VICE CHAIR SCOTT: Great.

5 CHAIR HOCHSCHILD: -- add my thanks to
6 Vice Chair Scott for all of her work on this
7 since last year, and Commissioner Shiroma, and
8 just to say that, you know, there are a suite of
9 activities that simultaneously help us adjust to
10 and survive the consequences of climate change,
11 including microgrids which, you know, can help
12 keep the lights on and, also, help prevent
13 climate change from getting worse. And so this
14 is really in that sweet spot of reducing
15 emissions but also building resilience and
16 reliability.

17 And what we're doing in California is
18 very much a template for other states. I think
19 we're all mindful of that, so the stakes are high
20 for that reason as well. So I just really wanted
21 to thank all the staff and the stakeholders and
22 look forward to the ongoing discussion in the
23 days ahead.

24 VICE CHAIR SCOTT: Yes, President Batjer.

25 PRESIDENT BATJER: Hi. Thank you, Vice

1 President -- Vice Chair, excuse me, Scott.

2 I want to add my thanks to the presenters
3 today and the commenters. I took a draft of
4 notes. I found this extremely informative. So
5 thank you so much for putting this together and
6 bringing such rich presenters to us today.

7 There's much to be done. And as I said
8 earlier, my concerns have been very much focused
9 on the very near-term in terms of the backup
10 generation for not only energy but also our tel-
11 cos (phonetic), all of which right now are
12 planned to be diesel, nearly all.

13 So -- but thank you. David is always the
14 optimist. And I always appreciate his optimism,
15 that we are making our way through this suite of
16 (indiscernible) opportunities for a clean future.

17 So thank you all very much for all your
18 hard work today. Appreciate it.

19 VICE CHAIR SCOTT: You are welcome.
20 Thank you all so much for -- oh, I see Neil
21 waiving also.

22 Neil, please go ahead. You're on mute,
23 Neil.

24 VICE PRESIDENT MILLAR: Thanks for --

25 VICE CHAIR SCOTT: There you go.

1 VICE PRESIDENT MILLAR: -- catching that.
2 Thank you. Besides that, thank you of the
3 opportunity to listen and learn quite a bit more
4 about the cost tradeoffs people are having to
5 make on balancing these additional resources and
6 capabilities while also providing the redundancy
7 and resiliency they need. I think that's helping
8 us clarify the situation when we're looking at
9 where there's potential for microgrids to be
10 playing a larger role, so that really factors
11 into some of our thinking.

12 So I do want to thank you for the session
13 and the chance to participate. Thank you.

14 VICE CHAIR SCOTT: Thank you. You are
15 more than welcome.

16 So it is wonderful to have all of you
17 here today. I want to thank our participants, our
18 very informative and robust panelists. Thank you
19 to my dais mates, as always, and to our fantastic
20 IEPR Team who helps make these run so smoothly so
21 that we can spend our time getting all of this
22 excellent information.

23 I just want to remind folks that our next
24 session is on Thursday, July 9th. It starts at
25 10:00 a.m. We will have the third and final

1 session for the microgrids workshop on Thursday,
2 July 9th at 2:00 p.m.

3 And you can also see on your screen here
4 in kind of -- it's in the middle of my screen but
5 it may be in the top right of your screen, where
6 the written comments are. So we are always
7 delighted to hear from people in more detail.
8 There was a call for data from Mike Gravely.
9 Microgrid is not funded by the Energy Commission.
10 And we heard some other calls for data, as well,
11 so please do send that information to us at the
12 written comments. And you can see, right here on
13 your screen, how to do that.

14 And with that, thank you so much
15 everyone. We are adjourned until Thursday at
16 10:00. I'll see you then. Thanks guys. Bye-
17 bye.

18 (The workshop concluded at 12:03 p.m.)

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of September, 2020.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

September 29, 2020