

DOCKETED

Docket Number:	20-IEPR-03
Project Title:	Electricity and Natural Gas
TN #:	236397
Document Title:	Transcript of December 3, 2020 IEPR Update Commissioner Workshop Sessions 1 and 2
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	1/21/2021 12:41:24 PM
Docketed Date:	1/21/2021

STATE of CALIFORNIA

NATURAL RESOURCES AGENCY

CALIFORNIA ENERGY COMMISSION

In the matter of:) Docket No. 20-IEPR-03
)
2020 Integrated Energy) RE: Energy Demand Forecast
Policy Report Update)
(2020 IEPR Update))
_____)
)
)
)

Transcript of the
IEPR UPDATE COMMISSIONER WORKSHOP
Sessions 1 and 2

held remotely by the

California Energy Commission
Warren-Alquist State Energy Building
1516 Ninth Street
Sacramento, California 95814

Thursday, December 3, 2020

In accordance with Executive Order N-29-20 and Executive Order N-33-20, the physical location was canceled and the meeting was held via the Zoom video/audio internet and via teleconference platforms.

Reported by:
Susan Palmer, CET-124, CER-124
California Reporting, LLC
(510) 313-0610

APPEARANCES

Commissioners:

J. Andrew McAllister, Lead Commissioner for the 2020 IEPR Update
Demand Forecast

Patricia Monahan, Lead Commissioner for the 2020 IEPR Update

Janea A. Scott, Vice Chair

Karen Douglas

Presenters:

Aniss Bahreinian

Mark Palmere

Bob McBride

Alex Lonsdale

Sudhakar Konala

Cary Garcia

Nick Fugate

I N D E X

Session 1, Transportation Energy Demand Forecast Updates	page	6
Welcome, Logistical Information:	page	6
Opening Remarks:	page	8
Presentation: Transportation Energy Demand Forecast Updates:	page	12
Presentation: Exploratory Transportation Scenarios:	page	55
Public Comments:	page	88
Closing Comments:	page	91
 Session 2, Self-Generation and Overall Electricity Demand Forecast Update:	page	93
Opening Remarks:	page	93
Presentation: Photovoltaic and Battery Storage System Adoption:	page	98
Public Comments:	page	114
Presentation: Electricity Consumption and Peak Demand Forecast Updates:	page	117
Public Comments:	page	148
Closing Comments:	page	150
 Adjournment:	page	150

P R O C E E D I N G S

1
2 December 3, 2020 10:00 o'clock a.m.

3 MS. RAITT: So good morning. Looks like it's ten
4 o'clock, so we'll go ahead and get started. Welcome to
5 today's IEPR, the 2020 IEPR Update Commissioner Workshop on
6 the California Energy Demand 2019-2030 Forecast, the Update
7 to it. I'm Heather Raitt, the Program Manager for the
8 Integrated Energy Policy Report, which we refer to as the
9 IEPR.

10 Today's Workshop is being held remotely,
11 consistent with Executive Orders N-25-20 and N-29-20, and
12 the recommendations of the California Department of Public
13 Health to encourage physical distancing to slow the spread
14 of COVID-19.

15 Instructions for attending or participating in the
16 meeting were provided in the Notice and are included
17 included both internet and call-in options. The Notice is
18 available on the Energy Commission's webpage.

19 So we split this topic into two sessions to help
20 encourage participation. This morning's session focuses on
21 transportation energy demand. Session 2 starts this
22 afternoon at two o'clock and will be on self-generation and
23 the overall Electricity Demand Forecast update. And for the
24 afternoon a separate login is required.

25 All IEPR meetings are recorded. A copy of the

1 recording and a written transcript will be available on our
2 website in a few weeks. And copies of the presentations have
3 been docketed and are available on the Energy Commission
4 webpage.

5 So this morning we'll be using the Q and A
6 function in Zoom with the capability to vote on questions
7 posed by others. So if you have a question for the speakers,
8 attendees may type the questions and press the Q and A icon
9 to do that. And then before typing a question, you might
10 check and see if there's another one like it. And, if so,
11 you can click the thumb's up button to vote on it. And that
12 will vote it up onto the top of the list.

13 We'll try to reserve about five minutes at the end
14 of the two blocks of presentations this morning to address
15 the Q and A from attendees. And given the time restrictions,
16 we're unlikely to elevate all questions received, but you're
17 also welcome to submit written comments. And I'll go over
18 how to do that.

19 So at the end of each of the morning session and
20 the afternoon session will be an opportunity to submit
21 comments. So you can use raise your hand, use the raised
22 hand icon to let us know that you'd like to make a comment.
23 And we will be able to open up your line at the end of the
24 meeting. And if you're on the phone, you can press star 9 to
25 raise your hand, and we'll open up your line at the public

1 comment period. And, alternatively, you can submit written
2 comments and those are due on December 17th at 5:00 p.m. And
3 the Notice gives you all the instructions for how to do
4 that.

5 And with that, I will turn it over to Commissioner
6 McAllister for opening remarks. Thank you.

7 LEAD COMMISSIONER MCALLISTER: Great. Well, thank
8 you very much, Heather.

9 I am really happy to be here. Obviously the
10 forecast in all of its facets, and it's a huge endeavor with
11 lots of staff involved, I want to just thank all staff that
12 sits behind the work that we're going to see today, the
13 transportation side in the morning and the overall forecast
14 in the demand forecast this afternoon.

15 And Aniss and all the presenters for this morning,
16 I want just to thank you. This is obviously a large team
17 effort.

18 Really happy to have Commissioner Monahan here,
19 who is a lead on the topics for this morning on the
20 transportation arena of the Energy Commission.

21 So thanks for joining us, Commissioner Monahan.

22 So really looking forward to everyone's attention
23 and questions. There is a lot of substance. This morning,
24 we're going to just -- we're going to see a lot of topics
25 covered in the presentation as well as this afternoon. And I

1 just want to make sure everyone knows that they have the
2 opportunity to comment today, but also to submit comments,
3 written comments later, after the workshop, after they've
4 had a chance to really delve into the substance.

5 So with that, I think I'll pass it on to
6 Commissioner Monahan to see if she has any -- any opening
7 remarks. Obviously this is the bread and butter of what the
8 -- what the Energy Commission does, and so we want to make
9 sure we get it right. Transportation is given the executive
10 order and all of the activity that's noteworthy there, so
11 just a lot of good stuff to talk about in terms of
12 California's leadership and where we're going with this and
13 its impact on our energy systems.

14 So over to you, Commissioner Monahan.

15 COMMISSIONER MONAHAN: Thanks, Commissioner
16 McAllister.

17 Well, I'm very excited to see the data that's
18 coming out. There was some question about whether we would
19 be able to see data today, and it seems like the team has
20 been able to work some magic, some mathematical magic to
21 make that happen. So really curious to see the results of
22 the modeling.

23 And, yes, as Commissioner McAllister said, as we,
24 you know, come off the heels of the Governor's executive
25 order announcing that we are transitioning to a zero-

1 emission vehicle fleet that's for everything, light-duty
2 vehicles, passenger vehicles, off-road equipment, heavy-duty
3 vehicles. And, as we all know I think on this call and this
4 Zoom call, transportation is the number one source of global
5 warming pollution. It's also the number one source of toxic
6 diesel exhaust and smog, nitrogen oxides, especially for the
7 heavy-duty fleet.

8 So there is just a lot of reasons we need to focus
9 more intently on curbing transportation pollution, setting a
10 course for zero emission. And I think we have some new ones
11 in terms of dropping battery prices, expanded investments in
12 fuel cell electric vehicles. So really looking forward to
13 this morning and to this afternoon, that as Commissioner
14 McAllister said, this is the core of what the IEPR is, is
15 really projecting demand and helping our sister agencies
16 plan for energy needs.

17 So with that, I'm not sure if there are any other
18 Commissioners on the dias. It seems like -- is there anybody
19 else, Heather, that --

20 LEAD COMMISSIONER MCALLISTER: I think we're
21 excepting Commissioner -- or Vice Chair Scott in about an
22 hour, but I think that's about it for now.

23 COMMISSIONER MONAHAN: Okay.

24 LEAD COMMISSIONER MCALLISTER: Yeah.

25 COMMISSIONER MONAHAN: Okay, great.

1 All right. I'll turn it back over to you,
2 Commissioner McAllister.

3 LEAD COMMISSIONER MCALLISTER: Very well. Thanks
4 very much. And I'm glad to say I do -- I do lead the
5 forecasting effort at the Energy Commission and so really
6 it's an intensive thing, but it also really is a great perch
7 for getting a view, sort of an integrated view across all
8 the sectors that we do policy and planning for at the Energy
9 Commission. And I'm just continually impressed at the level
10 of the staff and the collaboration across agencies to gather
11 data and also just the analytical chops that we're -- that
12 we have already and that we are developing even more as we
13 move into more data-rich environments each IEPR cycle.

14 And, just as a reminder, this is an IEPR, an
15 update of the forecast. Next year we'll be doing a full
16 forecast. And this afternoon we'll be talking about some of
17 the challenges of the Covid era and what uncertainties that
18 has sort of injected into this process. And so I think it's
19 important to have situational awareness right now. You know
20 demand patterns have shifted in this relatively radical way
21 due to this radical situation that we're in with Covid and
22 the demand and the behavior changes that we've all had to
23 make. So our buildings and our transportation patterns and
24 our just behavior generally has morphed in ways that we're
25 trying to understand. And so that is a subtext, a very

1 strong subtext of the conversation today. And I'm sure
2 people will have some appreciation of those challenges as
3 well as we talk about those. And we're aware of that,
4 together with our sister agencies that have to consume the
5 products that we make as part of the demand forecast in its
6 various facets.

7 So it's a really unprecedented time. It's exciting
8 in some ways, but with excitement comes a little
9 uncertainty, a little risk, so you know we're embracing all
10 of that, and staff is really doing a great job of rolling
11 with the evolution of the reality that we're in, so I want
12 to appreciate them as well.

13 So I'll pass it back to you, Heather, and we can
14 get started on the presentations.

15 MS. RAITT: Great. Thank you.

16 So I'd like to introduce our first speaker, Aniss
17 Bahreinian. Aniss is Lead Forecaster on the Light-Duty
18 Vehicle Forecast and Technical Advisor on the overall
19 Transportation Forecast.

20 So Aniss has two presentations, the first one on
21 Energy Demand Results and the second on Light-Duty Vehicle
22 Stock Results. And I'd like to suggest that we hold
23 questions until after the first set of presenters, Aniss,
24 Mark, and Bob, have finished their presentations.

25 So go ahead, Aniss. Thank you.

1 MS. BAHREINIAN: Good morning, Commissioners and
2 stakeholders. I would like to talk about -- the next slide,
3 please. My name is Aniss Bahreinian and I work on the
4 Transportation Energy Forecast at the Energy Commission. And
5 this morning I'm going to make a presentation on
6 Transportation Energy Demand Forecast. So we are focusing,
7 we are starting out with energy which is actually the final
8 outcome of all of our forecasting.

9 In the beginning and as we move through the day,
10 we will see all the other elements of this transportation
11 energy demand that has been forecasted in different sectors.
12 Next, please. Next slide. Next, please. Okay. Thank you.

13 We are going to start off with a short discussion
14 of the impact of Covid on fuel consumption. We are going to
15 move on to a short discussion of models and scenarios. And,
16 finally, we are going to talk -- look at transportation
17 energy demand from multiple angles. And then we end it with
18 a discussion of the ZEV Transportation Energy Demand
19 Forecast.

20 And the other Transportation Energy Demand
21 Forecast as well as the transportation energy prices are in
22 the Appendix, for those who are interested. Next, please.

23 And this is just a reminder for us to see that
24 transportation energy consumption is a three-legged stool
25 depending if we're standing on vehicle population, vehicle

1 miles traveled, and fuel economy. A change in any policy or
2 any event that is going to affect any one or more of these
3 three different factors is going to alter the transportation
4 energy consumption, as you can see in the subsequent slides.

5 Next, please. Next. Thank you. Oops, the
6 previous one. If you could, please -- thank you.

7 These are monthly fuel consumption of Senior Fuel
8 Specialist Gordon Schremp has put these graphs together.
9 These are from his presentations. And what they show is the
10 short-term impact of Covid. Now notice that Covid is going
11 to have a long-term effect as well as a short-term effect.
12 We don't -- there is a lot of uncertainty about the long-
13 term effect, and actually we are going to have a workshop
14 early next year, inviting different experts to discuss the
15 long-term impact of Covid, but these two slides are showing
16 the short-term effect of Covid on gasoline and diesel
17 consumption.

18 Both of these, on the vertical axis, you are going
19 to see the mean million gallons of consumption per day. And,
20 as you can see in the graph on the left-hand side, it shows
21 gasoline consumption, monthly gasoline consumption. The bars
22 are representing monthly gasoline consumption in 2020 and
23 the two lines above are showing the lows and the highs over
24 the last five years, between 2019 -- 2015 to 2019.

25 As you can see here, the gasoline consumption

1 bottoms out in April. April was the month when the entire
2 country was shut down and you could see the clear impact of
3 Covid on consumption and gasoline consumption.

4 Notice through that in this month, the impact of
5 Covid are both on supply and demand. The impact on supply
6 was in the form of the factory shutdowns where production of
7 vehicles and other transportation, fuels, etc., was going
8 down because of the factory shutdowns. And we all heard
9 about this disposition and the impact of shutdown on EV
10 production and EV Pro that they use, but the number you see
11 here in April is entirely related to Covid. It's entirely
12 related to the PMT reduction because people were not working
13 and PMT declined significantly and, as a result, you could
14 see the significant drop in the consumption of gasoline.

15 As we move on from April to May, June, and July,
16 we could see that the consumption gradually recovered, but
17 even in July we are still seeing that the consumption
18 remains below the five-year lows of gasoline consumption, so
19 it is still there even though we are covering from April and
20 because of the economic slowdown.

21 On the right-hand side we would see the impact of
22 Covid, the short-term impact of Covid on diesel consumption.
23 You should note that while gasoline is the predominant fuel
24 for light-duty vehicles, diesel is the predominant fuel in
25 the medium- and heavy-duty vehicles, which are used mostly

1 for mass transit as well as movement of goods. So as you can
2 see here, the decline in diesel demand is not as sharp as
3 the decline in gasoline demand. There are more long-term
4 contracts, for instance, in goods movement involved. And, on
5 top of that, there was also a significant impact on
6 deliveries because people were staying home. They were not
7 going to stores, for instance. There were a lot of
8 deliveries that happened. And so -- and those deliveries are
9 happening in the medium- and heavy-duty vehicles which is
10 going to drive up the demand for diesel, from that
11 perspective.

12 As you can see also that while the bottom was
13 reached in March and April for diesel consumption, in May,
14 June, and July you could see that demand is recovering and
15 actually in this case, in the case of diesel, we are getting
16 -- we are slightly above the five-year lows that we have
17 seen in the red line. So diesel is not impacted as
18 significantly as gasoline, but it is still showing the
19 impact of Covid on diesel consumption. Next slide, please.
20 Thank you.

21 This diagram shows the different models that we
22 are using in generating an energy demand forecast. There are
23 about the 10 key models that we are using. Some of them are
24 for vehicle demand, for instance, personal vehicle choice
25 and commercial vehicle choice, as well as government and

1 rental and the truck choice. These are vehicle demand
2 models. But then some of them are travel demand models, like
3 urban in the city, freight and other bus. These are mostly
4 used in the forecast for travel demand.

5 And aviation is another travel demand. And you
6 should notice that an aviation model was not used for the
7 2020 IEPR. We just didn't generate a forecast for aviation
8 demand, although you can imagine that impact on the aviation
9 sector was huge. A lot of airline companies went out of
10 business -- well, they got into financial condition that
11 needed help from the federal government, so there was a huge
12 impact on jet fuel demand. But we don't -- we didn't include
13 it in this forecast.

14 And other travel models, like in the city and
15 urban for instance, they didn't go to as much of input
16 changes as we did for the vehicle choice models. The freight
17 model also included major input updates, and therefore we
18 are showing the impact of -- the impact of Covid on travel
19 demand is mostly captured through the economic and
20 population changes. Economic impact and population changes.
21 Next, please.

22 This slide shows the green scenarios that we are
23 using for all of those 10 different models that we have.
24 Notice that our main and general plan is the electricity
25 demand forecasting unit, and therefore our scenarios are

1 aligned with their scenario. And what we refer to as a high-
2 demand case here is actually high-electricity demand.

3 As you can see here, in the high-electricity
4 demand case, we are combining the high income and population
5 growth with high petroleum prices but low electricity
6 prices. So it is a clear indication that these scenarios are
7 actually aiming for high electricity demand. The reverse is
8 true in the low demand peaks. It is a reflection of low
9 electricity demand, and we are combining the high
10 electricity prices with low petroleum fuel prices and low
11 economic and population growth. Next, please.

12 This graph shows the distribution of fuel types by
13 vehicle type. The graph on the right-hand side shows the
14 distribution of fuels for light-duty vehicles and the graph
15 on the left-hand side shows the distribution of fuels for
16 the medium-, heavy-duty, and rail. In the light-duty sector,
17 as you can see here, gasoline is the dominant fuel and forms
18 96 percent of total fuel consumed by light-duty vehicles.

19 On the other hand, when you look at the graph on
20 the left-hand side, you could see that diesel is the
21 dominant fuel in that sector, in the medium-, heavy-duty
22 sector, and it forms 85 percent of total fuel consumed by
23 medium- and heavy-duty as well as rail.

24 The third-place ranking for light-duty vehicles on
25 the right-hand side goes to electricity, and we are talking

1 about electric vehicles obviously here, but on the left-hand
2 side, the third-place ranking for fuel goes to pipeline gas.
3 And pipeline gas is mostly used in transit. These are 2019
4 data, so these are actual data. And the pipeline gas in the
5 medium- and heavy-duty sector mostly goes to transit sector
6 and also some vehicles in fuels in trucks that are used by
7 different utility districts as well as some in other parts.
8 Next, please.

9 This graph shows the -- it is sort of along the
10 same line but compares the 2019 distribution of fuels to
11 2030 in the high-demand case. So the 2019 is the actual
12 data, 2030 is the high-demand forecast. And we are using the
13 high-demand forecast because you can see the impact of ZEVs
14 on -- in the high-demand case better than in other cases.

15 As you can see here, when it comes to gasoline,
16 there is a decline between 2019 and 2030 in gasoline demand.
17 This is mostly in the light-duty sector, obviously. And, as
18 you can see here, when you look at the electricity, the
19 electricity is going up in 2030, compared to 2019, showing
20 the growing transportation electrification and mostly in the
21 light-duty sector.

22 On the other hand, diesel stays relatively steady,
23 with a slight increase, as was the case with pipeline gas,
24 and there is a small increase in pipeline gas and those that
25 are related to trucks. And a lot of the transit buses are

1 due to change from pipeline gas to electricity. Next,
2 please.

3 This slide shows the Total Transportation Energy
4 Demand Forecast, but it is converted to BTUs. So we are
5 adding everything, gasoline, diesel, ethanol, electricity,
6 natural -- pipeline gas, hydrogen, and everything. And so it
7 shows that over the time, for all three scenarios, what we
8 see is a decline in total energy -- transportation energy
9 consumption. This is significant in light of the fact that
10 both vehicle population and human population is growing over
11 this time and still transportation energy consumption is
12 showing a decline. This indicates the growing efficiency in
13 this sector as a result of all the changes that they face,
14 whether it is the fuel economy of vehicles or for other
15 factors.

16 This graph is showing the Transportation Hydrogen
17 Demand Forecast.

18 Let me go to the previous graph, please?

19 Let me go to -- no, the previous graph, slide
20 number 11. Slide number 11. And we go to Transportation
21 Energy. I can't see it right on my computer, but --

22 MS. RAITT: I think she's just getting them back up
23 for you, Aniss. It'll just be --

24 MS. BAHREINIAN: Okay.

25 MS. RAITT: -- it'll just be one moment, please.

1 MS. BAHREINIAN: Okay.

2 MS. RAITT: Thanks.

3 MR. COLDWELL: And, Aniss, it's Matt. I just want
4 to do a time check. You said you can wrap up here --

5 MS. BAHREINIAN: Sure.

6 MR. COLDWELL: -- in the next couple minutes.
7 Thanks.

8 MS. BAHREINIAN: We only have two slides on this
9 now.

10 MR. COLDWELL: Great. Thanks.

11 MS. RAITT: There you go.

12 MS. BAHREINIAN: Okay. All right. And so you can
13 move to slide number 11 -- number 10? Yes. Thank you.

14 This one shows the Transportation Electricity
15 Demand Forecast. And as we can see that there is a wider
16 spread between the low and the high in transportation
17 electricity, showing the higher growth rate in
18 transportation electricity compared to other fuel types.
19 Next, please.

20 And this -- this graph shows the Transportation
21 Hydrogen Demand Forecast. And this one also shows the wider
22 spread compared to other fuel types. And we are growing from
23 about two million kilograms in 2019 to about 37 million
24 kilogram in 2030. And you can find the rest of the fuel
25 types in the Appendix. Next slide, please. Thank you.

1 And this is our Transportation Forecasting team,
2 as the Commissioner mentioned. It is a big team and it takes
3 a village to generate a transportation energy demand
4 forecast. And we have a group of talented individuals who
5 are working with us on different forecasting in the
6 transportation sector.

7 Thank you very much.

8 Next presentation, please, Light-Duty Vehicles.
9 All right. Thank you.

10 This group of slides are focused on the Light-Duty
11 Vehicle Demand Forecast. Next, please. Next slide, please.
12 Thank you.

13 We are going again to talk about some of the Covid
14 impact on light-duty vehicles and then we are going to move
15 on to a discussion of -- a brief discussion of model inputs
16 and scenarios. And then we are going to end it with a Light-
17 Duty ZEV Forecast. And in the Appendix we have all the other
18 light-duty forecasts. Next slide, please.

19 All right. So this slide is based on data from
20 California New Car Dealers Association, the NCDA. And what
21 it shows, it shows the new vehicles sold in California from
22 2008 to 2019. And then they have an estimate for 2020 based
23 on the first three quarters of the data and a projection for
24 2021. As you can see here, the light-duty vehicles reach
25 their peak in 2016 at 2.21 million vehicle sales, but they

1 start declining from 2016. But the rate of the decline is
2 rather slow. However, as you can see here in 2020, there is
3 a significant decline, going down from 2.09 million new
4 vehicle sales to 1.67 million new vehicle sales. And this is
5 clearly the impact of Covid. Covid has had impact on the
6 sales of vehicles, new vehicles.

7 And if you look at the left -- on the right-hand
8 side, on the graph on the right-hand side, you could also
9 see that used vehicle sales have also gone down. While the
10 new vehicle sales have gone down by about 25 percent, used
11 vehicle sales have gone down by about only 8 percent. And so
12 the decline in used vehicles is not as significant as in the
13 new vehicle sales. And it shows that demand for vehicles,
14 people who are buying vehicles have shifted more towards the
15 used vehicles. And we have seen, for instance, from Manheim
16 data, Manheim is national vehicle auction data, that their
17 index of used vehicle prices have gone up by about 30
18 percent in the first few months of the year. Although in the
19 fourth quarter, this is starting to come down.

20 So the price of both new vehicles and used
21 vehicles have gone up. Used vehicle prices have gone up more
22 significantly than the new vehicle prices, which means that
23 it has some equity implications. Usually the people who are
24 buying used vehicles are in the lower-income category
25 compared to those who are only buying new vehicles. And

1 clearly the increase in the price of used vehicles is going
2 to have an adverse impact on low-income households. Next,
3 please.

4 Now we have seen that -- that the new vehicle
5 sales have gone down, but what about the ZEV vehicles. You
6 see here, for instance, in 2020, through the month of
7 September, and this is based on our own data, and the
8 announcement this just engaged us on new data, you can see
9 that actually even though the new vehicle sales are going
10 down, the share of the ZEVs are increasing in 2020 to more
11 than seven percent. So this indicates that consumer
12 preferences for ZEV vehicles and, in particular, for BEVs
13 are growing over time. And you see a drop in PHEV and a drop
14 in FCEVs, FCEVs, but the BEV vehicles are growing faster
15 than the other ZEVs. Next, please.

16 You saw in slide 5 of the previous graph the
17 diagram for all the new models. This slide is focusing on
18 the light-duty vehicle market. The staff divides these, the
19 markets in four different segments: Residential, commercial,
20 government, and rental. And the key inputs in these models
21 are the economic and demographic data; the government
22 incentive, which is federal tax credit actually giving
23 access, etc.; vehicle attributes, such as vehicle price,
24 range, and fuel cost per mile, and others; and as well as
25 consumer preference, which is based on our own survey of

1 light-duty vehicle consumers, what might be the buyers.

2 Next, please.

3 So we saw those categories of inputs, but it is
4 also important to note which one of the inputs are going to
5 determine which aspect of the forecast. When it comes to
6 fleet size and new vehicle sales, with the economic and
7 demographic forecasts that are going to influence the size
8 in new vehicle sales, once that is determined, then the new
9 vehicles are distributed to different fuel types and classes
10 by using the vehicle attributes, federal and statewide
11 incentive, as well as the consumer preferences. So these
12 three groups of inputs are determined in the fleet
13 composition. That is, which classes of vehicles people are
14 buying and which fuel type or power train they are
15 purchasing. Next, please.

16 The key input changes compared with 2019 forecast.
17 Well, we obviously changed the economic and demographic
18 forecast. We have a new fuel price forecast that we saw in
19 the Appendix of the previous slide, but we also have updated
20 the vehicle attribute forecast. Incentive changes are for
21 state and California Vehicle Rebate Program. The amount was
22 reduced by \$500, which is going to have an adverse impact on
23 the sales of ZEV vehicles. But before they went ahead and
24 reduced this amount to reflect the fact that CVRP data shows
25 that not 100 percent of the ZEV buyers are actually

1 qualifying for rebates. And so we reduced the amount to
2 correspond to the data in CVRP. And in order to be conscious
3 of our sister agency CARB, CARB's use of the CVRP. This is
4 going to further reduce demand for ZEV vehicles, because we
5 have reduced the amount of the debate. But then, on the
6 other hand, we have added the Clean Fuel Rewards Program,
7 which is increasing rebates for us. We are applying the
8 program thru rebates, and that is going to push the ZEV
9 vehicle forecast up. So we have two changes that we have
10 made that reduces the ZEV sales and the final one is going
11 to increase the ZEV sales. Next, please.

12 So this -- this graph here shows the Light-Duty
13 Vehicle Population Forecast. Notice here that the light-duty
14 vehicle population goes up from about 30 million in 2019 to
15 about 35 million in 2030. Note also that the spread between
16 the low and the high cases is very narrow. This is a
17 reflection of the fact that population economic forecast,
18 the spread between those forecasts in the high and the low
19 case is also narrow. So it is actually a reflection of the
20 economic and demographic forecast. Next, please.

21 And in this graph we have the general scenarios of
22 low, mid, high for all of our different sectors, but when it
23 comes to light-duty vehicles we also get more specific on
24 scenario differentiation for the light-duty ZEV scenarios.
25 In these cases we have generated five different scenarios

1 for the light-duty vehicle forecast. And these scenarios are
2 defined by different elements. One is consumer preferences.
3 In the low case, we are keeping the consumer preference
4 constant at the 2017 level. But in the mid, high, and
5 bookend cases, the consumer preferences grows in the ZEV
6 market share. When it comes to incentives, we have the
7 federal tax credit including packet of federal tax credit;
8 and the California rebate, CVRP; and a Clean Fuel Reward,
9 which we have added this year; and then the HOV lane access.

10 Notice that CVRP in the mid and the high case is
11 eliminated in 2025. And you could see the impact of this
12 termination actually on transportation electricity demand
13 and you will see the impact also on the ZEV demand forecast
14 when Mark is presenting those forecasts.

15 When it comes to fuel prices, we have electricity
16 prices that we use from commercial. We are using different
17 rates for the commercial models. And for residential models
18 we are applying the residential rates to the residential
19 model or the personal vehicle choice. And we are applying
20 the commercial rate to the commercial vehicle choice model.

21 Hydrogen prices have been generated for us by
22 NREL, and they have generated the high, mid, and low prices
23 for us. And we are using their forecasts.

24 In the 2030 model year attributes, one of the
25 important factors is that we have 15 different classes, up

1 to 8500 pounds per GWR. And in addition to those we also
2 have three different classes for pickups, vans, and SUVs in
3 the 8500 to 10,000 pounds. So you notice here, for instance,
4 that in the high case we are saying that we have BEV in 16
5 classes of vehicles in the high scenario. What that means is
6 that all of those 16 classes from -- up to 8500 are covered.
7 We have models offered in all of those classes. But in
8 addition to that we are also offering a BEV in the 8500 to
9 10,000 pickup trucks. And these are based on our new
10 analysis of the announcements where we found different
11 vehicles in different classes -- in different classes of
12 vehicles. We also had a heavy pickup or a light-duty pickup,
13 8500 to 10,000. In the SUV or, actually to be more accurate,
14 in the FCEV, because we are also -- we are the only agency
15 that generates a forecast of plug-in fuel cell electric
16 vehicles. And this year we had one included in the pickup
17 trucks of 8500 to 10,000.

18 Vehicle price and battery prices are related to
19 each other. And you can see different battery prices in
20 different scenarios. And the vehicle prices are derived from
21 the battery prices.

22 We can also see the maximum EV range in 2030. It
23 is about 20 cents in the low case. It's about 385 miles for
24 BEV. And the range for FCEVs is about 460 miles.

25 With this I am going to end my presentation and

1 move on to the Forecast of Light-Duty Vehicle by Fuel type.
2 Mark Palmere is leading the forecast in light-duty vehicles
3 and he will be presenting the results to you. Thank you.

4 MR. PALMERE: Thank you, Aniss.

5 Good morning, Commissioners, stakeholders, and
6 members of the public. My name is Mark Palmere and today I
7 am going to present the Light-Duty Vehicle Population
8 Forecast numbers, including a closer look at each of the --
9 each of the vehicle fuel types in our forecast. Next slide,
10 please. Could we go to the next slide, please. Thanks.

11 This slide shows the forecast of light-duty ZEV
12 population in the state of California. While our forecast
13 officially goes out to 2030, we have added a look at 2031 to
14 show when we expect the goal of five millions ZEVs on the
15 road be reached in the aggressive and bookend cases.

16 As Aniss mentioned, the Covid Pandemic has had and
17 continues to have a significant impact on new vehicle sales.
18 And, as a result, we expect a slight delay in the
19 achievement of some ZEV targets. But at the same time, if we
20 compare this to the total light-duty vehicle stock slides
21 that Aniss shared, while total numbers are going down in
22 2020, among ZEVs we still see an increase, albeit at a
23 lesser rate than we have seen in the past. And despite this,
24 in all cases but the low case, we do forecast the goal of
25 1.5 million ZEVs by 2025 to be achieved.

1 Note that because in the low, mid, and high cases
2 we estimate a phasing out of the state EV rebate in 2025,
3 this graph displays a kink in those lines. We will see the
4 same kink when looking at each individual alternative fuel
5 type. And I won't point it out every time, but you can be
6 sure that that is the reason.

7 One final point on this slide, as Commissioner
8 Monahan mentioned, the game-changer to California's
9 transportation outlook is Executive Order N-79-20, banning
10 the sale of gasoline vehicles starting in 2035. Because our
11 forecast was planned out before this announcement, this
12 year's numbers do not go out far enough to show this effect.
13 However, we plan to incorporate this development in next
14 year's IEPR by forecasting out to 2035. Next slide, please.

15 While currently there are a similar number of
16 battery-electric and plug-in hybrid vehicles on the road, we
17 expect to see a greater share of BEVs throughout the
18 forecast period. This is due to a number of factors we
19 forecast to be more favorable for BEVs, including greater
20 model and class availability, better fuel economy, and
21 larger incentives. By 2030, in the mid case we forecast over
22 two million BEVs compared to just under a million PHEVs and
23 about 200,000 fuel cell vehicles. Next slide, please.

24 Looking specifically at battery-electric vehicles,
25 on-road BEVs surpass two million in the mid case, three

1 million in the high case, and four million in the aggressive
2 and bookend cases. Most of the difference between the
3 aggressive and bookend cases is found in the fuel cell
4 vehicle stock, which we will see later. And, as a result,
5 those two cases do look similar in this BEV-only graph.

6 While 2020's gain was modest, as previously
7 mentioned, we foresee the recovery becoming as soon as next
8 year and continuing throughout the forecast. Next slide,
9 please.

10 Meanwhile, as previously shown, the plug-in hybrid
11 gains are less noticeable but still steadily increasing at
12 least after this year. While PHEV stock fails to reach a
13 million by 2030 in the mid case, in the high case it does
14 surpass that mark by 2028. Next slide, please.

15 For fuel cell vehicles, we see greater variation
16 by demand case. This is because in the aggressive and
17 bookend cases, particularly the bookend case, there are many
18 more classes available and the state rebate known as CVRP is
19 not phase out. And since the fuel cell rebate is \$2,500 more
20 than the battery-electric vehicle rebate, we expect the
21 rebate's availability to have a bigger impact in the fuel
22 cell market than in the BEV or PHEV markets. Next slide,
23 please.

24 And now I'd like to look at the forecast for the
25 nonZEV fuel types. Next slide, please.

1 While gasoline stock is decreasing this year, we
2 expect it to recover alongside ZEV stock and eventually even
3 begin to increase again. Although stock is going up, as you
4 can see, the share of population is actually decreasing as
5 ZEVs eat into gasoline's dominance. And for those wondering
6 about the lines crossing, the low case initially sees fewer
7 gasoline vehicles than the high case as a result of it
8 having a much more pessimistic economic forecast. But by
9 2025 that effect gets outweighed by that case being
10 relatively more favorable for gasoline vehicles than ZEVs.

11 Another way to look at is with ICE vehicles. In
12 the low case, we see fewer total vehicles sold, but a
13 greater share of them are ICEVs while in the higher case we
14 see more vehicles sold but a lower share of them are ICE.
15 And we see cases crossing each other as a result of those
16 two effects varying in strength. Next slide, please.

17 Meanwhile, diesel vehicles are decreasing in
18 population in all cases. This is mainly due to the decrease
19 in the number of diesel light-duty classes available. Most
20 diesel light car models have been discontinued, meaning as
21 diesel light cars are retired they will not be replaced by
22 new diesels since such classes are not available anymore. We
23 expect the total number of onroad diesel LDVs to dip below
24 half a million in all cases by 2024. Next slide, please.

25 Flex-fuel vehicle numbers are also forecast to

1 decrease for similar reasons. We forecast that there will be
2 under a million FFVs on the road by 2027. Next slide,
3 please.

4 However, we do expect hybrid numbers to increase.
5 Many automakers continue to offer these models due to their
6 higher fuel economy and, in fact, we even expect new hybrid
7 classes to be offered in some cases. As a result, we
8 envision them remaining a viable alternative for consumers
9 who list fuel economy as an important consideration when
10 deciding what fuel type of vehicle to buy. Next slide,
11 please.

12 And this concludes my portion of the presentation.
13 Next up is Bob McBride. Bob leads the Transportation
14 Electric -- Transportation Energy Forecasting Unit, Medium
15 and Heavy-Duty Forecast, and will be presenting an update on
16 those sectors.

17 Bob.

18 MR. MCBRIDE: Hello. Just getting my video up
19 here. Very good. Okay.

20 Good morning, Commissioners, stakeholders, fellow
21 staff and colleagues from our sibling agencies. I'm Bob
22 McBride. This presentation describes the medium and heavy
23 vehicle forecast. While some of the work was a typical
24 update, just getting newer data, we also did a lot of new
25 work that is sort of beyond an update. Next slide, please.

1 In the 2020 Update and changes, we looked at
2 vehicle retirement in exports, new purchases, and used
3 trucks imported. The ARB HVIP incentive scheme, we have
4 changed how that plays out in the forecast. Economic growth
5 of goods movement is on a different basis now. Total new
6 trucks purchased of course changes as a result of all these
7 retirements and new economic growth and incentives. The ZEV
8 stock forecast follows. And we'll take a look at the total
9 advanced clean trucks manufacturer net credit requirement.
10 On the left you have a chart showing the medium and heavy
11 classes. Usually medium is class 3 to 6, and heavy is class
12 7 and 8. Next slide, please. Hello, next slide, please.
13 Slide 3, please. Thanks.

14 For this forecast we used EMFAC 2017 forecast
15 requirement rates, so that's forecast rates for all years
16 and scenarios. The EMFAC forecast data includes imports of
17 used trucks, especially before 2023, with engines from at
18 least 2010, since older trucks can't operate in the state
19 from the end of 2022 forward. In the 2019 forecast, we used
20 EMFAC 2017 historical data, not forecast data, and we used
21 distinct periods of calendar years for the low and high
22 cases and averaged for the mid case.

23 While this captured a range of possible retirement
24 outcomes, it fails to capture effects of the truck rules on
25 used trucks and new purchases, which are expected to be high

1 for 2022 and 2023. Next slide, please.

2 Here are the IEPR 2019 and 2020 patterns of
3 retirement. Pretty constant for the 2019 forecast, but peaks
4 in the IEPR 2020 forecast due to Covid and the '22 and '23
5 implementation of the truck rules. Also retirements
6 gradually increase from 2024 on.

7 For IEPR 2019, the differences between low and
8 high cases reflect both different growth rates in earlier
9 years and different retirement schemes. However, for 2020
10 this difference is due to the growth rates only, since we're
11 using the same retirement scheme in the three cases. Next
12 slide, please.

13 New trucks purchased have a similar pattern, small
14 changes for IEPR 2019 and -- from year to year -- and large
15 variation in IEPR 2020. While lots of trucks retire in 2020,
16 few are purchased due to Covid, and most of these were in
17 the pipeline before March. Very large purchases in '22 and
18 '23. And again gradual increase from 2024.

19 And the nerd in me needs to point out the higher
20 mid case purchases in 2023. This is affected by the gap in
21 purchases between the mid and high cases in the couple of
22 years before that. So mid is catching up. Next slide,
23 please.

24 Here imports and purchases of used trucks absent
25 in 2020 but spiking in 2021 and to a lesser extent -- I'm

1 sorry. Spiking in 2021 and 2023. Since EMFAC 2017 preceded
2 Covid, we have decreased the number of used imports in EMFAC
3 to reflect this strong used truck market, hence more
4 expensive used trucks, which would make a new truck more
5 attractive. The next slide, please. Thanks.

6 Yeah. The mouthful Hybrid and Zero Emission Truck
7 and Bus Voucher Incentive Project, as usually called HVIP
8 for obvious reasons. I remember former Director Rob Ogelsby
9 referring to the AB8 program as aardvark for the same
10 reason. So HVIP has evolved, now focusing on ZEV trucks and
11 buses. In IEPR 2019, we varied the incentive level between
12 the cases, but using a single case for incentives allows us
13 to see changes between cases due to the other factors more
14 clearly. So now we're using the percentage of the
15 incremental cost of ZEVs. That's -- or of alternative fuel
16 vehicles, all -- that's the difference -- the incremental
17 cost is the difference between the price of the ZEV truck,
18 let's say, and the default gasoline or diesel truck,
19 depending upon what truck class you're in.

20 From 2018 to 2019 HVIP records, we averaged the
21 percentage of the incremental price for the most common
22 class, which turns out to be 86.5 percent in class 6, I
23 believe. So compared to IEPR 2019, this makes shares of ZEVs
24 higher in the low-electricity-demand case and lower in the
25 high case. With the mid case, almost the same, as you will

1 see. Next slide, please.

2 We changed the basis of commodity growth. The
3 Freight Analysis Framework Forecast from the Federal Highway
4 Administration show that the trends follow the patterns of
5 Moody's Transportation and Distribution County-Based
6 Forecast. All the granular origin, destination, and
7 commodity volumes stay in their original proportions, but
8 now they sum to reflect Moody's. To get high and low cases,
9 we have mapped the transportation and distribution county
10 forecast to the high and low using the ratio of spread in
11 the three Moody's County GSP cases. Next slide, please.

12 The dotted lines show an index of goods movement
13 from FAF captured in IEPR 2019 and solid lines for IEPR
14 2020. Note the Y axis doesn't start from zero, so we see
15 Covid is expected to reduce goods movement in 2020 by about
16 10 percent, much less than personal travel, which squares
17 well with other estimates. We're not moving around but we're
18 still buying stuff. Also note that even the low case exceeds
19 its indexed value for IEPR 2019 by 2029. The high case
20 crosses in 2023 and it's nearly 10 percent higher in 2030
21 than IEPR 2019. The mid case crosses in 2024 and is maybe
22 eight percent higher in 2020 -- in 2030 than it was for IEPR
23 2019. Next slide, please.

24 Here's our summary table for inputs by case. We'll
25 pass over inputs that are the same in the three cases, or

1 skip down to our hydrogen price, in blue, follows our
2 commercial fuel price rates for low and mid cases. But for
3 the high case, as in IEPR 2019, we assume a price applicable
4 to dedicated fleets which move over fixed routes, point A to
5 point B, or return to a home base each day. Retail hydrogen
6 is expensive in part because the stations are under
7 utilized. So the assumption here is that dedicated fleets
8 will right size their station to meet the known demand of
9 their truck -- of their truck fleet.

10 Electricity and other fuel prices follow the
11 pattern in our other models, with high prices for
12 alternative fuels in the low case and low prices in the high
13 case. Truck battery pack prices follow the light-duty
14 pattern of prices, but they're increased by 30 percent due
15 to the demanding power ratings and more robust builds due to
16 the demanding truck drive cycles.

17 Fuel economy follows a similar pattern, better for
18 alternative fuels in the high case and worse in the low
19 case, and the reverse for conventional fuels. Note that the
20 truck fuel economy follows the NHTSA EPA fuel-efficiency
21 standards that are still in place. Truth be told, the
22 difference between cases for some truck classes in fuel
23 economy are small to nil as the NHTSA EPA fuel-efficiency
24 standards are expected to drive all the cases.

25 One significant change this year is the assumption

1 of what daily range a battery-electric truck can handle, 150
2 miles, up from 100 miles in IEPR 2019, reflecting recent
3 advances in technology. Next slide, please.

4 Operating costs are the biggest driver of new
5 truck fuel -- new truck purchases in our model, so here we
6 can see how the relationship of ZEV fuels to conventional
7 fuels, diesel specifically, varies between the three cases.
8 In the green, low-demand case, electric cost per mile,
9 that's light green, is the lowest, but due to an expected
10 low diesel price, that's dark green, the cost per mile, is
11 only slightly lower in 2030. Conditions are better for
12 electric in the -- in the low case in IEPR 2019 -- actually
13 I'm not so sure of that, so let's ignore that sentence.

14 The mid case in blue is similar, with the
15 management of electric in 2030 being a bit greater. Only
16 from 2022 on in the high case is hydrogen cost per mile,
17 that's medium red, lower than diesel. And this is due to the
18 dedicated fleet price kicking in when the class 8 fuel cell
19 tractors -- or semis, not the farm tractor, are introduced.
20 Also in the high case, the advantage of battery electric
21 over diesel, again diesel dark, battery electric light. Next
22 slide, please.

23 Watch out, here I switched the position of IEPR
24 2019 and 2020 values from the previous slides for no reason.
25 Last year, the number of zero emission trucks and buses was

1 really high and the low really low, but you can see the mid
2 case in blue just crosses 80,000 in 2030. For IEPR 2020, the
3 mid case ends up in the same place, just over 80,000. High
4 and low, however, are clustered closer at about 90,000 and
5 70,000 in 2030. I for one find the similarity in the mid
6 cases reassuring. Next slide, please.

7 Here we have the same data but with electric fuel
8 and fuel cell stacked. IEPR 2019 high case had over 10,000
9 fuel cell tractors, but setbacks at Nikola pushed the date
10 of introduction for these back a couple of years. Toyota and
11 Hyundai fuel cell day cab tractors are coming along, so not
12 all the eggs are in one basket here. The rate of growth for
13 fuel cell tractors remains high, on the same curve, just
14 pushed back a couple years. So big numbers are expected
15 maybe two years later than they were in the previous
16 forecast. Next slide, please.

17 Here is expected growth in electricity consumption
18 by buses and trucks by utility. Edison and PG&E, the
19 streamlined three-letter acronyms, account for about two-
20 thirds of the total, which reaches about 1100 gigawatt hours
21 by 2030. Next slide, please.

22 Here is the forecast of battery-electric truck
23 stock for class 3. That's grossing 10,000 to 14,000 pounds,
24 which our colleagues running EMFAC call LAHD2. Mid and high
25 cases exceed 30,000 by 2030 and the growth of the low case

1 suggests it's headed in the same direction. Slide 6 -- next
2 slide, please, slide 16.

3 Turning to classes 4 and 5, we see a very similar
4 pattern, despite being a different size, traveling a
5 different number of miles per year, bearing different
6 purchase and maintenance costs. Honest, I really didn't -- I
7 didn't just copy the previous slide. Next slide, please.

8 The class 8 tractors by the three ZEV fuel types
9 here. Battery electric shows the most growth in all three
10 cases. Direct electric, the catenary tractor, the class 8
11 tractors that would serve the ports and railyards in the
12 L.A. Basin grow more gradually later, but still show an
13 increasing year-to-year growth that bodes well for the
14 future. We also see the lowest is the hydrogen growth, but
15 you can see the year-to-year increase in hydrogen toward the
16 end is increasing. Next slide, please.

17 Now we turn to the Advanced Clean Trucks
18 Regulation, requiring manufacturers to purchase or earn
19 credits from ZEV or near ZEV medium- and heavy-duty trucks.
20 Plug-in hybrids are eligible for credits based on all ZEV
21 miles of range. In each year starting with 2024, all new
22 trucks manufactured will count as deficits, including ZEVs
23 and near ZEVs. A credit multiplier factor favors heavy-duty
24 ZEVs over medium-duty starting with those over medium-duty.
25 Manufacturers must maintain positive net credits in all

1 years. And manufacturers of ZEVs only can sell their credits
2 and sell credits. Credits can be used for five years from
3 the truck's manufacturer but only once.

4 Some notable differences from our forecast are
5 built into the Advanced Clean Trucks analysis. We consider
6 all possible fuel types where the ACT comparison includes:
7 Battery-electric, hydrogen, fuel cell, diesel, gasoline, and
8 -- I believe in some cases -- low-NOx gas. So conventional
9 gasoline and diesel hybrids, other compressed and liquified
10 gas, E85 and propane count as deficits for Advanced Clean
11 Truck that are included in our truck-choice model in the
12 appropriate classes.

13 For truck classes, we have ZEV prices and fuel
14 economy for our evaluated year. At the end of the day, our
15 admitted high cases maintain net positive credits on a
16 statewide basis. We don't have the ability to evaluate ACT
17 for individual manufacturers, so statewide will do. Next
18 slide, please.

19 Here we see credits accumulate from 2021 and
20 deficits accumulate from 2024; for this reason, net credits
21 in our mid case are lower in 2024 than 2023. Net credits
22 toward 2030 are lower because ACT increases credits required
23 to retire deficits by five percent per year in some classes.
24 ZEV shares grow in all three of our cases, but the mid case
25 ZEV shares do not grow at this five percent per year. So

1 without introducing a minimum ZEV constraint in our model,
2 advanced clean trucks worked. In other words, we achieve
3 that compliance or success in net positive credits without a
4 hardwired, forced purchase. Next year we'll see about that
5 low case. Next slide, please.

6 So here the top of the chart defines the ACT
7 classes. Note that classes 2-b, 7, and 8 straight trucks,
8 and class 7 tractors are not part of this analysis. The bars
9 represent forecast results. And the lines, the percent
10 requirement for ZEV shares.

11 Looking at the broad ACT classes separately, we
12 see our class 3, LHD2 trucks, produce an excess of credits
13 and class 8 tractors keep pace, but our classes 4 and 5 and
14 6 are falling behind after 2027. Positive net credits are
15 not required for every class since credits can be traded
16 only for manufacturers across all their classes. Slide 21,
17 please.

18 Here are the counts of net ACT credits by their
19 classes. Class 3 shows a lot of credits earlier and peaks by
20 2028. The ACT class 48 straight trucks go under water in
21 2029. However, credits for this -- for the heavy tractor
22 class are positive and on the rise as the forecast ends.
23 Next slide, please.

24 So that ends this part of the presentation. Here
25 is my contact information. And I want to acknowledge people

1 on our team, Alex in particular, and also Jesse for VMT
2 data, Aniss for general consulting, and Elizabeth for a lot
3 of help with presentation. And now we'll move on to Alex
4 Lonsdale who will talk about the development of the load
5 models.

6 MS. RAITT: Actually --

7 MR. MCBRIDE: Oh, we're going to --

8 MS. RAITT: Actually -- this is -- this is Heather.
9 This is Heather Raitt. Thank you so much, Bob, for that.
10 Actually I think what we're going to do is go to see if the
11 Commissioners have any questions.

12 MR. MCBRIDE: Oh, okay. Sorry.

13 MS. RAITT: So if, Aniss and Mark, if you could
14 turn on your videos, and we'll see if the Commissioners have
15 questions. Thank you.

16 COMMISSIONER MONAHAN: I do, but I don't want to --
17 I don't want to interrupt the Lead Commissioner for this.

18 LEAD COMMISSIONER MCALLISTER: Yes. Well, I just -
19 - I want to acknowledge Commissioner Monahan, you, for
20 leading this IEPR Update in its entirety. So I think, you
21 know, certainly I oversee the forecast, but you have a lot
22 invested in this whole process throughout 2020. And as Lead
23 on Transportation, I think you're really in a better
24 position to ask specific questions on this, so.

25 But I really appreciate the, I mean, massive

1 amount of work that went behind this and really interesting
2 to see the places where the Covid, you know the sort of
3 overlay of Covid has affected the, particularly, EV
4 forecasts, but in some ways really affected heavily, in
5 other places not so much, so that's been kind of interesting
6 to understand.

7 I don't have any specific questions. I'm pretty
8 familiar with the rules and appreciate all the background
9 information about how the data sources have changed and been
10 updated, so thanks to Aniss and Mark and Bob. So I'll pass
11 it on.

12 VICE CHAIR SCOTT: Yeah. I mean this is -- this is
13 Janea. I just had an opportunity to join about 10 minutes
14 ago, so I missed most of the presentation and don't have any
15 questions yet, so happy to hear yours and maybe rip off some
16 of those, potentially.

17 COMMISSIONER MONAHAN: Yeah. I'm guessing you
18 would have, if you had been here, you would have a lot of
19 questions with a lot of good commentary, Vice Chair Scott.

20 So, well, thanks, Aniss, Bob, Mark, and the whole
21 team. Really I appreciate that you all have been kind of
22 evaluating, I would say, the boundaries of transportation
23 modeling and really trying to assess how zero-emission
24 vehicles could penetrate the fleet. And I just have a few
25 overarching comments before going into questions.

1 You know my commentary is really that it is --
2 we're modeling things -- you know we're trying to model a
3 transition that has not yet occurred without a lot of
4 background into figuring out how to do it.

5 So, for example, we do not know the impact of
6 infrastructure. We know -- we can't quantify it. We know
7 it's important. In fact, I would argue it's the second most
8 important issue after vehicle price, is access to
9 infrastructure, and yet we cannot model it. We don't know if
10 we got, you know, chargers in every apartment building, what
11 would that do to drive the demand for passenger vehicles.

12 And so I just want to emphasize that modeling can
13 only take us so far, and we have to use sort of common sense
14 for some of the policy solutions that need to drive our
15 investments going forward. And, as I said, you know, we --
16 it's really hard to model. As we know, battery prices in
17 particular are -- are falling fast. In the next five years
18 we should have cost parity, in fact they should be cheaper
19 from a vehicle perspective, let alone the total cost of
20 ownership perspective on both light and heavy-duty for a lot
21 of applications.

22 And there are some performance enhancements from
23 electric. Anybody who drives electric, recognize that 0 to
24 30 torque is really fun, and there could be some safety
25 enhancements from the low center of gravity that still needs

1 to be evaluated. But, you know, we don't -- so we're trying
2 to model a transition that has not yet occurred. And I just
3 want to give the staff a lot of credit for being creative
4 and exploring new ways to quantify this, but also to show
5 some of the challenges that we're going to have as we move
6 to a zero-emission vehicle future, we have to acknowledge
7 like there are real historical precedents that we are trying
8 to overcome and we are trying to accelerate the transition.

9 I just looked at the Bloomberg and Energy Finance
10 data on greenhouse gas emissions for the U.S. and I thought
11 it was fascinating. So they're anticipating a nine-percent
12 drop in overall U.S. emissions. That's the biggest drop in
13 emissions -- that's the biggest -- you know, our emissions
14 are equal to now about what emissions were in 1983, just to
15 give you a sense of how big it is, due to Covid. And the
16 number one driver, transportation. They say transportation
17 emissions are down 14 percent in the U.S.

18 And from the -- I eyeballed the data that you all
19 had and I couldn't really -- it was hard to tell, but do we
20 have a sense for overall energy use demand in both the
21 light- and heavy-duty sector, what the fall is projected to
22 be as a result of Covid?

23 MR. MCBRIDE: Well, I can say goods movement, it
24 looks to be about 10 percent this year and maybe next year.
25 And then it returns to somewhere like normal, about 20, 23,

1 or '4.

2 COMMISSIONER MONAHAN: Um-hum. And, Aniss, what
3 was your -- or, Mark, what -- could you tell for -- I
4 couldn't tell from the graph, I was like, oh, what
5 percentage is that.

6 MS. BAHREINIAN: I think when it comes to gasoline
7 consumption for any sense, there is a projection of about 17
8 -- 14 to 17 percent drop for the 2020 forecast. For the 2020
9 consumption, it is less of this for diesel because of those
10 two graphs that we showed, but we didn't measure total drop
11 in consumption. But if you go back to the graph where we
12 added up all of the different fuel types, the one that was
13 in BTU unit, that graph shows the decline for 2020 in terms
14 of BTUs, when we can convert that to percentages. So that's
15 the only one that we show, but keep in mind that most of
16 what the forecasting and the impact of Covid is through the
17 impact of economic variables. So to the extent that income
18 goes down or GSP goes down, then we can show some decline in
19 that area. But -- and the actual impact as -- and the short-
20 term impact, as was shown in Gordon's graph could be more
21 significant than what we are projecting.

22 COMMISSIONER MONAHAN: Um-hum. Aniss, I had a
23 question for you on vehicle sales, because you highlighted
24 historically that there has been a drop in vehicle sales. So
25 we had a peak in 2016, maybe as the post-recession kind of

1 bump, but the vehicle projections going forward are pretty -
2 - kind of steadily increasing, assuming population and
3 economics drive that -- that. But I'm wondering, can you
4 explain why there was the drop between 2016 to today and
5 whether we may have a more complicated sort of relationship
6 between vehicle sales and population going forward?

7 I know the next session is going to talk about --
8 I think it's going to talk about the impacts potentially of
9 Lyft and Uber and other types of services that could be a --
10 of what the impact could be of those types of services kind
11 of syphoning away BMP from personal car ownership?

12 MS. BAHREINIAN: Well, the decline in the new
13 vehicle sales that you saw on the CNCA graph can be
14 explained -- first of all, you saw that, for instance, that
15 the 2008-2009 year it was increasing, showing the economic
16 recovery. So it is very much correlated with the economic
17 recovery, but also there is another factor: Once a lot of
18 people are buying a new vehicle, it is usually a cyclical
19 behavior. Like when you are buying it and you go say this
20 year, you probably won't go into the market for another five
21 years. Usually around the year six is when you start buying
22 the vehicle again. So there is that cyclical year. So if a
23 whole bunch of people are buying a lot of new vehicles in
24 one year, then those people are going to get out of the new
25 vehicle market and it is going to reduce the inevitable buy

1 for another five years.

2 Now this behavior is different in different
3 markets. For instance, in the rental market that five-, six-
4 year time period is going down to, say, two or three years
5 at the most. So in the rental market they turn over those
6 vehicles quite fast, faster than all the other sectors. But
7 in the residential sector, the rate is lower. In the
8 commercial sector, they turn it -- the turn over is faster
9 than the residential sector, and so on and so forth. So
10 there are different rates, but overall you can see that once
11 a whole bunch of people are buying new vehicles in one year
12 or one short time period, then new vehicle sales is going to
13 go down in subsequent years until it goes up again.

14 COMMISSIONER MONAHAN: I think I know the answer to
15 this question, but just to make sure, did the modeling
16 assume that the California Vehicle Standard, the ZEV
17 mandate, and the Vehicle Greenhouse Gas Standards remained
18 intact or did it have any slump due to the rollback by the
19 federal administration of vehicle standards?

20 MS. BAHREINIAN: Well, one thing that we did
21 include and we have, for instance, in the low case, what we
22 did, we assumed that CAFE standards are going to be sort of
23 retired in 2021 because of the changes that the federal
24 administration did actually, but in the other cases that we
25 have, like in the mid, high, and aggressive cases, we assume

1 that those CAFE standards are going -- which is California's
2 preference of course, they are going to stay in place, so we
3 have different scenarios to reflect different situations.

4 COMMISSIONER MONAHAN: Interesting. And what -- I
5 guess this is before NHTSA actually acted to -- because they
6 did have an increase and took the modest 1.5 percent between
7 2021 and 2026.

8 MS. BAHREINIAN: Yes.

9 COMMISSIONER MONAHAN: So the low case is really
10 sort of below this, even with what the rollback is.

11 MS. BAHREINIAN: Yes, yes.

12 COMMISSIONER MONAHAN: Okay, that's good to know.
13 So presumably when -- now that we have a federal
14 administration that believes in science and climate change,
15 and is talking about working with California on standard
16 setting, as California moves for a more aggressive ZEV
17 mandated post 2025, that will be reflected in our modeling
18 going forward?

19 MS. BAHREINIAN: Exactly, exactly.

20 COMMISSIONER MONAHAN: Okay.

21 MS. BAHREINIAN: And the reason for that, we also
22 have a new survey that we conducted and completed in 2019.
23 The climate forecast is being done and the results of our
24 2017 survey, but the 2019 survey, which is a newer survey,
25 that shows the new customer preferences, that is going to be

1 incorporated into 2021 forecast. So we have to make the
2 model, make it ready for that year, so.

3 COMMISSIONER MONAHAN: So I want to turn to the
4 question for Bob, and then I'll let other folks state. So --
5 excuse me.

6 I was listening that, I was interested in that
7 fuel cost per mile which showed the electric is far lower
8 than everything else and that -- you know, but really it's
9 still cost of ownership. Do we have a total cost of
10 ownership applied?

11 And, you know, I was really -- just one more
12 comment and then you could think about it while I -- and I
13 want to -- at our IEPR Workshop for the transportation
14 section of the IEPR, we heard from one transit district that
15 they're actually paying negative fuel prices because of the
16 LDV effect, that they're making money per mile on fuel. So a
17 lot of it varies depending on your BMT and the credits that
18 you're going to get for electrifying.

19 Do we have any -- you know, do any of our -- do we
20 do any of these cases where we would go down to a negative
21 pricing, like what at least one transit district is
22 experiencing?

23 MR. MCBRIDE: I don't think we see negative prices,
24 but we do include the LCFS credit value for the -- for the
25 freight and truck base. I -- I did cite --

1 COMMISSIONER MONAHAN: I mean it occurred to me
2 that so much is based on what you're paying for electricity,
3 right, and that's --

4 MR. MCBRIDE: Right, right.

5 COMMISSIONER MONAHAN: -- going to vary a lot
6 across -- and this is one of these important nuances that we
7 don't get into and maybe it's a case that we could think
8 about for the future is, you know, if you're able to secure,
9 say, I want to say 10 to 15 cents per kilowatt hour,
10 electricity by charging at the right time of day and having
11 that kind of relationship with the utility where you're
12 really optimizing the vehicle grid integration asset and
13 then getting the LCFS benefit. It could just show -- and I
14 think this is where we want to go in the future, is showing
15 how to use transportation electrification as a boon for the
16 grid, how to integrate renewable energy, you know, how to
17 get us to the win-win-win, right, where we are integrating
18 renewable energy, so we're helping the grid get cleaner,
19 we're cutting transportation pollution, and we're helping
20 the consumer or the end-user to save money. So that's the
21 win-win-win we're looking for and it really -- I think we
22 need to have vehicle grid integration be a key part of that,
23 so thinking through in the future how do we more and more
24 model that to help end-users make good decisions?

25 MS. BAHREINIAN: I should also add that when it

1 comes to the transit buses, which was I guess related to the
2 question that you just asked, hopefully all of those are
3 going to be reflected in the transit agencies' plans,
4 approaches to purchase new buses, and our colleague Ysbrand
5 van der Werf is going to take a look at those plans by
6 different transit agencies. And to that extent, then he is
7 going to incorporate those new plans into the overall
8 transit model.

9 COMMISSIONER MONAHAN: Um-hum, that's great. Oh, I
10 have one more last comment -- last comment, which is I think
11 the THAS numbers are -- I think we think about more about
12 what the -- what the THAS (phonetic) administration is going
13 to be, as the battery-recharge time goes down, the battery
14 performance -- you get to increase the price. You know,
15 having both an internal combustion and a battery-electric
16 vehicle, you know, integrates. It's expensive. So I just
17 wonder if that is something we should be thinking more
18 about, is like what really is going to be that rational THAS
19 share as the battery performance improves and especially the
20 recharge time, I think it's a critical factor. So even more
21 food for thought for the future, nothing that you have to
22 respond to now.

23 MS. BAHREINIAN: So we appreciate that. For next
24 year, we have an agreement, a contract with NREL and they
25 will be generating our light-duty -- we call -- attribute

1 forecast and they will be incorporating all these different
2 changes that are happening in the market, but overall what I
3 can say is that based on the survey that we have conducted,
4 consumers have higher preferences for ZEV. And our forecast
5 actually has shown for a few of the last IEPRs, and we were
6 almost the only agency that was projecting a higher share of
7 ZEVs converted to ZHEVs. And back in 2017 the only other
8 entity that was doing the same thing was actually Bloomberg.
9 Everybody else was forecasting the same amount of and the
10 same number of PHEVs and ZEVs. We think it is ZEV that is
11 going to win the day.

12 COMMISSIONER MONAHAN: Yes. Well, I've got to say
13 Bloomberg was correct in the -- in their -- if you look at
14 the history, they were correct.

15 All right, but I know I've taken more than my
16 share of time, so I'm popping off. Thanks to all of you.

17 MR. PALMERE: Thank you, Commissioner.

18 MS. RAITT: All right. This is Heather Raitt.

19 Other Commissioners? I'm not hearing any other
20 questions, so thank you for that discussion.

21 Thank you, Bob, Aniss, and Mark, so much for your
22 presentations.

23 And it looks like we do not have any Zoom
24 questions right now, so we can go ahead and move on to the
25 next portion of this morning, on Exploratory Transportation

1 Scenarios. And so our first speaker is Alex Lonsdale. And
2 he'll start the conversation for us and Alex is the Lead
3 Analyst in the Energy Commission's Assessments Division,
4 responsible for EV charging load shapes.

5 So go ahead, Alex.

6 MR. LONSDALE: Thank you.

7 Good morning, Commissioners, stakeholders, and
8 Zoom participants. I'd like to thank you again for attending
9 today's IEPR Workshop. Today's presentation will focus on
10 load shape forecast updates in the exploratory load shape
11 scenarios. Next slide.

12 So the presentation outline. It's broken up into
13 three segments. First I'm going to provide an overview of
14 our EV infrastructure load model. Second, I will go over
15 updates that were made to the EV infrastructure load model.
16 These updates affect the transportation load shapes which
17 are included in the hourly electricity demand forecast.

18 The last section of this presentation will focus
19 on the exploratory scenarios. Note that the exploratory load
20 shape scenarios are separate, in the low-, mid-, and high-
21 demand cases, and do not play a role in the California Early
22 Electricity Demand Forecast. Next slide.

23 So now we will begin with the EV Infrastructure
24 Load Model Overview. Next slide.

25 So what is the EV Infrastructure Load Model and

1 how do we integrate it into our forecasting? The EV
2 Infrastructure Load Model was constructed by ADM Associates
3 to integrate plug-in electric vehicle charging load shapes
4 into the hourly California Energy Demand Forecast. It is a
5 top-down model that disaggregates the annual transportation
6 electricity demand forecast according to observed or assumed
7 charge behavior. The model essentially assimilates how
8 residential and commercial transportation sectors may
9 respond to time-of-use rates. Next slide.

10 So here we have a model schematic, adopted from
11 the California Investor Owned Utility Electricity Load
12 Shapes Report, prepared by ADM Associates. There are three
13 input categories indicated by the dark blue arrows. At the
14 top of the schematic in red we have the economic inputs.
15 Economic inputs include price elasticity and demand, in this
16 case, a change in demand relative to the change in price of
17 electricity; Residential Time-of-Use Rate Participation
18 Forecasts; and the last three inputs, prices, rates, and
19 seasons, which make up the time-of-use rate input for each
20 of the IOUs that we model. This includes PG&E, SCE, and
21 SDG&E.

22 Moving in a clockwise direction, the next category
23 of inputs are the Transportation Electricity Forecast inputs
24 for the vehicle types that we model. This includes LDV
25 Energy, segmented by commercial and residential sectors;

1 neighborhood electric vehicles; class 3 to 6 medium-duty
2 vehicles; class 7 and 8 heavy-duty vehicles; and buses.

3 The last set of inputs in the orange are the base
4 load shape inputs. The base load shape inputs charging
5 profiles for each energy category that we model. The
6 personal vehicle charging location shares input is used to
7 allocate a portion of annual personal vehicle electricity
8 consumption to the commercial sector to account for
9 destination or workplace charging. Next slide.

10 Modeling demand shift. The economic inputs to the
11 EV infrastructure load model are used to determine how the
12 hourly electricity demand may shift due to impacts of time-
13 of-use rates. In short, the adjustment factors determined
14 from this equation shown may change the percent of daily
15 electricity consumption that occurs during each hour. The
16 adjustment equation that was developed for the model is
17 shown here. Note that for commercial adjustment factors, we
18 do not include the TOU rate percent variable.

19 Adjustment -- or the adjustment factor, $A_{sub\ h}$,
20 is defined as follows. It's a product of the TOU rate
21 percentage, again for only residential customers. $PR_{sub\ h}$,
22 the price ratio, defined as the price prevailing at hour, h ,
23 divided by the lowest available price for the given day, at
24 the same location. And then e , again is the Elasticity
25 Factor. In summary, this equation is the main driver for

1 notable shifts in demand with respect to our transportation
2 load shapes, specific to each IOU territory. Next slide.

3 So that concludes our brief overview of the EV
4 Infrastructure Load Model. I will now move on to the PEV
5 Charging Load Shape Forecast Updates.

6 So there are a series of model input updates, and
7 this applies to the low, mid, and high scenarios. The
8 residential time-of-use rate participation forecast has been
9 updated. In general, the residential time-of-use rate
10 participation has increased across all forecast years.

11 Time-of-use rates. The 2020 time-of-use rate input
12 includes more current rates available from SCE, SDG&E, and
13 PG&E. Recall that time-of-use rates, specifically the peak
14 to off-peak price ratio shown in the Adjustment Factor
15 Equation, is an important metric with respect to determining
16 the magnitude of load shift in the EV Infrastructure Load
17 Model. Third, we decreased the price elasticity of demand
18 for both commercial and residential sectors.

19 Next, the personal destination load shape was
20 updated. That accounts for level 2 workplace, level 2
21 destination, DC Fast, and roadtrip charging. This update of
22 the personal destination load shape attempts to characterize
23 the different charging options when personal vehicles are
24 not charged at home. In addition, this update is consistent
25 with the profile used to determine the amount of annual

1 personal vehicle electricity that is consumed at public-
2 charging locations.

3 Last but not least, we updated the personal-
4 vehicle charging location shares, which aligns with EVI-Pro
5 simulation data. Previously these values were transcribed
6 from the 2017 to 2025 EV Infrastructure Projections Report.
7 Next slide.

8 So now we are going to be comparing IEPR 2019 and
9 IEPR 2020 load shapes for the aggregated LDV category and
10 MD-HD category. Note that these comparisons are for average
11 summer weekdays in 2030, and load is represented as a
12 percent of daily load. The IEPR 2020 load shapes are the
13 dark blue lines and the IEPR 2019 load shapes are the dashed
14 light blue lines. A general note is that there is less load
15 shifting during the on-peak period for the IEPR Update.

16 Decreased load shifting is a result of updated
17 rate inputs and how the EV Infrastructure Load Model
18 calculates load adjustments. In order to better capture load
19 shifting specific to time of use, that plans to continue
20 improving how this model responds to these economic inputs.
21 As shown, hourly load during the on-peak period hours, which
22 is defined as hours 17 to 21 on the graph, increased from
23 about .6 to around 2.3 percent for LDV and approximately from
24 1.8 percent to 2.6 percent for MD-HD. Next slide.

25 So here we are comparing load shapes for Southern

1 California Edison. And note that the model is very sensitive
2 to the IEPR 2019 commercial time-of-use rate as shown by the
3 IEPR 2019 MD-HD load shape. Again, currently our model
4 treats load shift across -- the same across all IOUs. If the
5 on-peak to off-peak period of a price ratio is large, the
6 model is going to be sensitive and adjustments are
7 increased.

8 As shown, hourly load during the peak hours, again
9 hours 17 to 21, increased for about 1.3 percent of daily
10 load for any given hour to around 2.3 percent for LDV, and
11 approximately 1.4 percent to 4 percent for MD-HD. And noted
12 that last year we used the EVTOU 8 rate and had a price
13 ratio for the on-peak to off-peak period of 4, which is now
14 2.9 in the updated rates. Thus, there is much less load-
15 shifting end result. Next slide.

16 So, lastly, we compare the San Diego Gas &
17 Electric load shapes. Again this is for an average summer
18 weekday in calendar year 2030. As shown, hourly load during
19 the on-peak period hours increased only slightly for LDV
20 here, from 2.8 percent to 3.5 percent for LDV; and actually
21 slightly decreased from 4.1 percent to 3.9 percent for
22 medium and heavy-duty. A decrease for the medium and heavy-
23 duty load shape has to do with the split of class 3 to 6,
24 class 7 and 8, and bus regional energy forecast, which
25 wastes the resulting aggregated load shape that we generate.

1 Next slide.

2 So that concludes the second segment of my
3 presentation. And now I'll be discussing the exploratory
4 scenarios of plug-in electric vehicle charging load shapes.
5 Next slide.

6 So while the exploratory scenarios were developed
7 outside of the EV Infrastructure Load Model, they do share
8 many of the same data inputs. Leveraging the EV
9 Infrastructure Model inputs allowed staff to make consistent
10 modeling assumptions with respect to the low, mid, and high-
11 demand cases.

12 Again, these are what-if scenarios developed in
13 addition to the low, mid, and high-case forecast. They're
14 intended to estimate the impacts of proposed programs,
15 policies, or other relevant questions that are outside the
16 scope of our adopted forecast. These scenarios were
17 developed outside of the EV Infrastructure Load Model and
18 are not dependent on the time-of-use rates.

19 The GHG scenario explores the statewide impact on
20 the grid if EV charging was managed to minimize GHG
21 emissions. The worst case scenario explores the impact on
22 the CAISO system if the majority of EV charging occurs
23 during peak hours. Next slide.

24 So now I will begin with the discussion on the
25 GHG-reduction scenario. First, I'd like to thank CEC staff

1 from the Planning and Modeling Unit and the Supply Analysis
2 Office for performing the work and providing the data
3 necessary to make this scenario analysis possible.

4 The following table shows projected hourly system
5 average CO₂ emission intensity for calendar year 2030, and is
6 based on the adopted IEPR 2019 mid case. These factors are
7 determined by simulating the width and why of electric
8 sector generation and fuel use on an hourly basis.

9 Going in the X direction, as indicated by the
10 arrow, we have hour of day, and then in the Y direction, the
11 month of the year. A heat map is applied to show off the
12 grid system's emission intensity in 2030, is expected to
13 vary with time of day. In general, the nighttime and early
14 morning hours have greater emission intensity factors, shown
15 in the red and orange color, typically since less renewable
16 energy generation is expected to be online during these
17 hours. In contrast, the grid system is expected to be less
18 carbon intense during the afternoon when renewables such as
19 solar are expected to generate more electricity.

20 So since emission intensity is less during the
21 day, one approach to reducing transportation-related GHG
22 emissions would be to install more workplace public
23 destination chargers. With increased public charging
24 options, EV owners have increased opportunity to charge mid-
25 day and take advantage of renewable generation. Next slide.

1 The GHG Scenario: Flexible Vehicle Categories. As
2 noted earlier, the exploratory scenarios leverage model
3 inputs from the EV Infrastructure Load Model to make
4 scenario comparisons possible and to make the same
5 assumptions regarding daily electricity consumption for each
6 model vehicle category. For the GHG scenario, flexible
7 vehicle electricity was applied to the GHG reduction load
8 shape, which will be shown on the next slide. The inflexible
9 vehicle category's charged profile is determined from the
10 base loadshift input, used in the EV Infrastructure Load
11 Model. Again I would like to highlight that we do ignore the
12 effect of time-of-use rates here. Next slide.

13 The GHG Scenario: Flexible Summer Weekday Profile
14 for 2030. So the following charge has two profiles. The
15 first one, in the blue, is the hourly flexible charge
16 profile for an average summer weekday in 2030. Note that the
17 load shape values are presented in terms of percent of daily
18 load. The gray dash profile is the average emission
19 intensity factors for a summer weekday in 2030. And it's
20 presented on the secondary Y axes in metric tons of CO₂ per
21 megawatt. Here we see that more load is applied during hours
22 of low-emission intensity, while high-emission intensity
23 factors results in less load for the given hour. Next slide.

24 So here we have a table with two measures. We're
25 measuring system peak contribution megawatts. This is for

1 the average summer weekday in 2030, shown in the chart
2 below, as well as the annual GHG emissions and metric tons
3 of CO₂. Note that this is annual GHG emissions from
4 charging. The forecast at mid-case peak contributions, 1,384
5 megawatts. That is during hour 19 of the day. For the GHG
6 reduction scenario, peak contribution is 2,046 megawatts.

7 You will note that the annual GHG emissions from
8 charging in the mid-case is about 1.7 million metric tons of
9 CO₂, whereas the GHG-reduction scenario has about 1.3 million
10 metric tons of CO₂, a total reduction of about 23 percent.

11 The forecast at mid-case system peak contribution
12 is lower because the EV Infrastructure Load Model was built
13 to shift load, according to time-of-use rates. Since
14 electricity costs the most during non-peak period in current
15 rate structures, load is -- load shift primarily occurs
16 during these hours. Next slide.

17 So that concludes the discussion of the GHG
18 reduction scenario. I will now transition to the worst-case
19 scenario. I would like to emphasize that we do not think
20 that this is a realistic scenario as it assumes all EVs are
21 charging at the same time and during the on-peak period.
22 This is not a likely scenario as time-of-use rates incurred
23 through nighttime off-peak charging when electricity prices
24 are the lowest.

25 So as you can see here we developed two profiles.

1 Note that we have a double axes chart here. The Exploratory
2 Charging Profile, applied to the forecast of daily
3 electricity consumption from all vehicle categories, is
4 shown as a light blue dash profile. The dark blue profile
5 shows how adding transportation load according to the
6 Exploratory Profile would affect the CAISO system load.

7 Next, the CAISO high-low transportation load shape
8 is shown by the gray dash line, this is generated by the EV
9 Infrastructure Load Model. As we can see from the graph,
10 there is significantly less on-peak period charging when
11 comparing the charge profiles. The dark gray line represents
12 the CAISO high-low system profile. From the charts, from
13 both charts, we can see that the transportation load, if
14 left unmanaged, could significantly impact electricity
15 demand.

16 The Exploratory Profile in Profile -- or in case 1
17 shows that we would increase the on-peak period demand
18 during hour 19 by 5,295 megawatts in calendar year 2030, on
19 a typical summer weekday. And Profile 2 would increase the
20 peak demand by 8,501 megawatts in 2030. Next slide.

21 So there are some key takeaways here. These
22 scenarios highlight the importance of time-of-use rates or
23 other strategies to discourage PEV owners from charging
24 during the peak system hours. When developing load-shifting
25 strategies to address climate change, it's important to

1 consider both grid conditions and GHG emission intensity
2 factors. Next slide.

3 Thank you. And I've also included a link to ADM's
4 complete documentation for our EV Infrastructure Load Model,
5 located in Chapter 10 of the Report.

6 And I believe now we're going to actually take
7 questions, if I'm not mistaken.

8 MS. RAITT: That's right. Thank you, Alex.

9 LEAD COMMISSIONER MCALLISTER: Let's see here. So
10 thank you for that, Alex, that's great.

11 I just have a couple. This makes a lot of
12 intuitive sense to me and I really appreciate your working
13 with the utilities and the assessments divisions, the cross
14 divisions to inform this work really exactly how we need to
15 be approaching this.

16 And I wanted to also just point out that, you
17 know, load management standards have a lot of potential to
18 help push this conversation in terms of doing what you
19 suggest, which is managing this particular set of loads in a
20 way that's intentional and in line with state policy and
21 across agencies together with the PUC and the ratemaking
22 realm, really enabling tools to do that management at a
23 reasonable cost.

24 So I did have one question -- or two questions.
25 One was about the behavioral model, sort of the response

1 time of use. You know there's been a lot of work in
2 different realms about this, looking, taking large datasets
3 from different consumers and figuring out what the
4 behavioral response to different rate regimes and pricing
5 schemes actually is. I wonder how much of that you've been
6 able to do in this realm and kind of just suggest perhaps
7 that EPIC, this might be a nice place for some R and D to
8 look at how behavioral response actually -- to understand
9 behavioral response in the various transportation sectors
10 actually might look like.

11 MR. LONSDALE: Right. So one of the main reports
12 that we've looked at is the Nexant Report from San Diego Gas
13 & Electric and they did a study on the effects of time-of-
14 use rates and actually looked at it a more granular level
15 looking at PEV owners and nonPEV owners that actually own
16 electric vehicles, and before they adopted the time-of-use
17 rate and after they adopted a time-of-use rate, what's the
18 demand shift relative to the price of electricity. And they
19 kind of did a study on the price elasticity of demand and
20 how responsive people were to the change in price. And it
21 reflected a range of price elasticities for both cross price
22 elasticity and own price elasticity. From price elasticity,
23 it fell between the range of .3 and .5, which actually is kind
24 of where our model falls for price elasticity demand.

25 But we're kind of continuing the process of

1 updating. The equation that I showed prior to the adjustment
2 factors is kind of the first stab at following demand shifts
3 and we're kind of continually seeing a -- we've done a
4 sensitivity analysis on this equation here and how our model
5 actually adjusts our load profiles from these adjustment
6 factors, but also just how it's actually renormalizing
7 across the entire year after we applied these adjustment
8 factors. And Nick Fugate has actually provided some
9 directions for updating the models and kind of how we can go
10 in the direction of just doing a better job in modeling
11 these demand shifts.

12 LEAD COMMISSIONER MCALLISTER: Thanks a lot. It's
13 funny that the work you just described sent me back to my
14 own Ph.D. which was about consumption pattern response to
15 the adoption of PEV itself, right, that people change their
16 energy-use patterns after they get PEV. And at that time I
17 actually had to -- there were so few EVs out there, but
18 there were a few, that I had to actually try to identify
19 them and screen them out of my analysis so they didn't
20 pollute my analysis. And now there are so many of them that
21 obviously we need to, you know, treat them as a segment of
22 this question, right, so I think that's really --

23 MR. LONSDALE: Definitely.

24 LEAD COMMISSIONER MCALLISTER: That's great.

25 And that's a good segue to my second question

1 which is about what do you hope to achieve with the data
2 that we're talking about getting in the update of the data
3 regs? Because I think that sort of granular data has a lot
4 of potential. I'm interested in sort of how you're thinking
5 about that helping this analysis.

6 MR. LONSDALE: Yeah, definitely that's a great
7 question. So for our charge profiles or our base load shape
8 input, those were developed by ADM back in, I believe, 2018.
9 And there has definitely been a lot of advancements in
10 charging behavior and vehicle technology since then, even
11 with Teslas and all the other companies that are coming out
12 with new technologies.

13 You know we've got a lot of data coming in and
14 we're kind of mapping out this next month sort of what's our
15 trajectory in terms of updating our charge profiles, do we
16 get more granular with our vehicle categories. Because, as I
17 showed, we aggregate sort of the medium- and heavy-duty
18 space. And as well as the light-duty vehicle space, we're
19 aggregating the classes into the total annual electricity
20 consumption.

21 So we've -- another question that's come about, a
22 lot of people have been asking about is you know we have
23 this interface with EVI-Pro. We've got EV infrastructure
24 projections tools and that STB is developed. And kind of
25 people keep asking about the interface between their

1 charging profiles and load shapes and ours, and we're
2 continually trying to synergize between these two model
3 constructs while also taking advantage of the fact that we
4 have a plethora of potentially metered data coming in where
5 we can utilize that for the LDV residential space to really
6 improve our modeling and improving our charge profiles that
7 we apply to these models.

8 LEAD COMMISSIONER MCALLISTER: Great. So, yeah,
9 that definitely is worth some further discussions as we move
10 forward with that regulation.

11 MR. LONSDALE: Certainly.

12 LEAD COMMISSIONER MCALLISTER: And, yeah, into IEPR
13 for next year, so really thanks. Thanks a lot.

14 I'll pass it off to Vice Chair Scott and
15 Commissioner Monahan.

16 VICE CHAIR SCOTT: Hi. Thanks, Alex, for the
17 excellent presentation. I am really, really happy and
18 cheered to see that we've got this increasing sophistication
19 that we're adding into our PEV analysis, so I want to thank
20 you and the team for that. As you guys know, it's incredibly
21 important, especially as we continue to add more and more
22 and more plug-in electric vehicles to our grid. So thank you
23 very much for that.

24 One thought that I had as we were going through
25 your slides, you mentioned that we had the datasets I think

1 from PG&E, SCE, and SDG&E, we may want to consider including
2 SMUD and LADWP if we can in the next round. I think between
3 those five we'll have a pretty big chunk of the state
4 included in our analysis.

5 MR. LONSDALE: Certainly. I think that's been a
6 discussion and I think Heidi's actually pointed out to me
7 that we should be including that in the next round of our
8 forecasts as well, so I think that's definitely --

9 VICE CHAIR SCOTT: Um-hum, yeah.

10 MR. LONSDALE: -- the direction we're heading in.

11 VICE CHAIR SCOTT: Awesome. I think that would be
12 great. And then this question may not be for you, but I was
13 reminded of it as you were talking and I'm so sorry that I
14 missed the first part of the Workshop, one of the things
15 that I wanted us to consider as we're doing these more
16 sophisticated analyses on the electric vehicles is the time-
17 to-charger analysis that we're using or the metrics that
18 goes along with that, --

19 MR. LONSDALE: Yes.

20 VICE CHAIR SCOTT: -- and how to capture that. And
21 the reason that I say that is before I think we had
22 something that was maybe a couple of hours -- not a couple
23 of hours -- it was 10 to 15 minutes to get to a charger. But
24 the point that I was making with the electric vehicles is
25 that the light duty, you may be parking it at work or at

1 home, which are places you were already going, so there's
2 not really time to charger in that same way, as you would
3 think about with the hydrogen fuel cell, for example, where
4 you have to drive from where it is that you are to the
5 fueling station. And so kind of thinking through how we
6 capture some of those metrics as they change because of just
7 the nature of the plug-in electric vehicles. So that may not
8 be for you specifically but just --

9 MR. LONSDALE: Yeah.

10 VICE CHAIR SCOTT: -- kind of a broader thought as
11 we increase the sophistication of our analyses here.

12 And then one other thought which also might be a
13 little broader than what you are talking about, but I get so
14 excited to see these scenarios and the best case scenario --
15 and I don't think that's quite what you called it -- and
16 then the worst case scenario, but that gives decisionmakers
17 and policymakers a lot of really data-rich environments with
18 which to kind of think through policies and decisions that
19 we're wanting to make. And so one thing I was thinking is,
20 you know, with Governor Newsom's executive order for all
21 vehicles to be electric by 2035, one of the things that we
22 could do similar to the analysis that you showed with CAISO
23 that had kind of that peak at, I think it was, 8500
24 megawatts, which is a lot --

25 MR. LONSDALE: Yeah.

1 VICE CHAIR SCOTT: -- for not using time-of-use
2 rates, but is what does this look for electricity demand,
3 right. If we have an increasingly electrified fleet between
4 now and 2035, what does that look like for electricity
5 demand. Our fuels team can look at what does that look like
6 for hydrogen demand. And we can even probably go back and
7 think through where we think some of the pinch points in our
8 system are going to be as we try to make that transition.

9 So, anyway, this is just a really long way to say
10 that I'm excited to see these sophisticated scenarios and
11 analysis that you have presented to us today. So thank you
12 for that.

13 MR. LONSDALE: Yeah. Thank you very much.

14 COMMISSIONER MONAHAN: I'm the last, hopefully I
15 will end with enough time for us to have lunch, so I really
16 appreciate the comments by Vice Chair Scott and Andrew --
17 Commissioner McAllister. Excuse me. And I just had a few
18 more questions for you. I think they're pretty -- they're
19 softballs.

20 But, I wonder, do we have -- you have the light-
21 duty GHG case, do we have a worst case GHG? I didn't see, I
22 just saw the peak but not GHG implications of that.

23 MR. LONSDALE: Yeah, the --

24 COMMISSIONER MONAHAN: Do you have that data?

25 MR. LONSDALE: So we didn't actually do a GHG

1 determining calculation on the worst case scenario. I was
2 more focused on the system peak contributions and the
3 effects for the CAISO system. Where is the other scenario,
4 the GHG scenario was more focused on actually calculating
5 the GHG reductions from the total year. So the GHG reduction
6 scenario we actually developed an 8760 profile set, dataset
7 for load shapes. Whereas the worst case scenario was a
8 smaller dataset example to focus on the peak effects for
9 just a summer weekday, so it's a smaller dataset sample and
10 actually doesn't run against the entire 8760 emission
11 intensity factors.

12 COMMISSIONER MONAHAN: Got it, okay. I'm
13 wondering, I want to build on something that Commissioner
14 McAllister suggested and actually it relates to Vice Chair
15 Scott's profile -- I mean her portfolio on R and D
16 investments, is that I mean I think we have some good data
17 on nighttime TOU pricing behavior. We don't have, at least
18 my sense is we don't have good data on when we're asking
19 sort of a more complicated charging profile. I mean, you
20 know, where we want charging to occur in the middle of the
21 day when we have a lot of renewable solar energy mostly that
22 we're curtailing. And that's where I feel like we have a lot
23 of data gaps. And I'm just curious about your sense, do you
24 think that's correct or do you feel like we also have the
25 data?

1 I mean I've just seen the BMW Charge Forward, just
2 a few like kind of small --

3 MR. LONSDALE: Small.

4 COMMISSIONER MONAHAN: -- scale and they don't
5 really give us a lot of data. And what's your sense of that?

6 MR. LONSDALE: Yeah. I mean the Charge Forward
7 path and like sort of the BGI space as well, we're trying to
8 -- they're kind of small pilot programs right now. There are
9 small datasets there. In terms of, you know, like a plethora
10 or a large dataset for mid-day charging with DER response
11 and BGI technology, we don't have a large -- I haven't seen
12 a lot of data there. We've hunt and pecked around a little
13 bit. It's definitely something we're trying to explore
14 further on the 2021 IEPR Update, try to like pinpoint some
15 more datasets. But as of right now, like you're saying, I
16 found -- looked through the Charge Forward datasets and a
17 few others, but there's not a lot of data on the mid-day
18 charging and sort of the DER response.

19 COMMISSIONER MONAHAN: Yeah. We know it's good,
20 but we don't know how good.

21 MR. LONSDALE: Right.

22 COMMISSIONER MONAHAN: We know how to set the right
23 incentive to create that behavior with stuff like we'll put
24 a charger at a workplace, so folks can do it automatically.
25 So that seems -- I mean, yeah, whatever works, but let's get

1 some data --

2 MR. LONSDALE: Right.

3 COMMISSIONER MONAHAN: -- to support our decision
4 making instead of just intuition. I know the Chair calls --
5 always says, which I have actually quoted him on this, like
6 we want an EV happy hour where we're plugging in at the
7 right time of day and --

8 MR. LONSDALE: Yeah.

9 COMMISSIONER MONAHAN: -- using up on solar, but
10 how do we set the right policy to make that happen, I think
11 that's the challenge for us.

12 MR. LONSDALE: Definitely.

13 LEAD COMMISSIONER MCALLISTER: Can I jump in on
14 that actually? You mention the happy hour, and I was just
15 actually -- this is a little bit out of left field, but I
16 thought it was really interesting, actually we do a fair
17 amount of international collaboration. And I was on a call
18 recently with the state of Karnataka in India, and they
19 actually have that for agricultural pumping. They get free
20 electricity for nighttime hours, for multiple hours of the
21 night. And they're going to move that -- they're getting so
22 much PV that they're actually moving that to the day.

23 COMMISSIONER MONAHAN: Yeah.

24 LEAD COMMISSIONER MCALLISTER: The farmers are
25 ecstatic about it because they don't have to get up in the

1 middle of the night and turn their pumps on and off. And --

2 COMMISSIONER MONAHAN: That's cool.

3 LEAD COMMISSIONER MCALLISTER: And it's automatable
4 and everything. So, anyway, there are -- you know, there are
5 jurisdictions that we can learn from on this stuff as we get
6 a lot of --

7 COMMISSIONER MONAHAN: Yeah.

8 LEAD COMMISSIONER MCALLISTER: -- really
9 inexpensive renewables. Anyway, I thought --

10 COMMISSIONER MONAHAN: Yeah.

11 LEAD COMMISSIONER MCALLISTER: -- that was worth
12 suggesting, but thanks.

13 COMMISSIONER MONAHAN: That's fascinating. Well,
14 and I comment on that too is that I thought the heavy-duty
15 data was fascinating. This is a place where I just think,
16 wow, you know, businesses are still focused on the bottom
17 line, that we could have an opportunity to electrify
18 transportation just based on the lower price of electricity.
19 If the signals are correct, right? There's demand charges
20 and there's need for fleets that may -- they may not always
21 be able to charge at optimal times from the grid, but if we
22 could set the right incentives for that, that's another
23 place where I feel like we have a dearth of information
24 about how to create the right incentive for heavy-duty
25 charging.

1 And some of the data coming out of our AB21, 27
2 and it will be a model in the IEPR as well is that, you
3 know, if you look across the state, we have these diverse
4 heavy-duty fleets. And each of these vehicle cases has very
5 specific charging behaviors and patterns that are quite
6 diverse. And so when you look at like the Central Valley and
7 ag equipment being electrified, which Commissioner
8 McAllister said about the pumps hear, is that there is going
9 to be all these different charging behaviors based on the
10 needs of the fleet. And I think there are just like a lot of
11 analysis we can do around the grid impacts of those and how
12 to set the right policies so that heavy-duty vehicles are
13 charged at the right time.

14 And I'm getting pinged by Heather to get off.
15 Alex, we could go on all day.

16 MR. LONSDALE: We could, we could.

17 COMMISSIONER MONAHAN: Thank you very much for the
18 modeling. It was really exciting, new territory that you're
19 moving forward with that, so thank you.

20 MR. LONSDALE: Thank you, Commissioners. I really
21 appreciate your response.

22 MS. RAITT: Thank you, Commissioners.

23 Thank you, Alex.

24 Sorry to be the bad guy and have to cut off
25 discussion.

1 MR. LONSDALE: Okay.

2 MS. RAITT: But we do need to hear from another
3 presentation from Bob McBride.

4 So, thank you, Bob, can you go ahead and get
5 started? Thanks.

6 MR. MCBRIDE: Start video. Hello again. Are you
7 hearing an echo? Does anybody hear --

8 MS. RAITT: I don't remember an echo. You sound
9 good to us.

10 MR. MCBRIDE: Okay. Ignore myself.

11 Hello again. This presentation describes the
12 Exploratory Scenario on Impacts Additional Medium- and
13 Heavy-Duty ZEV Chart Populations to Meet the Federal Ozone
14 Standard in the South Coast Air Basin in 2031.

15 The assessment has two parts. The first is this
16 presentation that takes us to electricity consumption,
17 followed by Alex's presentation that transfers and sees
18 results to impact on electric load -- we may have already
19 covered that, but I'm not sure. Next slide, please.

20 We call it the attainment scenario. We assess the
21 increase in electricity consumption from the number of plug-
22 in trucks needed to reduce the internal combustion emissions
23 and meet the 2031 Ozone Standard. First I'll provide some
24 background and describe the need for this scenario. Then
25 I'll describe how we use three things: One, a basin-specific

1 dataset associated with the ARB's spreadsheet, META, an
2 analysis tool to support the Air B Mobile Source Strategy;
3 two, one of CEC's IEPR Transportation Energy Demand Forecast
4 cases; and, three, a new closely-related scenario, the model
5 used in the IEPR forecast. Finally, I'll describe results.
6 At the end of the slide deck is an appendix on an
7 alternative scenario that you can look at afterwards. Next
8 slide, please.

9 Various sources emit oxides of nitrogen, or NOx,
10 on a low-level atmospheric precursor to ozone. California
11 has made great progress over decades in reducing NOx, but to
12 meet the Federal Ozone Standard intended to reduce health
13 effects, more reductions are needed. The Mobile Source
14 Strategy calls for a 57-percent reduction of NOx emission
15 from the current base line -- that's the dotted line -- in
16 2031. Next slide, please.

17 Of all the sources of NOx, medium and heavy
18 vehicles comprise 32 percent of emissions, essentially a
19 third. Heavy-duty vehicles alone are 26 percent. Next
20 slide, please.

21 South Coast AQMD is pursuing the replacement of
22 internal combustion engines with zero-emission drive
23 vehicles in the South Coast Air Basin, the lion's share of
24 South Coast AQMD. Heavy-duty tractors, again semis, not farm
25 equipment, are targeted as the largest on-road generators.

1 The Mobile Source Strategy target for ZEV tractors is more
2 than double the CEC mid-case forecast. Some classes are
3 closer to their target, as we'll see. If the strategy is
4 pursued for the South Coast Basin or implemented, utilities
5 in the region will have to plan for the electricity supply
6 and capacity required. Next slide.

7 CARB and South Coast AQMD staff shared META
8 results for South Coast Air Basin for 2031. In the META
9 tool, internal combustion trucks with the greatest NOx
10 emissions are identified and replaced with a sufficient
11 number of zero-emission trucks each year to meet the Ozone
12 Standard in 2031. CEC staff started with the mid-case truck
13 choice and freight forecast assumptions, then adjusted
14 incentives and truck retirement age, first targeting the
15 ratio and counts of internal combustion to ZEV stock in META
16 for 2031.

17 The complete -- to complete the assessment of
18 Energy Commission and load impact, colleague Alex Lonsdale
19 dove further into the VMP and energy-consumption totals.
20 Resulting incentives were set for each truck class, varying
21 from 25 percent of the purchase price for class 3 to 65
22 percent for the class 8 tractors, with a retirement age for
23 the tractors after 13 years of operation.

24 Alex calculated the fraction of VMT and fuel
25 consumption from our model's Los Angeles zone, corresponding

1 to the South Coast -- including the South Coast Air Basin,
2 then applied load changes that determine the additional peak
3 demand for the Edison territory. We found that using vehicle
4 stock totals is a pretty rough circuit for emissions, so a
5 future use of this scenario will assign incentives and
6 retirement based on the fuel consumption outputs, results.
7 Note that the -- in the Appendix of this slide will show an
8 alternative scenario with retirement after 15 years of
9 operation and an incentive of 80 percent for the class 8
10 tractors. But we'll cover that otherwise. The next slide,
11 please.

12 Comparing our forecasting data to that in the META
13 tool, we found that our vehicle stock is lower in the base
14 year, mostly because META includes class 2B, trucks advanced
15 between 8500 and 10,000 pounds gross weight, while we start
16 with from the 10,000 pounds up. Economic growth in META is
17 based on Metropolitan Planning Organization forecasts, while
18 ours is based on commodity movement and freight analysis
19 framework and providing services scaled to fit the
20 trajectory of Moody's Transportation and Distribution
21 Forecasts, which accounts for Covid.

22 In META, ZEVs are introduced to meet the 2031
23 Ozone Standard, while in our model ZEVs are introduced
24 according to an adoption curve in the truck choice model
25 scaled based on total cost of ownership, in competition with

1 other fuels. META uses the miles per vehicle from EMFAC
2 2017, while we use the 2017 California Vehicle Inventory and
3 Use Survey. For our model, less new trucks are needed to
4 meet demand since newer trucks go more miles in a year than
5 the older ones they replace and the number purchased is set
6 to meet demand for goods and service trucks. This is one
7 reason using ICE and ZEV stock ratios to set incentives and
8 retirement is not as accurate as it would be if we used fuel
9 consumption. Next slide.

10 So now we just move on to our results. Next slide.

11 Here we see a comparison of internal combustion
12 stock on the left with ZEV stock on the right. The CEC mid
13 case is light blue, META is gray, and the attainment
14 scenario counts are in dark blue. Number of ICE vehicles in
15 attainment, dark blue, are lower than META's except for
16 class 3, while class 4 and 5 attainment has less than half
17 the internal combustion and double the ZEVs. This happened
18 because we over shot on the incentives. Overall, the
19 attainment -- I'm sorry. Next slide, please.

20 Overall the attainment scenario ends up with the
21 largest number of ZEVs, mostly because we over shot class 4
22 and 5. Using fuel consumption as the target to set
23 incentives and retirement will allow us to fine tune the
24 classes going forward. Next slide, please.

25 Here we see the battery electric truck VMT in 2031

1 for the CEC mid case in light blue and the increase under
2 the attainment scenario in dark blue. The class 8 VMT is
3 almost all these class 8 tractors, about 2.6 billion zero-
4 emission miles for attainment between the three classes
5 shown here. Next slide, please.

6 Here is diesel consumption, where we could clearly
7 see the dominance of class 8 tractors. Diesel totals under
8 the attainment scenario in total are lower than META, but
9 this is distributed unevenly: Higher in class 8 and lower in
10 class 4 and 5, and class 6 we didn't show. The class 7
11 difference is mostly due to the differences in total
12 forecasts stock between us and META. Next slide, please.

13 Gasoline totals on the left and compressed and
14 liquified gas on the right. Most gasoline is medium duty and
15 most gas is heavy duty. Attainment totals are lower than
16 META because of competition from low diesel process and low
17 NOx gas is no longer being incentivized -- low NOx gas
18 vehicles are no longer being incentivized in HVIP. Slide 14,
19 please.

20 Annual electricity consumption in 2031 is about
21 1700 gigawatt hours more than the mid case. Approximately 70
22 percent is in Southern California Edison territory, 27
23 percent in LA Water and Power and two percent in Burbank
24 Water and Power. This adds 164 megawatts beyond the mid case
25 to SCE's summer peak. That's weekday hour 19, 5:00 p.m. in

1 2031. Next slide, please.

2 Takeaways. ZEV populations from different models
3 should not be compared without also considering Vermont and
4 fuel consumption. The intent of the State's ZEV goals is to
5 reduce criteria pollutant emissions and GHG emissions, which
6 are dependent on VMT, the portion of VMT driven by zero
7 emission versus internal combustion.

8 Staff recommends that ZEV goals and metrics be in
9 terms of reducing emissions and fossil fuel use, in addition
10 to a vehicle population target, or even in place. Slide 16,
11 please.

12 Here is my contact information. I want to
13 acknowledge the amount of collaboration Alex and Heidi
14 Javanbakht provided, as well as Ian MacMillan and Sara
15 Forestieri as helping the analysis -- or helping frame the
16 analysis, providing data and answering questions.

17 Please ask questions or write, add written
18 comments, since this was exploratory work and will continue
19 to evolve. Thank you.

20 MS. RAITT: Thank you, Bob.

21 Commissioners, do you have any questions for Bob?

22 LEAD COMMISSIONER MCALLISTER: I am not going to
23 ask any right now, Bob. Very interesting. But I want to
24 leave time for some public comment for that, so I will pass
25 it on to my colleagues on the dias.

1 VICE CHAIR SCOTT: I don't have any questions
2 either. I do want to acknowledge again the increasing
3 sophistication of our work to really be able to dig into and
4 look at zero-emission vehicles and the options and what do
5 they mean for our system. So I appreciate that work.

6 And I appreciate kind of the good work together
7 with the South Coast Air Quality Management District to
8 think through and compare studies and then understand if
9 there's places where we have slightly different answers,
10 where those are coming from. I think that kind of data and
11 information is really useful and helpful, so thank you all
12 for getting that done.

13 MR. MCBRIDE: Thank you, Commissioner.

14 COMMISSIONER MONAHAN: Yeah. Bob, I actually only
15 have a comment, not a question. And my comment is that, you
16 know, when we look at that aggressive case for
17 electrification, it was a hundred thousand, right, in 2030,
18 Bob, to reach the NOx, to reach the attainment to South
19 Coast?

20 MR. MCBRIDE: Sounds right. I'd have to look.

21 COMMISSIONER MONAHAN: Anyway, so around that, and
22 just to give us some perspective, like from -- so there is a
23 city in China called Shenzhen, kind of -- it's a very green
24 city, but so is Los Angeles, let's face it, and it has about
25 the same population, so around thirteen-ish million in that

1 metropolitan area in Shenzhen. And Shenzhen in the last
2 three years has gotten 60,000 light trucks on the -- you
3 know, small trucks, delivery vehicles. They're trucks and
4 they're delivery vehicles. And 16,000 of their buses are
5 electric. So it's close to 80,000 of heavy-duty vehicles in
6 three years. The same population.

7 So I think when we look at the aggressive case and
8 they go, oh, my God, we can't reach that, I would just say
9 one city, in Shenzhen, almost has done that in three years.
10 And, you know, so I have more optimism that we should be
11 able to also break some of these barriers around
12 electrification. That's my comment.

13 But thank you, really interesting research and
14 really important because I mean at the end of the day it's
15 all about clean air for California. That's the biggest
16 driver I think for all of us, is we want to have a safe
17 environment for the future.

18 MR. MCBRIDE: Yes. Thank you, Commissioner. Doing
19 this was recording -- was valuable to us, new territory.

20 MS. RAITT: All right. So Heather again. Thank
21 you again, Bob, for that presentation.

22 So I think we are ready to move on to the public
23 comment period. So we will be opening up lines for public
24 comment and ask that -- we just have one person for
25 organization comment and the comments will be limited to

1 three minutes per speaker.

2 So if you are using the online Zoom platform, you
3 can raise your hand to let us know you'd like to comment.
4 And if you're on the phone, just dial star 9 to raise your
5 hand, and then again star 6 -- excuse me -- to mute and
6 unmute your line.

7 And RoseMary Avalos from the Public Advisor's
8 Office is here today to help us with public comments.

9 MS. AVALOS: Thank you, Heather.

10 I will first call on attendees using the raised
11 hand feature on Zoom. Please state your name and affiliation
12 and spell your first and last name. Also please do not use
13 the speaker phone feature because we may not be able to hear
14 you clearly.

15 As I can see right now, I don't see any raised
16 hands, so I'll also remind those that are on the phone to
17 dial star 9 to raise your hand and star 6 to mute and unmute
18 your phone line. So, okay, we have Doug Karpa.

19 Go ahead and you may need to unmute on your end.
20 Go ahead and speak. Doug.

21 MR. KARPA: Yeah, hi. I don't know if you can hear
22 me. This is Doug Karpa from Peninsula Clean Energy. I
23 really want to thank everybody at the Energy Commission for
24 all this great work that you all do. It's always a good day
25 to hear from you all.

1 I was actually curious a little bit about the
2 prospect for doing analysis on some of the results that
3 we're going to see out of the SB100 study I guess at the
4 Workshop tomorrow. In particular, we're hearing a lot -- or
5 I'm hearing some discussion about how much increase spending
6 on generation, renewable generation is driving electric
7 sector carbon emissions down might hamper like building and
8 EV electrification. And I realize listening to this that we
9 already have a lot of the data -- or you already have a lot
10 of the data about the sensitivity of PV adoption and I
11 presume public building electrification as well to
12 electricity rates.

13 And so it'd be really interesting, I think, to get
14 an empirical look at, say, you know if we take a 2045
15 scenario that reduces the emissions from, say, 24 million
16 metric tons down to, say, I don't know, 8 or 10 or 5, what
17 some of the other results are, what actually would be the
18 impact on actual customer bills and then how do those
19 customers' bills translate into costs per mile and how
20 does the cost per mile then translate to rate of
21 transportation electrification.

22 I guess it's more of a comment than an actual
23 question, but I'm just realizing that you all are
24 beautifully set up to do that analysis, given infinite time.

25 So thank you again so much for all your work.

1 MS. AVALOS: Thank you, Mr. Karpa.

2 And I will go ahead and remind those who want to
3 speak to please raise your hand on Zoom. And, again, those
4 on the phone dial star 9 to raise your hand.

5 Are there any other comments? Please raise your
6 hand now.

7 I'm going to give it just a couple more seconds
8 and see if there are any other raised hands.

9 I don't see any raised hands, so I will go ahead
10 and turn it over to Heather.

11 MS. RAITT: Thanks. So that concludes the public
12 comment portion.

13 And so, Commissioners, if you wanted to make any
14 closing remarks you're welcome to.

15 LEAD COMMISSIONER MCALLISTER: Well, thanks to all
16 the staff who presented. I'm really pleased about a really
17 deep analysis. And it's both heartening to see the progress
18 that's been made on some of the analytics just even since
19 the last full IEPR. Again, there's just been steady progress
20 every cycle and half cycle for the last -- well, ever since
21 I've been at the Commission and certainly ever since I've
22 been looking after the forecast.

23 And you know driving our decisions with better
24 and, you know, generally more granular but certainly more
25 vetted data sources is just where we're going generally. And

1 I see everyone -- I think everyone saw that today in the
2 presentations and, really, that staff are taking it to heart
3 and really working across many, many stakeholder groups to
4 get better information and to develop algorithms that make
5 sense and to vet those algorithms with experts in each
6 particular sub field, and so that's terrific.

7 I really did, Bob, appreciate the talking -- the
8 work on NOx and focusing on the nonattainment and trying to
9 figure out ways we can, you know, as a state reduce those.
10 Obviously transportation is a big one, and working across
11 the agencies. It's good to see some other agencies online
12 paying attention to this, so looking forward to working
13 together with all of you.

14 So, with that, I think I'll pass it back to my
15 colleagues if they have some final wrap-up comments before
16 we break for lunch.

17 So, Vice Chair Scott.

18 VICE CHAIR SCOTT: Thank you. I did not actually.
19 I just want to say thank you to the staff for the excellent
20 analysis and presentations.

21 LEAD COMMISSIONER MCALLISTER: And, Commissioner
22 Monahan, did you want to wrap this up before lunch?

23 COMMISSIONER MONAHAN: Well, I was really impressed
24 actually with the breadth and depth of the modeling that
25 staff is undertaking, and just the creativity and the

1 willingness to try new things and to really explore, you
2 know, new techniques for modeling how to reach the clean
3 transportation future that we need for the health of our
4 children, the health of our planet, so just I want to give
5 thanks to the staff for doing that. And I think we still
6 have a lot of work to do, like a good analysis always leads
7 to more analysis. And I think this is a scenario where we
8 really have -- I wouldn't say a dearth of information, but
9 we definitely have some information gaps that we need to
10 work on, and I'm heartened by what the team is doing.

11 LEAD COMMISSIONER MCALLISTER: Very well.

12 Well, thanks very much.

13 In the afternoon we're going -- we shift gears a
14 little bit to talk about the overall electricity demand
15 forecasts update and some focus on self-generation and
16 distributed energy, so looking forward to that. And so we'll
17 be back at 2:00.

18 Heather, did you need to say anything before we
19 adjourn for mid-day?

20 MS. RAITT: No, that's it.

21 Just a reminder to folks that we also have a new
22 webinar I.D. number, so log back in at 2:00 and we'll look
23 forward to seeing you then.

24 LEAD COMMISSIONER MCALLISTER: Great. Thank you.
25 Thanks, Heather and team, for organizing and keeping us on

1 track, really appreciate it. So we'll see everybody at 2:00.

2 (The Workshop was recessed at 12:23 p.m. or lunch and
3 resumed with Session 2 at 2:00 p.m.):

4 SELF-GENERATION and OVERALL ELECTRICITY DEMAND FORECAST
5 UPDATE

6 MS. RAITT: Good afternoon, everybody. Welcome to
7 the 2020 IEPR Update Commissioner Workshop on Updates to the
8 California Energy Demand 2019 through 2030 Forecast. I'm
9 Heather Raitt, the Program Manager for the Integrated Energy
10 Policy Report, or IEPR, for short.

11 Today's Workshop is being held remotely,
12 consistent with Executive Orders N-25-20 and N-29-20, and
13 the recommendations from the California Department of Public
14 Health to encourage social distancing to slow the spread of
15 Covid-19.

16 To follow along with today's presentation, they
17 have been docketed and posted on our website, so you can
18 find them there. And all our IEPR Workshops are recorded in
19 both a recording, an audio recording and a written
20 transcript will be posted on the CEC website within a few
21 weeks.

22 We are -- if you were here this morning, we are
23 again going to use the Q and A function on Zoom, with the
24 ability to upload questions. So if you have a question for
25 the speakers, go ahead and click that Q and A icon, and you

1 can type in a question, and we'll reserve a few minutes at
2 the end of the speaker sessions to address any questions
3 that come in.

4 Now I will go over how to provide comments on the
5 Workshop today. So there is going to be an opportunity for
6 public comments at the end of the presentations. Please note
7 that we will not have time for presenters to answer
8 questions during that time. You can click the raised hand
9 icon to let us know that you'd like to make a comment, if
10 you're using the electronic device to join us. And if you're
11 joining us by phone, press star 9 to raise your hand, and
12 we'll open up your line during the public comment period.

13 Alternately, written comments are always welcome.
14 And for this Workshop, they are due at 5:00 p.m. on December
15 17th. And the meeting notice provides all the information
16 you need for any comments.

17 And, with that, I will turn it over to
18 Commissioner McAllister. Thank you.

19 LEAD COMMISSIONER MCALLISTER: Very well. Thank
20 you, Heather. Appreciate that.

21 Well, thanks to everyone. I see the numbers
22 ticking up as people log in, so thanks for coming in for
23 round two of our -- of our bill today. Really looking
24 forward to -- this morning was great, actually. Lots of
25 substance and really I think for those of you who were

1 there, we realized how far we have come really on the
2 transportation side of things in terms of the sophistication
3 of our analysis, commensurate with the incredible
4 developments in that part of our economy, so really
5 heartened by that and excited for what's to come. I'm
6 impressed by the analysis this year and excited of what's to
7 come next year and beyond. So thanks to the staff this
8 morning.

9 So this afternoon we're turning to a different set
10 of topics, the forecast, the Electricity Forecast, and some
11 of the proponents of that and so we're really excited about
12 this. Lots of meat here too. Certainly with the Covid
13 challenge and the manifestations of climate change that hit
14 us this summer and the excitement around the forward
15 planning we're doing and the assessment work we're doing for
16 the longer term around SB100, there are certainly a lot of
17 parallel themes that the forecast has to sort of embrace and
18 contend with and explore around. And so it's part of what
19 the forecast team has been doing for this year specifically
20 but also kind of trying to chart a path for next year and
21 beyond with the overall forecast as well.

22 So obviously the Covid challenge has really
23 impacted the way energy is used in all parts of the energy
24 sector and understanding that and trying to update our
25 forecast to account for that is tricky and requires a lot of

1 situational awareness and creativity. And so I'm really
2 indebted to staff for taking this on.

3 And, in particular, I wanted to thank the
4 forecasting team and just call out Nick -- we'll hear from
5 all of these folks today -- but Nick and Jerry, Sudhakar,
6 Matt, Heidi, and the Transportation team, really the whole
7 forecasting team for the morning and the afternoon. There is
8 a real deep niche here, a lot of great skills and a
9 complementary set of staff understandings and expertise that
10 really helps this machine function and move on in a well-
11 lubricated fashion. So really want to thank all the
12 leadership from Siva and Aleecia on down in the Assessments
13 Division.

14 So, with that, I'm just excited to see what's on
15 offer today and to have a look and hear what folks have to
16 say, so I'll pass it to any of my colleagues who happen to
17 be here. I haven't checked to see who from the Commission is
18 here, but if Vice Chair Scott or Commissioner Monahan,
19 Commissioner Douglas, or Chair Hochschild are on, I'm happy
20 to hear from them as well.

21 VICE CHAIR SCOTT: Hi. This is Vice Chair Scott.

22 LEAD COMMISSIONER MCALLISTER: Hey.

23 VICE CHAIR SCOTT: I am here. Thanks for the
24 invitation. I don't actually have any opening remarks to
25 make, but I am glad to be hear and look forward to hearing

1 the data and the presentations.

2 LEAD COMMISSIONER MCALLISTER: And a me too to
3 that, just here to listen and learn. Appreciate everybody
4 doing such a great job on the forecast and look forward to
5 hearing what your results are.

6 MS. RAITT: Great. Well, then this is Heather. I
7 will go ahead and introduce our first speaker. I'd like to
8 introduce Sudhakar Konala. Sudhakar is the Energy
9 Assessments Division Subject Matter Expert on Self-
10 Generation and Sudhakar models the adoption and operation of
11 behind-the-meter resources, most notably photovoltaics and
12 battery-storage systems.

13 So, Sudhakar, go ahead and -- go ahead and take
14 it. Thanks.

15 MR. KONALA: Hi, everyone. So good afternoon,
16 Commissioners, valued stakeholders, members of the public.
17 My name is Sudhakar Konala. Today I will present the Behind-
18 The-Meter PV and Energy Storage Forecast results that were
19 developed in the 2020 California Energy Demand Forecast
20 Update.

21 So to start off, I would like to just briefly
22 provide an overview of today's presentation.

23 Today's presentation will cover four main topics.
24 First, I will briefly review the historical behind-the-meter
25 PV installation data that was updated for this forecast.

1 Second, I will go over the other inputs that were updated in
2 the forecast. Then I will present the results of the PV
3 forecast. And, finally, I will present the results of the
4 behind-the-meter Storage Forecast, while highlighting any
5 methodological changes made in the Storage Forecast.

6 But before I get the actual forecast I would like
7 to also briefly recap some of the changes that were
8 introduced in this year's PV Forecast. For this forecast,
9 staff began to use interconnection data that utilities
10 started providing to the Energy Commission. This resulted in
11 revisions to the historical PV installation data.

12 While the effect on aggregate installed capacity
13 for the IOUs was small, for some of the POUs there was
14 significant revisions in the known amount of installed PV
15 capacity. And this gets into our historical data, so
16 revisions to historical data.

17 Second, to impart some new data, staff also
18 includes the classification of PV systems to better align
19 with the Energy Commission's sector and subsector
20 classification system.

21 Third, staff also updated the capacity factors
22 used in calculating the generation from PV. Although the
23 data source for capacity factors remains the same, staff
24 used system tilt orientation data to create an orientation-
25 weighted capacity factor for each region.

1 In the previous forecasts, the capacity factor for
2 a single tilt and orientation was used to calculate energy
3 for PV systems. All of these changes were described in
4 detail in the August 28th IEPR Workshop. And I have provided
5 a link to that presentation for anyone that's interested in
6 more information. Next slide, please.

7 So this chart shows the updated and historical PV
8 data. The gray bars indicate the amount of installed
9 capacity at the beginning of a year, while the green bars
10 show a newly added capacity that came online in a given
11 year. In summary, the chart shows that statewide PV capacity
12 at the end of 2019 was over 9,400 megawatts, up from less
13 than 1,000 megawatts at the start of the decade. Next slide,
14 please.

15 This slide shows the same data but in a slightly
16 different fashion. It shows in more detail the annual
17 additions to PV capacity since 2005, broken down by sector.
18 The chart shows that there has been significant growth in PV
19 from 2005 through 2016. However, it also shows that since
20 2016, annual installations have held steady at about between
21 1300 and 1400 megawatts. This is an indication that the PV
22 marketplace in California may be maturing. Next slide,
23 please.

24 Moving on, I also want to look at what's happening
25 with PV installations in 2020. There are several new factors

1 to consider regarding solar options in 2020. First of all,
2 this is the first year where the federal investment tax
3 credit has decreased, going from 30 percent in 2019 to 26
4 percent this year.

5 Second, this is also the first year where Title 24
6 PV requirements are in effect for new residential
7 construction in California. So we would expect this to lead
8 to a higher adoption in the residential market. But of
9 course there is also a pandemic going on and the economic
10 downturn, so there is a lot going on this year.

11 Now I've pulled the data for the first half of
12 2020. And in this chart I have compared it to installation
13 data from the first half of 2019 as well as 2017 and 2018.
14 And the main point from this chart is that compared to 2019,
15 there really isn't that much change in adoption in PV in
16 2020. So I've broken this down by IOU and by sector; they're
17 residential or nonresidential. And for each -- for each
18 cluster you can see that it's relatively the same since
19 2019.

20 So overall what this shows is that while
21 installations remain the same, there also just isn't enough
22 data so far to discern how all of the different factors I
23 described above are affecting the adoption so far this year.
24 So we don't really see an effect from the Pandemic, but we
25 don't know if it's because there is an effect and it's being

1 overshadowed by increased adoptions into Title 24 PV
2 requirements, we just don't know yet. Next slide, please.

3 So moving on to the forecast, I want to briefly
4 want to cover some of the updates made to the inputs, and
5 then share the statewide results. Next slide, please.

6 So I just wanted to add this slide to be complete
7 in my presentation, but I won't have time today to describe
8 the workings of the models in depth. So this is just a chart
9 that just summarizes how the models work, a very high level
10 chart.

11 The main thing I wanted to point out are all the
12 different inputs that go into the Energy Commission's PV
13 models. So that includes updated historical statewide
14 installed capacity, which I had just gone through. They also
15 include updates to economic and demographic data, which I
16 will discuss. It also includes updates to the Fuel Price
17 Forecast and usually also updates to the system cost and
18 performance and other system data.

19 So in terms of system performance, the revised
20 capacity factors are an example of that. And then we just
21 take these data, we feed it into the models, and the models
22 provide an estimate or a forecast of installed behind-the-
23 meter capacity, which we then use to do a forecast of energy
24 generation from behind-the-grid PV. Next slide, please.

25 So in terms of the updates, we want to go over

1 some of the updates that we made for the inputs for this
2 forecast. Of course for every forecast, staff update several
3 important inputs. These include: Economic and demographic
4 data, such as the forecast of household growth; commercial
5 floor space; electricity rates; and also installed cost of
6 solar; and also inflation.

7 Looking at the inputs to this year's forecast, at
8 the statewide level we had slower growth in new single-
9 family homes. We also had slightly lower growth in
10 commercial, in the commercial floorspace forecast.

11 The forecast change in electricity rates, compared
12 to last year's forecast, were actually pretty similar. So
13 there wasn't that much change from last year.

14 Finally, staff also included new commercial sector
15 TOU tariffs for PG&E and also updated commercial sector
16 tariffs for SMUD. So for PG&E, starting in 2021, I believe,
17 PG&E is going to introduce new tariffs that go with the B
18 nomenclature, B-1, B-6, B-10, B-19, B-20. And then SMUD is
19 also restructuring some of its commercial TOU tariffs in
20 2021. That is an ongoing process that goes on for several
21 years, but for the -- for 2021, the changes that are in
22 effect in 2021 we can incorporate to the forecast. The
23 changes that go beyond 2021 will be incorporated into next
24 year's forecast. Next slide, please.

25 So before I get into the forecast results I also

1 want to discuss how scenarios are defined in the California
2 Energy Demand Forecast and specifically how that pertains to
3 the PV forecast, because it can be a bit confusing. The
4 three scenarios are described to create a high, mid, and low
5 level of electricity demand. By definition, in the high-
6 electricity demand case, we want to model a higher level of
7 electricity demand, which means we have to model a low level
8 of PV adoption.

9 Conversely, in the low-electricity demand case, we
10 want to model a low level of electricity demand, which
11 requires to have to model a high level of PV adoption.
12 Everyone should keep in mind in the upcoming slides that
13 this is the nomenclature that we use, because otherwise the
14 labeling gets counter intuitive and it can easily get
15 confusing. Next slide, please.

16 Now turning to the actual forecast, this slide
17 shows the historical as well as forecast of electricity
18 generation for behind-the-meter PV in the state of
19 California. In 2019, behind-the-meter PV generated an
20 estimated 15,800 gigawatt hours of electricity. By 2030,
21 generation is projected to grow to nearly 35,000 gigawatt
22 hours in the high-demand case, over 41,000 gigawatt hours in
23 the mid-demand case, and over 47,000 gigawatt hours in the
24 low-demand case.

25 Compared to the mid case of the 2019 forecast,

1 generation in the near term is slightly lower due to the
2 lower PV capacity factors that I described earlier as well
3 as lower adoption of PV in the residential and industrial
4 and agricultural sectors in the early part of the forecast.
5 However, generation by 2030 is expected to be roughly the
6 same as the previous forecast due to higher adoption of PV
7 in all sectors in the second half of the decade. Next slide,
8 please.

9 This slide shows the total energy from all self-
10 generation within the state broken down by PV and nonPV
11 technologies. In 2019, an estimated 30,000 gigawatt hours of
12 electricity was produced in the state. Roughly 14,000
13 gigawatt hours of that total came from technologies other
14 than PV, most of which was large-scale industrial
15 cogeneration. Over the forecast period, this nonPV
16 generation is expected to remain relatively steady, while PV
17 grows at a significant pace, as I described earlier.

18 So this concludes the Overall Statewide Forecast
19 for PV Generation. Now I'm going to move on to the
20 individual forecasts for each utility and planning area.
21 Next slide, please. Next slide.

22 This slide shows the forecast of electricity
23 generation for behind-the-meter PV for PG&E and the POUs
24 within the PG&E planning area. In 2019, behind-the-meter PV
25 generated roughly 7,300 gigawatt hours of electricity. By

1 2030, PV generation is forecast to grow nearly 1900 gigawatt
2 hours -- I'm sorry -- 19,000 gigawatt hours in the mid-
3 demand case and to over 21,000 gigawatt hours in the low-
4 demand case and 16,000 gigawatt hours in the high case.

5 Forecast PV generation is slightly lower in the
6 near term compared to the previous forecast, but similar to
7 the previous forecast after 2025. The chart also shows a
8 slight reduction in estimated generation over the historical
9 period compared to previous forecasts. This is evidenced by
10 the dark gray line which represents the revised historical
11 generation that I described earlier. Being lower than the
12 dotted lines in both the 2017 and 2018 forecasts, which
13 represents estimated historical generation in the previous
14 forecast. Next slide, please.

15 Moving on to Edison, this slide shows the forecast
16 of electricity generation from PV for Southern California
17 Edison and the POUs within the SCE planning area. In 2019,
18 behind-the-meter PV generated roughly 5,100 gigawatt hours
19 of electricity. By 2030, PV generation is forecast to grow
20 to about 14,000 gigawatt hours in the mid-demand case, over
21 16,500 gigawatt hours in the low-demand case, and 11,700
22 gigawatt hours in the high-demand case. Forecasted PV
23 generation is slightly lower than the near term again
24 compared to the previous forecast and slightly higher over
25 the long term, primarily due to the higher forecast of PV

1 capacity in the commercial and industrial sectors after
2 2025. Next slide, please.

3 Now this slide shows the forecast of electricity
4 generation from behind-the-meter PV for San Diego Gas &
5 Electric. In 2019, behind-the-meter PV generated an
6 estimated 2,080 gigawatt hours of electricity. By 2030, PV
7 generation is forecast to grow to roughly 4,500 gigawatt
8 hours in the mid-demand case, or 5,000 gigawatt hours in the
9 low-demand case, and about 4,000 gigawatt hours in the high-
10 demand case.

11 The forecast in the mid case is slightly higher
12 than the forecast from last year. San Diego Gas & Electric
13 consumers continue to adopt PV at a very high rate compared
14 to other regions of California. We have seen this in the
15 historical -- throughout the historical record and it was
16 true again in 2019. However, PV adoption in SDG&E's
17 territory is forecast to slow down in the second half of the
18 decade, as the residential rooftop markets -- as the
19 residential rooftop solar market reaches saturation more
20 quickly than other areas. Next slide, please.

21 Now turning to the PV forecast for LADWP, in 2019
22 estimated PV generation was about 516 gigawatt hours. This
23 is noticeably lower than previous forecasts, as indicated by
24 the dotted lines, due to a significant revision to
25 historical PV installation data.

1 The interconnection data provided by LADWP showed
2 lower PV adoption than the data the Energy Commission had
3 previously collected through incentive programs. By 2030, PV
4 generation is forecast to grow to about 1200 gigawatt hours
5 in the mid-demand case, over 1300 gigawatt hours in the low-
6 demand case, and 1,000 gigawatt hours in the high-demand
7 case.

8 The revision to historical data also helps to
9 explain the lower forecast for PV generation for LADWP
10 compared to previous forecasts. A lower forecast of
11 household growth also has a larger effect on LADWP's
12 forecast, especially since LADWP derives a greater share of
13 solar adoption from the residential sector than other
14 utilities. Finally, staff continues to use data from
15 incentive programs rather than interconnection data for
16 LADWP for some historical years. Not all but for some
17 historical years. This was due to some missing information
18 in the interconnection data provided to the Energy
19 Commission. Over time, as LADWP's interconnection data
20 becomes more complete, further revisions to historical data
21 are possible. Next slide, please.

22 Finally, we turn to SMUD. Like LADWP, the chart
23 shows a downward revision in the estimated historical PV
24 generation for SMUD, indicated by the dotted lines being
25 higher than the gray lines for 2017 and 2018. This is

1 largely due to lower adoption of PV being reported in
2 interconnection data compared to the incentive program data
3 that the staff had previously used.

4 In the new forecast, estimated behind-the-meter PV
5 generation in 2019 was 312 gigawatt hours. Generation is
6 expected to reach roughly 1200 gigawatt hours in 2020 in the
7 mid case. The forecast of PV generation in the mid case
8 continues to stay lower through 2030 compared to last year's
9 forecast in the mid case. A large part of this is due to the
10 revision of the historical data, and we're just catching up
11 over time but not quite reaching the level that we had
12 forecasted last time.

13 Furthermore, these results do not consider the
14 effects of SMUD's Community Solar Program, which was
15 approved by the Energy Commission in February. We've had
16 discussions with SMUD, and they have shared some of their
17 assumptions about participation in the Community Solar
18 Program, but they have also said that they just won't have -
19 - or they won't be able to share any data about that
20 participation until some time in 2022. And so since we don't
21 have actual data, it is difficult to predict the rate at
22 which homebuilders may opt into the program.

23 Since data for participation in the Community
24 Solar Program is not anticipated before 2022, we felt it was
25 prudent to not include any effects of the Community Solar

1 Program until the time that we do have some data that we can
2 base assumptions upon. So it is important to consider the
3 Community Solar Program once we have data, but we're going
4 to wait until we actually have some data.

5 It's also important to consider that once
6 participation in the program is taken into account, solar
7 adoption in SMUD's territory could be lower in the program
8 than what we are forecasting, so please keep that in mind as
9 well.

10 So that wraps up the solar portion of the
11 forecast. Now I'm going to move on to the Energy Storage
12 Forecast. Next slide, please.

13 In terms of forecasting behind-the-meter energy
14 storage adoption, staff did not make any changes to the
15 methodology from the final 2019 Forecast. We incorporated
16 the latest data from the Rule 21 datasets as well as the
17 SGIP storage installation datasets. The Rule 21 dataset was
18 used for forecasting the residential adoption, while the
19 SGIP data was used to forecast nonresidential storage
20 adoption.

21 Looking at the data, actual storage adoption in
22 2019 was much higher than we had forecast. For example, last
23 year's forecast projected between 70 and 85 megawatt hours
24 of behind-the-meter storage to be installed in 2019, when
25 the actual amount was closer to about 130 megawatts.

1 Similarly, looking at SGIP program data, the data shows a
2 significant increase in the number of current applications
3 for funding for storage projects. As of November 2nd of this
4 year, there were about 470 megawatts of outstanding
5 reservations for funding. Compare that to about 70 megawatts
6 of reservations for funding at the same time last year. Next
7 slide, please.

8 So with both higher installations in 2019 and more
9 applications for future funding, the signs point to more
10 storage adoption than what the -- than what the 2019
11 Forecast projects. So in the 2020 Forecast, we see a
12 significant revision upward in the forecast. In the mid
13 electricity demand case, the forecast nearly doubles the
14 amount of storage in the state by 2030, compared to last
15 year's forecast. And, as this chart shows, by 2030 we're
16 forecasting storage in the mid case to be about 2,600
17 megawatt hours, compared to about 340 megawatt hours -- of
18 megawatts that we have today. Next slide, please.

19 Staff often also gets requests about sharing data
20 about storage capacity, especially since we don't publish
21 this online. So I've taken this Workshop as an opportunity
22 to do that, so I wanted to include a table that just shows
23 the forecast of energy storage capacity for PG&E, Southern
24 California Edison, and San Diego Gas & Electric by demand
25 case. I want to emphasize that although the forecast is

1 significantly higher this year than last year, the
2 methodology for forecasting storage adoption remains the
3 same as last year.

4 Finally, the table also shows that the forecast of
5 storage adoption by POU customers is low compared to the
6 IOUs. This reflects two facts. First, observed historical
7 data for POUs does show lower adoption than IOUs. But also
8 the storage data for POUs is also incomplete, so in the
9 future if we get more complete data this observation could
10 change. Next slide, please.

11 In terms of how storage systems are used, staff
12 has updated some of the charge and discharge profiles that
13 were used in the 2019 forecast. For nonresidential storage
14 systems, new charge/discharge profiles published in the 2018
15 SGIP Storage Impact Evaluation Report, which was released
16 earlier this year, were used. For residential storage,
17 storage systems seeking SGIP funding are subject to new SGIP
18 requirements. Specifically, SGIP now states that all new
19 residential IOU and nonIOU customers are required to enroll
20 in a time-varying rate with a peak period starting at 4 pm
21 or later with a summer peak to off-peak price differential
22 of 1.69 or more, if such a rate is available. Next slide,
23 please.

24 This means that part of how staff modeled the
25 deployment of residential storage is now out of date, as new

1 residential storage customers seeking SGIP funding no longer
2 qualify for some of the TOU tariffs that were used in the
3 2019 forecast. The table in this slide shows the tariffs
4 that were used to model residential storage in 2019 as well
5 as the tariffs that are available to new -- sorry -- to new
6 residential applicants who want SGIP funding.

7 For SMUD customers, there is only one TOU tariff,
8 so there is no change. For San Diego Gas & Electric
9 customers that want to adopt storage, they have to switch to
10 one of four tariffs. However, staff believes that most
11 customers will choose Option 1 in this table, which is very
12 similar to the tariff that was modeled last year. Thus we
13 believe we can keep the charge/discharge profiles for San
14 Diego Gas & Electric the same as last year.

15 But for PG&E and Southern California Edison, the
16 story is different. For PG&E and Southern California Edison,
17 the available options are quite different from those that
18 were modeled last year, and this requires staff to model new
19 charge and discharge profiles this year for these two
20 utilities. Next slide, please.

21 So this slide shows how we anticipate charging and
22 discharging to change due to the new SGIP requirements. On
23 the left side, you can see when residential storage systems
24 were allowed to discharge for PG&E, on the top, and Southern
25 California Edison, on the bottom, in the 2019 Forecast. On

1 the right side, you can see when we expect residential
2 storage systems to be discharged under the new tariffs. The
3 discharging is displayed by the green -- the boxes that are
4 shaded green, so I just want to point that out.

5 So the figures also specify the tariffs that we
6 anticipate most customers to choose under the new rules, so
7 you can see there on the right side by the dots in the red
8 color. Overall we expect the total hours where it makes
9 sense to charge to increase for PG&E customers, but to
10 decrease for Southern California customers. And this is just
11 modeling discharging based on the optimal pricing that is
12 specified in each of these relevant tariffs, compared to the
13 tariffs that were available to storage customers in 2019.

14 So this wraps up the Storage Forecast and my
15 prepared presentation. So if anyone has questions, I can
16 take those.

17 LEAD COMMISSIONER MCALLISTER: Commissioner Scott,
18 did you want to have -- did you have a question in or not?

19 VICE CHAIR SCOTT: I do not. Actually I don't have
20 any questions.

21 LEAD COMMISSIONER MCALLISTER: Okay, good. Okay,
22 great. Yeah, terrific.

23 So thanks, Sudhakar, I was wanting to get an
24 update about the refresh, the historical piece, so that was
25 good. I don't have any specific questions. I feel like I've

1 been pretty up to date to this, but I really appreciate your
2 -- all the work on both the self-gen piece and the battery
3 piece, so thanks a lot on that.

4 MR. KONALA: Thank you.

5 MS. RAITT: All right. Well, I guess actually if
6 we could turn to -- if there are no more questions from
7 Commissioners -- Matt Coldwell, the Manager -- oh,
8 Commissioner, do you have another -- okay. We have Matt
9 Coldwell, the Manager from the Demand Analysis Office, is
10 here to help us with moderating questions from Zoom.

11 And I think there were a couple of questions on
12 Zoom, if you wanted to get those.

13 MR. COLDWELL: Yeah. Thanks, Heather.

14 Sudhakar, there's a few questions here for you. So
15 just -- I'm actually going to read the shorter ones first
16 here: Is electricity demand part of the input for PV
17 Generation Forecast?

18 MR. KONALA: No. The PV Generation Forecast does
19 not factor in electricity demand. So it does -- okay. For
20 individual systems, we do model obviously demand to the size
21 of the PV system, I guess if that helps. But beyond that,
22 it's not part of the Generation Forecast.

23 MR. COLDWELL: Great. Okay, so the next question
24 is -- I think I know the answer to this, but before I answer
25 it I want to make sure I was right and get you to answer it

1 -- is: Does the CEC forecast behind-the-meter PV capacity as
2 well as energy?

3 MR. KONALA: Yeah, we do. And I -- I do have a
4 forecast of that, I just did not share it this year because
5 I did not have the time. But, yeah, we have all of that
6 information, so just -- people can shoot me an email if they
7 would like the forecast for behind-the-meter capacity. I
8 have all of the data.

9 MR. KONALA: Great. Thanks. And one more, one
10 more question, and I'm sorry, I should have mentioned who
11 the questions were from, the last one was from Tim Drew. And
12 this question is also from Tim Drew. This one is a little
13 longer. Can the CEC's behind-the-meter PV forecast models be
14 modified to generate different scenarios based on
15 assumptions or revisions to the tariff. So -- and he gives
16 these -- sort of the bookend examples of NEM, NEM not
17 changing versus sort of the elimination of compensation for
18 exports.

19 MR. KONALA: Yeah. So they can -- they can be
20 modified to generate forecasts based on scenarios for
21 different assumptions for NEM. And actually the forecast
22 already does do that, so -- and this is had been the case
23 for at least the last four years. So in the low-demand case,
24 where we're projecting very high levels of PV adoption, we
25 assume that we have full retail compensation for exports,

1 exported generation from PV.

2 In the high-demand case, which -- which assumes
3 low PV adoption, we modeled a hypothetical successor to NEM
4 2.0 which assumes that excess generation on a monthly basis
5 is compensated at about 10 cents per kilowatt hour and there
6 is also a grid charge as well, but I can't quite recall what
7 that charge is. But this has been constant for the past four
8 years.

9 There have been some discussions about NEM 3.0
10 coming out next year, and I'm following, you know, very
11 closely to see what that might be like. And if that does
12 come to pass, we'll try to include those results in the next
13 year's forecast by updating some of these NEM assumptions.

14 MR. COLDWELL: Great. Thanks, Sudhakar.

15 That's all the questions that we have in the Q and
16 A box. So, Heather, I don't know if I'm turning it back to
17 you or the next.

18 MS. RAITT: Sure.

19 MR. COLDWELL: Okay.

20 MS. RAITT: Thank you, Matt.

21 And thank you, Sudhakar. Really appreciate your
22 presentation.

23 We can go ahead and move on to the next set of
24 presentations of -- and I will go ahead and introduce Cary
25 Garcia. He'll start the discussion on Electricity

1 Consumption and the Peak Demand Forecast Updates. So Cary is
2 the Lead Analyst responsible for coordinating many of the
3 elements of the Demand Forecast at the Energy Commission.

4 So go ahead, Cary.

5 MR. GARCIA: Thank you.

6 Yeah. So today, as Heather, mentioned I'm the Lead
7 Analysis here at the Demand Analysis Office, so I will be
8 presenting on the Consumption and Sales Forecast Results.
9 I'm going to just dive into a general overview of the
10 process, the inputs for the analysis, a statewide summary,
11 and get into some of the planning area summaries.

12 And I also -- I know we did some thank-yous
13 usually at the end of our presentations, but I want to do
14 this one at the beginning, actually. And there's two people
15 that we generally -- are kind of behind scenes and we don't
16 see a whole lot of their presentations. And those two people
17 are Julianne Alontave and Nancy Tran.

18 So Nancy Tran, I'll start with her, particularly
19 in this situation with the data that we're getting for the
20 economic inputs, she's been super helpful. I think I've been
21 bugging her almost around the clock for various bits and
22 pieces of data, what the latest is happening as far as the
23 economy.

24 And then Julianne Alontave works on our QFR data,
25 which is our energy reporting. So she -- that's sort of our

1 backbone of our forecasts. It's crucial that we have good,
2 accurate data to generate these forecasts. And similar to
3 Nancy, I bug Julianne it seems like around the clock.
4 Hopefully she doesn't hate me too much for that, but she has
5 been super helpful and awesome and were too big parts of our
6 forecasting team, although now they're sort of in a separate
7 office, our Data Integration Office, but, again, super
8 helpful. So I just wanted to get those thank-yous out there.

9 But we can move on to the next slide. Getting into
10 the update process. So our Forecast Update process was
11 basically developed to account for economic changes between
12 our full -- air quotes -- full forecast cycle, where we use
13 our end-use models. And so in this update we are generally
14 using econ metric models that we run alongside our end-use
15 models, and then typically provided similar results.

16 So to get a more streamlined process in between
17 these more and intensive IEPR cycles, the full IEPR cycles,
18 we run these models and, essentially, prepare results using
19 the older, vintage of data that we used in CED 2019, and
20 then the new set of data that we have now. And the
21 difference between those models essentially gives us an
22 adjustment factor that we can apply to our previous end-use
23 model results. So that's what the basis of our update is.

24 Demand modifiers, such as EV and self-generation,
25 we talked about those earlier today. Obviously, those are

1 being reestimated. And then we leave committed savings in
2 AAEE as well as climate change, the same as it was in 2019
3 except to rescale to adjust to our new starting point. So in
4 this case we added an additional year of historical data,
5 2019. Whereas our CED 2019 forecast would have started from
6 2018, the actual history.

7 And then a note. We kind of talked about it a
8 little bit today, about Covid-19. This is at the top of our
9 minds, given everything that's happening this year. Just a
10 note on that, you know, the update process, as I mentioned,
11 really is focused on these economic changes. It's not really
12 suited for a study of structural impacts and what those may
13 be in the long term, so that's one of the shortcomings of
14 this particular analysis. You know our commercial and
15 residential end-use models will definitely be more suited to
16 capture and potentially make some adjustments based on
17 information that we can gather about what's some potential
18 structural changes may be and how model going forward. For
19 right now, really the model, the economic process that we're
20 using right now is really focused on the typical changes to
21 the economy that we have seen in the past. So I'll talk
22 about that a little bit more, but the basics are changes to
23 employment, we know are pretty dramatic, and changes to our
24 normal inputs such as housing projections and population.
25 Next slide.

1 This is just an overview. Sudhakar touched on this
2 as well and we all kind of touch on these in our
3 presentations. This is essentially our demand scenario
4 assumptions broken out here for the different scenarios that
5 we have. Largely, the same. I mean they're basically the
6 same as we used last year. The goal here really is to
7 capture the certainty of potential outcomes. Our mid case,
8 for example, is tied to a base economic case for Moody's
9 Analytics, what they would characterize as a 50-50 outcome,
10 a 50-percent probability being above and a 50-percent
11 probability being below that base case.

12 The high case here is tied to a higher economic
13 output, demographic growth. The economic case is derived
14 from Moody's custom scenario that they developed for us.
15 And, generally, it's just more optimistic in the potential
16 long-term outcome. You will see there is higher EV adoption
17 in that demand -- high-energy demand case to higher climate
18 change impacts, but what Sudhakar touched on and to generate
19 an appropriate higher balance, we actually assumed lower
20 electricity rates, which in turn lead to lower self-
21 generation adoption, and so that creates sort of an all-
22 encompassing high scenario of what the possibilities could
23 be, given that situation.

24 And then the low-energy demand case is the
25 antithesis, essentially, of the high case. That's looking

1 out at an economic scenario where we have low, long-term
2 slow -- slow growth, essentially, a lower EV-adoption
3 scenario. No climate change impacts, but yet we have higher
4 electricity rates, which will drive down demand, as well as
5 high self-adoption, high self-generation adoption as well.

6 And then kind of going back to our mid-energy
7 demand case, as I said, it's sort of a base case assumption
8 for the economy, but we also incorporate our mid self-
9 generation EV adoption scenarios. And then we also include
10 the expected climate change impacts in that scenario as
11 well. Next slide.

12 So this question came up in some of our
13 discussions with stakeholders. Essentially, you know,
14 question in terms of: Well, we're using the June forecast of
15 data, but given all the uncertainty out there and
16 projections changing, you know, constantly about what the
17 future may be, folks who wanted to know do those October --
18 you know, the newer vintages of data look any better, or
19 perhaps even can we use that in our forecasts. The short
20 answer is just given -- I mean we've seen here today the
21 tremendous amount of work that goes into putting this
22 together, we're getting the ball moving pretty early in the
23 year, so by the time we get all these results, it makes it a
24 little difficult to drop in a new set of results instead of
25 forecast out.

1 But I did do a comparison of the June vintage that
2 we're currently using in our demand cases versus the October
3 and November data that Moody's generated. So on a statewide
4 basis the key differences here are that the commercial
5 employment -- essentially the employment figures are a
6 little more severe than the data we had in June in terms of
7 the impact that we see. You know there's continuing to be
8 more unemployment claims coming through, so we know that it
9 seems relatively reasonable that you would expect
10 unemployment to be worse than what it was in June.

11 On the flipside of that, personal income and GSP
12 do look a little bit better, and that's mainly being driven
13 by assumptions around the stimulus coming in the first
14 quarter of 2021. Obviously, as I note there, extraordinary
15 uncertainty seems to be the phrase. I think even our Federal
16 Chairman Powell also used that phrase. And it's really, as
17 we know now, there's a lot of uncertainty about whether that
18 stimulus will come through in the first quarter of 2021. we
19 know that some unemployment benefits are going to expire at
20 the end of the year, so things look pretty shaky, for lack
21 of a better word around that.

22 And also another bit of information, you know,
23 these outlooks, the June outlook, for example, had Covid-19
24 infections peaking in April. And we know not long after that
25 June forecast, they actually peaked in July. And in looking

1 at it now, we know we're right in the middle of potentially
2 another peak and things could get far worse as far as
3 infections go. But the October and November outlooks, you
4 know, didn't expect a second wave of the virus. And they
5 also anticipate a vaccine some time in the spring of 2021.
6 Obviously we know that just looking at the news or there
7 could be a tremendous amount of uncertainty around whether
8 that ends up being the case. So I just wanted to touch on
9 some of these differences between our vintages here. Next
10 slide.

11 It's just kind of a general overview of our
12 inputs. Obviously, like I said, I don't know if you know,
13 our June data for the economy included, you know,
14 essentially big shocks to employment and a severe drop in
15 employment, income taking somewhat of a hit, and then
16 general economic output, either manufacturing or GSP as a
17 whole were all reduced based on Covid-19 and the subsequent
18 economic shutdowns that occurred.

19 Generally there is a decline from 2019 through
20 2020, the obvious impacts occurring there, with the recovery
21 beginning mid 2021 or so, and that recovery period continues
22 through 2024, so we'd see employment that takes, you know,
23 several years to get back up to the previous levels of
24 employment that we saw in 2019 but generally stays below the
25 previous projections of employment growth.

1 As far as demographics, we're using Department of
2 Finance information for that. I touched on this last year as
3 well -- or, I'm sorry -- on our last workshop, but generally
4 population estimates have gone down, the number of factors
5 affecting that: Low birth rates; it seems kind of morbid,
6 but there is a slight increase in the death rate as well,
7 we're not living as longer right now or expected to, and
8 that will affect the household population -- or household
9 growth as well, since those, population and household,
10 information are linked statistics. So overall we see that --
11 actually I'll just go to the next slide. I actually talk
12 about those right there, so go to the next one.

13 Here I'll talk about households in a little bit.
14 So household growth has generally declined in comparison to
15 the last cycle, which is -- we're looking at the numbers
16 here on the statewide basis, but for all our utility
17 planning areas we see less household growth compared to the
18 last forecast cycle we have. So this will generally reduce
19 residential electricity consumption overall when compared to
20 the previous levels that we predicted.

21 Growth continues to be higher in inland areas
22 compared to coastal and urban regions, and this is generally
23 the case for the last few years, so that continues on in the
24 data that we have here today. One side note, you know,
25 although PV capacity -- or, sorry -- these inland areas do

1 have more households, but, using PG&E as an example, and
2 I'll touch on this a little bit later, you have more
3 households in the inland regions, but you also have more PV
4 capacity in those regions. So you initially expect that
5 other -- just because there's more households there would be
6 more residential sales, but it doesn't seem to be the case
7 and it won't be the case if you have more PV capacity. So
8 just a little tidbit there. You actually see flat or reduced
9 residential sales in these urban regions -- or inland
10 regions, particularly if they have large amounts of -- we're
11 predicting large amounts of PV capacity to be put in those
12 regions. But that's just a little -- maybe that is more
13 interesting to me. I thought that was a fun fact that I
14 stumbled across reading some of the data in the past few
15 days.

16 We can move on to the next slide, which is just a
17 little bit about personal income. A little graph here noting
18 the decline in 2020. And average growth overall at 2.3
19 percent, but one interesting bit -- actually that should be
20 a decline in 2020. My apologies for that. Because my --
21 what I was going to note is that in 2020 you actually don't
22 see much of a drop in personal income and that's mainly
23 because there is a stimulus assumed for 2020. We know we got
24 some part of that stimulus but there is going to be another
25 round in 2021, and so that would be one of the differences

1 if I were to plot -- grab the data and plot a different
2 graph here of the October-November-ish economic data, you
3 would actually see somewhat of a bump up in 2021 with the
4 new stimulus coming in. So things -- so just a reminder,
5 Personal Income includes everything including unemployment
6 benefits and things like that. So you would see that effect
7 in the data here, but given the vintage that we're using to
8 see a decline in 2021, things grow up similar to employment
9 -- that I'll show a little bit later -- through 2024. And
10 ultimately we end up at a level somewhat higher than our
11 previous forecast, but generally the growth rate is a little
12 slower.

13 Commercial employment will be on the next slide.
14 Go to the next one. Perfect. So here we see the big drop
15 obviously in employment in 2020 and then that climb through.
16 As I mentioned earlier, as you can see here, it will take us
17 several years to get back to those 2019 levels, but
18 generally all three demand scenarios that we have show
19 employment levels that are below what we are predicting
20 before. If you look closely at 2021, that dotted red line
21 there, our previous mid case, in those there actually is a
22 slight dip, so things were expected to slow down a little
23 bit. That dip is actually an increase in unemployment.

24 And looking at the history here, you can see there
25 was, you know, a lead up to 2008, the 2008 recession, then a

1 long climb and a fairly large increase in additional
2 employment going through up through 2018. But obviously this
3 Covid impact is slightly different than what we experienced
4 in that recession. I think it's more likened to a natural
5 disaster situation where you have this massive shock to your
6 economy, then somewhat of a quicker recovery compared to the
7 2008 recession. Next slide.

8 So that was just some of the background on bits of
9 data that we include in our forecasts, the key inputs. As I
10 said, households, employment, and income are some of the key
11 ones. But here I have sort of a summary of our statewide
12 results. The little graphic on the right is our forecasting
13 zones for California. About 20 or so forecasting zones.
14 PG&E is broken up into six and the other territories are
15 broken up into several forecasting zones as well covering
16 different regions.

17 But generally going back to the summary here, we
18 find that consumption is down about two percent in 2030
19 compared to previous forecasts and sales are similarly down.

20 So Sudhakar mentioned there are some changes to
21 the PV forecast, but largely you could say it's relatively
22 the same around 2030. So an overall reduction in consumption
23 with a relatively similar sales forecast gives us similar
24 reductions in both consumption and sales or -- and the PV
25 forecast, I should say. It's a similar reduction in

1 consumption and sales.

2 I have a little tidbit here about the contribution
3 of PVs, about 14,000 gigawatt hours by 2030. We know that's
4 also been reduced compared to 2019. It's about -- it's also
5 going to have an effect on our overall forecast.

6 And the last little bullet there is the total
7 contribution of self-generation, a large portion of that
8 being PV, as Sudhakar presented earlier today.

9 Trying to check my notes if there's anything else.

10 Yeah. So one other thing I think is interesting to
11 note here, we do find that overall Northern California does
12 grow a little faster than the Southern California regions.
13 And this seems to be related to slightly less of a reduction
14 in household projection. So when I say it grows faster, it
15 grows faster compared to our previous forecasts. And this is
16 mainly due to, I believe, a reduction in our household
17 projects. That seems to be the biggest difference there.
18 The adjustment downward in those projections was more
19 prominent for Southern California than it was for Northern
20 California.

21 And we're also seeing in our floor space
22 projections that Southern California also was slightly more
23 of a downward reduction than Northern California regions.
24 But, yeah, it's somewhat slight, but significant enough to
25 change some of the growth rates in comparison to last year.

1 In the end, though, it does seem the long-term
2 rates for the larger utilities seem to be about the same.
3 They actually match each other very closely, and I'll talk
4 about that a little bit later. But we could go to the next
5 slide where I compare the consumption forecast that we have
6 now.

7 So looking first at the history, you could see,
8 you know, pretty strong growth in electricity consumption
9 overall the state, from 2001 or so to sort of the peak of
10 the energy crisis there and up to about 2008, where we hit
11 that recession that I mentioned before. And so -- and then
12 it's sort of a slow slog, not really as much growth going
13 forward in consumption in comparison to that 2001 through
14 2008 period. A lot of that could be attributed to a lot of
15 household growth was occurring at that time as well. We
16 obviously had the housing crisis that occurred, sort of the
17 mortgage crisis. A lot of homes were being built. That's
18 going to be some part of that there.

19 And the things moving from 2008 sort of peak in
20 2017 or so, and we notice that you can see and we sort of
21 dip down -- down to the 2019. Some of that could be related
22 to -- to weather. 2017 was a relatively warm year, so that
23 definitely has an impact on electricity consumption. But it
24 didn't necessarily get any cooler after 2019, so we see some
25 declines leading into the last historical year of data

1 there.

2 But overall, looking at our projections here, you
3 could see the spread between our different demand scenarios.
4 Focusing on the mid scenario, that recovery period, we do
5 see growth of about two percent on average through 2024. And
6 then beyond that we sort of settle into a one-percent growth
7 rate which is somewhat similar to our previous growth rate
8 in our last forecast cycle, but -- over that period. But in
9 this case our average annual growth, slightly higher than
10 our previous forecast, and that's mainly attributed to that
11 recovery period that's occurring there from 2020 through
12 2024.

13 Then in the next slide I'll get into statewide
14 sales. So this is just a graphical representation of the
15 sales forecasts overall, focusing on the mid cases. So the
16 dark blue line at the top there is the consumption forecast
17 that I showed on the previous slide. And then the light blue
18 -- I think officially this is Dodger blue -- line is our
19 sales forecast, our mid-case sales forecast. So the
20 difference between the two is essentially the self-
21 generation forecast, as we talked about earlier. It's the
22 largest portion. Essentially, that -- you see a divergence
23 between the two lines growing over time and that's essential
24 the effect of the PV growth that we have in our forecast.

25 That dotted green line there is going to be our --

1 our mid -- our mid-mid case, so our mid demand, mid AAEE
2 sales case. And so that is incorporating both the effects of
3 PV as well as the additional achievable energy efficiency.

4 And, as I mentioned, these are the same AAEE
5 figures as we used before. The impacts don't occur until
6 2020, and then you could see obviously they start growing
7 over time as we incorporated the expected efficiency over
8 time. But, ultimately, you know, relatively flat growth, as
9 I said, the consumption has been slowed down, and then the
10 sales rate ultimately gets slowed, and then the AAEE further
11 slows the growth in expected sales in the future. Next
12 slide.

13 Now I'm going to get into some of the planning
14 area summaries. I'll cover PG&E today, Edison, and San
15 Diego, and then LADWP and SMUD.

16 So PG&E is broken up into five forecasting zones:
17 The Greater Bay Area, North Coast, North Valley, Central
18 Valley, and our Southern Valley. So consumption here in 2030
19 ends up being about the same and it's mostly because there
20 was less of a difference between our 2019 forecasts last
21 year and our new starting point. They're basically on top of
22 each other, almost exact. So we did a pretty good job
23 predicting consumption for PG&E. Ultimately, sales are down
24 because there is, you know, that PV having an effect later
25 in the forecast.

1 The Bay Area is essentially still the leader and
2 has been for a while as far as growth in energy sales. And,
3 as I mentioned, one of the reasons behind that is
4 residential energy sales. So in the Bay Area you're somewhat
5 condensed and urban. You don't have a lot of roof space
6 compared to Central and Southern Valley area where you have
7 higher amounts of residential PV capacity and still, you
8 know, fairly good growth in the households, but that PV
9 capacity really brings down the sales. So ultimately you
10 still see a higher sales growth in the Bay Area.

11 I have a couple notes here. Contributions of
12 electric vehicles here, about 58, almost 59,000 gigawatt
13 hours by 2030. PG&E by far has -- maybe not by far, but it
14 does in fact have the most EVs out of all planning areas. It
15 also has the most self-generation here. You can see 25,000
16 annual gigawatts by 2030. And the vast majority of that
17 being PV. Next slide.

18 And this is a similar graph as I showed before,
19 but -- on a statewide basis -- but for PG&E specifically, so
20 this is just getting into the consumption forecast once
21 again and what our trajectory looks like for our mid
22 baseline sales forecast and the mid-mid sales forecast. You
23 see the contribution of AAEE there in 2030, also flattening
24 back to mid-mid or managed sales forecast quite a bit, but
25 somewhat similar growth rates in the long term to the

1 statewide rates. Move to the next slide, where I'm going to
2 talk about Edison.

3 So Edison's consumption was down a little bit
4 more, but this is mostly due to the fact that our starting
5 point for 2019 is actually a little lower than what we
6 predicted there. So ultimately we end up with long-term
7 growth rates that are actually somewhat the same for both
8 PG&E and Edison. Less EVs and PV compared to PG&E territory.
9 As you can see here, and as I mentioned earlier, floor space
10 reduction was a little larger compared to our last forecast,
11 so we see a slightly slower commercial sector growth
12 compared to PG&E, particularly on the recovery period. There
13 is less of that growth in that sector. But, similar to PG&E,
14 we do see more household growth in the inland areas but less
15 PV by comparison, in comparison to PG&E.

16 In the next slide also I have a quick little
17 graphic here. And you will notice the long-term growth rates
18 for 2020 to 2030 are about the same, with slightly more AAEE
19 in this case for -- for comparison.

20 The next slide is going to get into San Diego's
21 territory, so similarly there was a reduction, but total
22 consumption in 2019 was about three percent lower than our
23 forecast, so factoring that into -- into the analysis. You
24 know you get growth rates that are slightly different than
25 the other two planning areas that I mentioned, but

1 relatively the same.

2 The one difference here, though, is you see a
3 slightly higher sales -- or slightly lower sales forecast in
4 2030, and that's mainly because you have -- as Sudhakar
5 mentioned -- you have a lot of PV in San Diego's territory;
6 relative to the size it's quite a bit. Proportionally it's
7 comparable to the portion of the consumption, but similar to
8 like PG&E, for example, so there is quite a bit of capacity
9 there. And so that's going to lower your -- our sales
10 forecast a little bit in comparison to the other
11 territories.

12 On the next slide you could see that
13 characterization, the growing gap between consumption and
14 sales, and then a small amount of AAEE as well here. And we
15 end up with like no -- basically no growth in the mid-mid
16 case of 2020 to 2030. Things are pretty flat there. And the
17 base case for sales is also relatively flat, only about half
18 a percent over those 10 years or so.

19 The next slide is going to touch on LADWP. Similar
20 to PG&E, where we were basically pretty close to the
21 consumption forecast, so there's not much of a difference
22 there, consumption in 2030 is going to be up about half a
23 percent, not largely different. But, as Sudhakar mentioned,
24 PV is relatively small for LADWP. As you can see there, it's
25 only about 50 percent of the self-generation of 2030. So

1 compared to the other planning areas, there's not a lot of
2 growth in PV there, which makes sense. You have -- LADWP is
3 more of an urban area. As I mentioned in talking about the
4 residential sector, for example, in PG&E's territory is
5 urban.

6 Areas that may have tall buildings that are not
7 your typical single-family household on the in the valley,
8 for example, so you really don't have as much in this case
9 potentially to put PV on there, so we see that fact if you
10 go to that slide. Unlike the other planning areas, you could
11 see that differential between the consumption and sales
12 actually doesn't change very much at all. It kind of follows
13 each other pretty closely. But we do in this case have quite
14 a bit of AAEE for LADWP, and so that brings down their mid-
15 mid case for a slight reduction, almost flat, but a slight
16 reduction in the baseline sales forecasting the account for
17 the additional achievable efficiency here.

18 The next slide, I will touch upon SMUD. So SMUD is
19 also going to see a downward reduction compared to our last
20 forecast. Both the reduction is also -- you know some of it
21 is coming from a slightly lower starting point, but a lot of
22 this is coming from commercial, industrial section
23 reductions for this territory. Not much of a contribution
24 from EVs, I think. If I got my numbers straight, about --
25 this would be roughly a one-percent reduction compared to

1 last year, so that definitely also has an effect on the
2 consumption numbers. It's -- largely it's not a lot of EVs
3 in comparison to some of the other territories and given
4 it's a relatively small territory.

5 I should also note that SMUD is a part of a larger
6 planning area that we have. It's called Northern California
7 nonCAISO, so that includes SMUD being the largest one as
8 well as Turlock Irrigation District and the rest of the
9 balancing authority of Northern California, but by far
10 SMUD's the largest utility there, so we tend to focus on
11 them here. But, once again, yeah, the bulk of this reduction
12 is coming from the commercial and industrial sectors and the
13 relatively small contribution from EVs doesn't really -- has
14 been lowered, so that -- you know, it's roughly one percent
15 of their sales because they're relatively small, so it does
16 have a reduction in comparison to the last cycle, a
17 noticeable reduction.

18 On the next graph here, I'm just running over some
19 of the sales numbers, comparing consumption and the baseline
20 sales as well as the mid-mid case for our -- that includes
21 the AAEE. So, yeah, in this case quite a bit of AAEE, 1300
22 gigawatts or so. That leads to just a declining, you know,
23 managed sales forecast for SMUD. Otherwise the baseline
24 sales forecast does continue to grow about half a percent, a
25 little bit over that. We continue to see increasing

1 consumption. Obviously there is -- as with the other graphs
2 that I showed, you have this dip in 2020, a recovery period,
3 and continued growth there.

4 This will be my last slide. I'm happy to take
5 questions. I know I tried to -- there is a lot of
6 information here and I tried to cover it as quick and as
7 concise as I can, but I'm happy to take on any questions
8 that folks may have.

9 VICE CHAIR SCOTT: Hi. Great. I don't actually
10 have any questions. That was a lot of information, but it
11 was very concise in how you presented it, so I'm not sure
12 that I have a follow-up, per se, but thank you for the
13 excellent presentation.

14 MR. GARCIA: Thank you.

15 COMMISSIONER DOUGLAS: I don't have any follow-ups
16 either. That was really helpful. Though, that was great.

17 MR. GARCIA: Yeah. I apologize if I was just
18 overwhelmed with all of it. I was tempted to get into all
19 the specific forecasting zones, but I have half an hour, so
20 it's really hard for me to touch on everything. But I tried
21 to get the greatest hits, basically.

22 COMMISSIONER DOUGLAS: That was fantastic. Thank
23 you.

24 MS. RAITT: All right. This is Heather. So it
25 sounds like we don't have any questions. Cary, you did such

1 a great job. Thanks for covering everything.

2 And we'll go on to Nick Fugate now, who is the
3 Supervisor for the Forecasting at the Energy Commission.

4 So go ahead, Nick.

5 MR. FUGATE: Okay, thank you, Heather.

6 And good afternoon, Commissioners and everyone on
7 the call. I'm going to close this session out with the
8 presentation on the Forecast Update of Peak Results,
9 specific to IOU Planning Areas. And I want to -- we can go
10 to the next slide.

11 I want to start by reiterating what we set out to
12 do at the update. Our forecast is a biennial process, as
13 Cary mentioned. But because our forecasting is used in so
14 many annual planning studies, we do these updates in the
15 intervening years. We try to reflect the latest information
16 on load and key drivers, any kind of projections.

17 We have designed this process to be streamlined
18 relative to a full forecast year, so that in the off years
19 we can spend our time and attention on other critical
20 projects such as model maintenance and development and data
21 improvements and other analysis that we wouldn't necessarily
22 have time for in a full forecast year but that is important
23 for supporting the next tool in IEPR.

24 And so our tools are really aimed at process
25 efficiency for the update. Cary mentioned we use the econo

1 metric models to adjust the previous adopted consumption
2 forecast. And for the peaks we apply load profiles to
3 translate that adjusted forecast to hourly and peak demand.
4 And then we limit the number of load modifiers that we
5 attempt to refresh. Next slide.

6 So Cary just described the update to our
7 consumption forecast. You've heard other presenters today
8 talk about load modifiers. So I'm going to focus on the peak
9 forecast, and for this we use our Power Hourly Load Model.
10 And at a high level this model works by estimating
11 consumption profiles based on historical loads, weather, and
12 calendar effects. We apply those profiles to the updated
13 consumption forecast to estimate hourly consumption load.
14 And then to determine the peak load on the system, we layer
15 on a number of load modifiers. For example, we subtract out
16 self-generation. We account for the incremental impacts of
17 battery storage, electric vehicle charging, energy
18 efficiency, demand response, climate change, and a handful
19 of other modifiers. And each of these has different load
20 profiles which affects the overall load profile.

21 And so specific to this update -- oh, you can go
22 to the next slide -- the changes include adding an
23 additional year of load data in 2019. It's now a historical
24 year, which obviously updated the consumption forecast. And,
25 as you heard earlier, our PV, battery storage, and electric

1 vehicle forecasts have all been updated. So those impacts
2 are now new in the hourly load model.

3 And if you dive into the details of the hourly
4 results, you will see that the climate change impacts are a
5 little different, but this is not a new analysis. This is
6 just -- we made those incremental to the new 2019 base year.
7 For all these adjustments, the final consumption profiles
8 were adjusted so that the resulting system load estimates
9 align with our weather-normalized estimates of recently-
10 observed peak loads, annual peaks.

11 So this is called our weather-normalized
12 benchmark, and then it starts with the starting point for
13 our peak forecast. That is the focus of my -- my next few
14 slides here. So again advance. One more.

15 So to develop the weather normal estimate of peak
16 load, we begin by estimating counter-factual historical
17 daily peaks, so basically we add demand response impacts to
18 hourly low data that we get from the CAISO's EMS system. And
19 this is to get an idea of what demand would be on any given
20 day perhaps at those supply-side demand response programs.

21 We model these daily peaks as a response to
22 weather and calendar effects using just the most recent
23 three years of historical data. We use three years so that
24 we have an update to really see what the load response is
25 over a broad spectrum of cool, warm, and hot days. But three

1 is enough years that we're still capturing recent trends.

2 And once we have modeled that relationship we use
3 it to simulate daily peaks for an entire summer using 30
4 years of historical weather patterns. And from each of these
5 30 simulated summers, we then select the -- the peak from a
6 simulated summer, and then -- we then have 30 simulated
7 peaks and from that distribution we take the median and that
8 is our weather-normalized benchmark. So next slide.

9 So here are the results for the process this year,
10 for 2020, as well as a few other points for comparison. The
11 first column is the results from our analysis last year,
12 which was the starting point for CED 2019. The second column
13 is our forecasted peak load for 2020, also from CED 2019.
14 And the third column contains the recorded peaks for 2020,
15 which you can see are much higher than our forecast. And
16 obviously 2020 was not a normal weather year. It was much
17 hotter than you'd expect on average.

18 And then the fourth column is the results of our
19 weather normalization analysis of this year. So I do want to
20 note that the 2020 estimates are relatively close to the
21 forecasted value from CED 2019. And this all could be
22 relevant when I get to a later slide. So the next slide,
23 please.

24 Before I move into the discussion of the actual
25 forecast result, I do want to talk a bit about uncertainty.

1 This year we have quite a lot more of it than usual and it
2 comes in a few different flavors, each of which have
3 different locations. So we're going to kind categorize
4 those, the first being uncertainty, the type that Cary
5 discussed around the extent of the economic downturn and the
6 pace of its recovery. Some of the assumptions underlying the
7 economic projections we're using involve the availability of
8 federal stimulus, for example, and decisions that are going
9 to be made by a handful of individuals. So the sort of thing
10 that is really very highly uncertain.

11 But this type of uncertainty doesn't pose a
12 particular modeling problem to us. So the historical data
13 that we use to train our models has periods of growth and
14 declines, so once we have selected an economic scenario to
15 forecast to, we feel pretty good about our projections
16 relative to that scenario.

17 The second flavor, however, well, the experience
18 this year with this abrupt, large scale, and intermittent
19 changes to patterns of energy consumption, this is much more
20 challenging. And the staggered tools and data-collection
21 efforts that we have in place to develop these long-term
22 forecasts are not well suited for any type of realtime
23 analysis. And also the problem is new and complex, and does
24 not easily lend itself to our streamlined up-to-date
25 process.

1 The third flavor is related, describing the
2 structural changes that might emerge, might persist as we
3 come from this Pandemic experience. This certainly has
4 implications for a long-term forecast and so it's an
5 important issue and certainly one that we plan to begin
6 discussing early next year. The idea is actually planning a
7 workshop on this topic as well as covering the economic
8 outlook in general. So that will happen at the start of the
9 2021 IEPR cycle in February. So I'm excited for that.

10 So a couple slides ago I showed our weather-
11 normalized peak estimates for 2020. Here we are looking at
12 the results of the peak forecast update for CAISO as a
13 whole, benchmarked to that 2020 estimate. And you can see,
14 as I made note earlier, the forecast update, which is the
15 dashed blue line, starts from a point close to the CED 2019
16 Forecast value in 2020. So this graph represents our
17 standard approach to benchmarking, what we would typically
18 do, which is to use the latest weather normal estimate of
19 peak load. But this leads to some counter intuitive results,
20 notably when the forecast is clearly associated with the
21 shape of the underlying consumption forecast, based on
22 Cary's presentation, it does not reflect the same decline in
23 growth from 2019 to 2020 relative to the adopted forecast.
24 So here the forecast update moves immediately into a period
25 of growth due to economic recovery but without capturing

1 that initial downturn leading to much higher projections in
2 the mid to long term. Next slide.

3 So to mitigate this issue we have taken an
4 alternative approach to benchmarking the peak forecast,
5 which is to retain the CED 2019 weather-normalized estimate
6 and bench to 2019 rather than 2020. And that is shown here
7 in as the solid blue line. And this gives a forecast which
8 reflects an expected load response to high-level economic
9 drivers, everything else being equal. But of course
10 everything else is not equal. 2020 was this unusual year, to
11 put it mildly. And inconsistencies in the nearterm with this
12 alternative approach are highlighted by the large delta
13 between the forecast update and the adopted forecast value
14 for 2020, which you will recall was close to our weather-
15 normalized peak estimate.

16 So implicit in the out years of this forecast is a
17 transition to a more normal relationship between the
18 economic indicators, consumption, and peak demand. Now while
19 the IEPR forecast is primarily a long-term planning tool, I
20 do want to note that the -- there is an important near-term
21 use case which is system resource adequacy in 2022. And in
22 that year these results for the CAISO as a whole come in
23 roughly 350 megawatts below the adopted forecast. Next
24 slide.

25 So both of these approaches have issues, but the

1 alternative approach of benchmarking to 2019 gives more
2 weight to the reasonableness of the long-term forecast at
3 the cost of close alignment to recently-observed or
4 potentially very near-term peaks. It's perhaps helpful to
5 think of the forecast period as being bifurcated into the
6 two periods, a near-term period of unusual behaviors and
7 high uncertainty that occurred and then transitioning into a
8 period of more normalcy in the out years.

9 So staff believe that the alternative approach is
10 reasonable for out years, and my remaining slides will both
11 discuss the peak forecast update as being benched to 2019.
12 But we're also seeking input from stakeholders as to what
13 should be adopted and used for any near-term planning, what
14 potential option, for example, could be to not update or to
15 only partially update one or more initial years of the
16 currently-adopted forecast.

17 So before I wrap things up, I do want to show some
18 high-level results for individual planning areas, so go one
19 more. This slide is specific to PG&E, but the anatomy of the
20 next three slides is identical. The graph on the right shows
21 PG&E planning area noncoincident peak loads, historical and
22 forecast. The history is the solid dark gray line. The blue
23 and orange squares show our 2019 to 2029 weather-normalized
24 peak estimates, respectively. The dashed gray line shows the
25 previously-adopted mid base line, mid AAEE forecast. And

1 then the colored lines represent our forecast update for
2 each of the managed scenarios, the mid-low and mid-mid cases
3 being the most important for planning.

4 And the long-term growth rate between years 2023
5 and 2030 averages about half a percent annually in the mid-
6 low case and .35 percent in the mid-mid, not significantly
7 different from the adopted forecast, though the final result
8 is about 375 megawatts higher in 2030, or a little less than
9 two percent higher. And part of that, I mean it's worth
10 noting that this is a little different than what we saw in
11 Cary's presentation of the consumption forecast, which comes
12 in slightly lower. And part of the reason that the peak
13 comes in a little higher has to do with the -- again with
14 the benchmarking even to 2019.

15 And for CED 2019, when we scaled the hourly model
16 profiles to align with that weather-normal peak, we were
17 using forecasted consumption for 2019. 2019 was a forecast
18 year. And so this year, when we are doing that scaling we
19 have the actual load for 2019, which, as Cary mentioned,
20 came in lower than our previously-forecasted values. And so
21 the peak-to-energy ratio in that base year is actually
22 higher as it impacts these -- this forecast update.

23 And so also PV -- I'm sorry. So by 2030, electric-
24 vehicle charging across all vehicle classes adds about 355
25 megawatts to the peak hour load in the mid-mid case, while

1 behind-the-meter storage is projected to decrease that load
2 by about 285 megawatts.

3 PV is expected to reduce load by about 640
4 megawatts during the 2030 peak hour, and this is unique to
5 PG&E. Both SCE and SDG&E are projected to peak in early
6 September, but PG&E peaks in July and so still has a little
7 bit of solar production even during the peak hour, even as
8 it shifts to hour 19. Go to the next slide. I think we
9 skipped one. Perfect.

10 So for the SCE planning area, the mid-low forecast
11 grows at a rate just under .3 percent annually beyond 2023,
12 so calculating growth based on sort of this period from 2023
13 to 2030, after the -- after the economic recovery. In the
14 mid case there is very little growth on average, so growth
15 does take up at the tail end of the forecast after the shift
16 to hour 19, when at that point adding incremental solar
17 doesn't reduce your peak load any longer.

18 And the mid-mid case ends up at about 145
19 megawatts higher than the adopted forecast, or just over
20 half a percent. By the end of the forecast, electric-vehicle
21 charging adds 445 megawatts during peak hour, while storage
22 reduces load by 205 megawatts.

23 And for the -- go one more slide -- for the SDG&E
24 planning area, the mid-low and mid-mid cases grow at about .7
25 and .4 percent annually after 2023. And in the mid case, a

1 little under 50 megawatts lower than the adopted forecast by
2 2030, comes in at about 50 megawatts lower by 2030, or
3 that's about one percent. Also in 2030 electric-vehicle
4 charging adds 120 megawatts to the peak hour and storage
5 reduces its load by -- reduces that peak hour load by 110
6 megawatts. Next slide.

7 So the tables in my previous three slides showed
8 the timing and magnitude of the noncoincident planning area
9 peaks, but for certain planning efforts the coincident peak
10 forecasts are also important. So I've included this slide
11 mostly for reference. In the near term, utility-specific
12 coincidence factors move around a bit as peak shift occurs
13 in different years for different utilities.

14 And things sort of settle down toward the end of
15 the forecast, though, when enough PV has been added in every
16 territory to peak hour, hour 19 across the board. Next
17 slide.

18 So the results presented here today, they have
19 been at a relatively high level, a lot of detail, but still
20 at a high level. And we recognize that, you know, many of
21 our stakeholders are interested in seeing quite a bit of
22 granularity, so immediately following this workshop we will
23 begin docketing additional data files that contain our
24 forecast results in much more detail. In terms of the peak
25 forecast, this will include annual and monthly coincident

1 and noncoincident peaks by planning area and for the CAISO
2 as a whole. So you should begin seeing those files
3 tomorrow.

4 And we also want to be available to answer any
5 questions or have further discussion since folks review our
6 proposed forecast update, so please feel free to reach out
7 to me or to any of our presenters with questions or to set
8 up a call.

9 Our formal comment deadline, I think this was
10 mentioned at the top, but it's close of business December
11 17th. And we are planning to ask the Commission to consider
12 adopting our final results at our January 13 Business
13 Meeting.

14 And then we will be right into the next IEPR
15 forecast cycle, so keep an eye out for that workshop in
16 February, covering economic outlook and potential structural
17 changes to transportation, business, consumer behavior, etc.

18 And another shout out to Nancy Tran for
19 spearheading that effort and Omar. Yeah, that's it. So with
20 that I'd like to thank everyone for their time and attention
21 today. And if there are any questions, I'm happy to address
22 them.

23 VICE CHAIR SCOTT: Hi, Nick. I do have a question.
24 I'll jump in. I was wondering if you could just briefly
25 reexplain, so kind of back on slide 7 of your slides, you

1 were talking about the normalized numbers that we have for
2 the different peaks and that if they were very high in the
3 summer because the summer was so warm, there may also be
4 some incidences where we're seeing that they were different
5 than we anticipated because of Covid. Can you explain again
6 how you are capturing that within the forecast?

7 MR. FUGATE: Sure.

8 Can we pull up slide 7, by chance?

9 VICE CHAIR SCOTT: Oh, yeah, so what we were
10 looking at was kind of the normalized values versus what we
11 forecast versus what was actual. And I just wanted to
12 understand again how we're capturing that within the
13 forecast or maybe it's something we end up writing up in the
14 text, or something, but I was just -- if you could explain
15 that one more time, that would be great.

16 MR. FUGATE: Right. So the actual peaks, that
17 third column, that was we actually -- if you were to go to
18 the CAISO's website and download their load data, what I'm
19 talking about is these are the actual recorded system peak
20 loads.

21 VICE CHAIR SCOTT: Yes.

22 MR. FUGATE: And those are -- those are much higher
23 than you would expect in a normal year because it was so
24 hot. And so we normalized those according to the process I
25 described on a previous slide to get a more reasonable kind

1 of starting point for our peak forecast, because the peak
2 forecast is so weather sensitive. And so we don't want to
3 start the peak forecast from -- from the previous year's
4 actual peak load because -- you know, and last year was
5 really hot, then you're going to be starting from a really
6 high place, and your forecast will be much higher than you
7 would expect normally.

8 So we always benchmark our peak forecast, which is
9 an elaborate scaling process, to bring the forecast -- the
10 forecast starting point in line with our most recently
11 normalized peak load estimate, so in this case that would
12 have been the 2020 normalized peak estimates here in that
13 fourth column.

14 However, -- and maybe it would be better to
15 advance this slide. Sorry, one more. Yeah. So however when
16 we -- when we do that, when we benchmark to the 2020 value,
17 essentially we're -- we're benchmarking, we're scaling our
18 forecast so that the 2020 forecasted value aligns with the
19 2020 weather-normal value, right. And the 2020 -- the 2020
20 forecasted value does not include -- so the 2020 forecast --
21 the 2020 forecast value of consumption, which heavily
22 influences the peak, does not -- if you were to compare the
23 -- actually advance one more slide. I'm sorry.

24 So you can see on the solid blue line from the
25 2019 value to the 2020 value, there is a significant drop in

1 the peak forecast from 2019 to 2020, and this is due in
2 large part to the decline in -- or the decline in
3 consumption due to the depressed economic indicators. So if
4 we were to take -- so given that and given that the 2020
5 weather-normalized peak value did not experience a
6 significant decline relative to 2019, if we were to bench
7 the 2020 forecast value to the 2020 weather-normalized
8 value, that sort of gives us this dashed line, right, it's
9 essentially shifting the whole forecast up so that the 2020
10 value aligns with the 2020 weather-normal estimate.

11 But you know 2020, the relationship between
12 consumption and peak was quite different due to Covid.
13 Right, we had a decline in consumption, particularly in a
14 lot of specific months, but our -- you know we didn't see a
15 significant decline in peak loads in the summer or a
16 temperature response to -- or a load response to temperature
17 in the summer, so our weather-normal estimate of peak load
18 was not that different in 2020 even though consumption was
19 quite different this year. And so --

20 VICE CHAIR SCOTT: Okay.

21 MR. FUGATE: -- so that's -- that's -- I don't know
22 if I have clarified things or confused it even more, but...

23 VICE CHAIR SCOTT: No, no, no. I think it's really
24 helpful. Just for me, it was something that I heard you say
25 it the first time through and I thought let me hear that a

1 second time because I feel like it's a really important
2 point to understand within the forecasting, because it
3 wiggled down a little bit because of Covid, it wiggled up
4 some because there was a really hot summer, and then kind of
5 how do we capture that and normalize it so that we have a
6 good, solid forecast of course, but then, you know, folks
7 are using for planning and all of those other things. So I
8 appreciate the second walk-through there.

9 MR. FUGATE: Sure.

10 VICE CHAIR SCOTT: That's the only question that I
11 had. I don't know if other Commissioners have questions or
12 not. Thank you for the great presentation.

13 MR. FUGATE: Thank you.

14 VICE CHAIR SCOTT: It's very quiet and I know we're
15 not a shy bunch, so I would --

16 MS. RAITT: Yeah. This is Heather.

17 VICE CHAIR SCOTT: -- turn it back to you or to
18 Heather.

19 MS. RAITT: Okay. So I do think, Matt, looks like
20 we have a question on Zoom if you want to go ahead and...

21 MR. COLDWELL: Yeah, so.

22 MS. RAITT: ...thank you.

23 MR. COLDWELL: Yeah. So thanks, Nick, for the
24 presentation. Just have one question in the Q and A box
25 here. It's from Song-yi, hopefully I'm pronouncing that

1 correctly, from Southern California Edison. The question is:
2 The weather-normalized 2020 estimate is lower than 2019 and
3 compared to our estimate. Is there any significant weather
4 assumption change?

5 MR. FUGATE: Any significant weather assumption
6 change?

7 MR. COLDWELL: Right.

8 MR. FUGATE: I'm not -- I'm not quite sure how to
9 interpret that question. I mean the changes that would have
10 happened, so we would have added the 2020 load, the 2020
11 load -- the 2020 loads to the three-year rolling window and
12 it would have dropped 2018. So to the extent that the
13 temperature response in 2018 -- or the load response to
14 temperature in 2018 was slightly higher than 2020, then that
15 could account for some of the decline. But if it's -- if
16 it's a departure from Edison's estimates, certainly we can
17 set up a colloquy, I'd be happy to discuss their analysis as
18 well.

19 MR. COLDWELL: Great. Thanks. So as you were
20 answering that question another one came in: Could you
21 please summarize the primary drivers behind the higher,
22 long-term projections of PG&E, noncoincident peak in the
23 2020 mid -- in the 2020 mid-mid relative to the 2019 mid-
24 mid? In other words, if the higher actual 2020 peak load,
25 then forecasted from CED 2019 has not played a key role in

1 that, please identify the remaining drivers.

2 MR. FUGATE: Right.

3 MR. COLDWELL: I can read that -- I can read that
4 again if you need me to.

5 MR. FUGATE: Yeah. No, I'm looking at it. So I
6 did try to kind of explain that and I will try again. So, as
7 Cary noted in his presentation, the actual consumptions --
8 so when we forecasted peak for CED 2019 we went through the
9 same benchmarking to the 2019 weather-normal peak. But we
10 were using -- we were using a consumption estimate for that
11 year that was a forecasted value. And so when we are doing
12 it this year, we are using the actual consumption data that
13 we have now that we didn't have last year, which is a fair
14 amount lower than it was last year. And so the peak to
15 energy -- the peak-to-energy ratio in that -- in that base
16 year is higher than what we used in CED 2019. But when you
17 look at the actual growth rate over the long term, it's not
18 significantly changed from -- from CED 2019. It's just the
19 kind of peak-to-energy ratio implicit in the newly-scaled
20 load profiles.

21 MR. COLDWELL: Great. Okay. Thanks. That's all
22 the questions we have in the Q and A box, so I'll turn it
23 back over to Heather.

24 MS. RAITT: Great. Thank you, Nick.

25 Thank you, Matt.

1 So that means that we're ready to go out of the
2 public comment period. And so again you can -- if you're
3 using Zoom from electronic device -- you can click the
4 raised hand function to let us know, icon to let us know
5 that you'd like to make a public comment. I see a couple of
6 hands raised. And if you're on the phone, press star 9. And
7 RoseMary Avalos from the Public Advisor's Office is here to
8 help us.

9 Thanks, RoseMary.

10 MS. AVALOS: You're welcome, Heather.

11 I will first call on attendees using the raised
12 hand feature on Zoom. And then please state your name and
13 affiliation, and spell your first and last name. Also please
14 do not use the speaker phone feature because you may not be
15 able to be heard clearly.

16 Okay. Ranjiv, and your line is open and you may
17 need to unmute on your end. Go ahead.

18 Ranjiv? And the name is spelled R-a-n-j-i-v.

19 Okay. Well, I'll move on to the next raised hand,
20 and the initials are RG. Please state your name and
21 affiliation and spell your first and last name for the
22 record. Your line is unmuted. Go ahead.

23 Okay, go ahead. RG?

24 Okay. I'll go ahead and move on to the phone line.
25 And, just a reminder, to raise your hand you would dial star

1 9 and then to unmute, star 6. So is there anyone on the
2 phone line that would like to make a comment?

3 Okay, I'm going to go back to RG. I still see the
4 hand raised.

5 RG, do you want to make a comment?

6 Okay. Seeing there are no raised hands, I will
7 turn to Commissioner McAllister.

8 MS. RAITT: Looks like we're done with public
9 comment. I don't know if Commissioners would like to make
10 any closing remarks.

11 VICE CHAIR SCOTT: Well, I'll jump in and make a
12 closing remark. This was, I think, another data-rich,
13 chuckfull afternoon with getting the updates on the
14 forecast, everything from energy storage straight through to
15 understanding how the hot summer impacted our -- and Covid
16 impacted our forecasting. So I just want to say thank you so
17 much to our entire team for their expertise and on putting
18 this together and the excellent presentations. I thought it
19 was a lot of really good information.

20 It is data heavy, but they presented it in a way
21 that I thought was really clear and understandable. And I'm
22 sure that members of the public appreciate that just as much
23 as I do, so a big thanks to the whole team. And maybe I'll
24 turn it back to Heather to remind folks when the comments
25 are due, although I know she's done that and we'll call it

1 another excellent day.

2 MS. RAITT: Excellent. And I also just say this is
3 our last Workshop for the 2020 IEPR Update, so thank you,
4 everybody. And I just want to do a quick shout out for our
5 excellent student assistant Harrison Reynolds. This is his
6 last day with us, but he -- we're happy to keep him at the
7 Energy Commission working as a full-time staff person, so
8 congratulations to Harrison, and we're going to miss you. So
9 thank you for that little shout out and indulge in that.

10 But public comments are due --

11 VICE CHAIR SCOTT: Absolutely. Let me say
12 congratulations to Harrison as well. That's awesome to hear.

13 MS. RAITT: Yes. And so -- but back to our
14 Workshop, our public comments are due on December 17th, and
15 always happy to get those written comments, so, and also, as
16 Nick offered, if you want to reach out to staff directly in
17 the meantime, we welcome that too. So I think that's it.
18 Thank you, everybody. Bye.

19 (Whereupon, the Workshop was adjourned at 3:54 o'clock
20 p.m.)

21

22

23

24


25

REPORTER'S CERTIFICATE

I DO HEREBY CERTIFY THAT THE TESTIMONY IN THE FOREGOING HEARING WAS TAKEN AT THE TIME AND PLACE THEREIN STATED; THAT THE TESTIMONY OF SAID WITNESSES WERE REPORTED BY ME, A CERTIFIED ELECTRONIC COURT REPORTER AND A DISINTERESTED PERSON, AND WAS UNDER MY SUPERVISION THEREAFTER TRANSCRIBED INTO TYPEWRITING.

AND I FURTHER CERTIFY THAT I AM NOT OF COUNSEL OR ATTORNEY FOR EITHER OR ANY OF THE PARTIES TO SAID HEARING NOR IN ANY WAY INTERESTED IN THE OUTCOME OF THE CAUSE NAMED IN SAID CAPTION.

IN WITNESS WHEREOF, I HAVE HEREUNTO SET MY HAND THIS 21ST DAY OF JANUARY, 2021.




SUSAN PALMER
CERTIFIED REPORTER
CERT 00124

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of January, 2021.



Susan Palmer
Certified Reporter
CERT 00124