

<b>DOCKETED</b>	
<b>Docket Number:</b>	21-IEPR-06
<b>Project Title:</b>	Building Decarbonization and Energy Efficiency
<b>TN #:</b>	239358
<b>Document Title:</b>	Transcript - May 25, 2021 - Session 1 - IEPR Commissioner Workshop on Building Decarbonization
<b>Description:</b>	Session 1 - IEPR Commissioner Workshop on Building Decarbonization - National, Regional, and California Activities
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	8/18/2021 1:40:20 PM
<b>Docketed Date:</b>	8/18/2021

CALIFORNIA ENERGY COMMISSION

In the matter of:

2021 Integrated Energy Policy ) Docket No. 21-IEPR-06  
Report (2021 IEPR) )  
\_\_\_\_\_ )

IEPR COMMISSIONER WORKSHOP

RE: BUILDING DECARBONIZATION:

NATIONAL, REGIONAL, AND CALIFORNIA ACTIVITIES

REMOTE VIA ZOOM

Tuesday, May 25, 2021

10:00 A.M.

Reported by:

Elise Hicks

APPEARANCES

COMMISSIONER

J. Andrew McAllister, CEC Lead Commissioner

Siva Gunda, CEC Commissioner

Cliff Rechtschaffen, CPUC Commissioner

CEC STAFF

Heather Raitt, IEPR Program Manager

Kristy Chew, California Energy Commission, Efficiency  
Division

MODERATOR

Jennifer Nelson, California Energy Commission

PRESENTERS

Jeff Genzer, National Association of State Energy  
Officials

Vincent Barnes, Alliance to Save Energy

Nat Gosman, British Columbia Ministry of Energy, Mines  
and Low Carbon Innovation

John Williams, New York State Energy Research and  
Development Authority

Emily Salzberg, Washington State Department of Commerce

Keith M. Hay, Director of Policy at Colorado Energy  
Office

PUBLIC ADVISOR

RoseMary Avalos, California Energy Commission

APPEARANCES

PUBLIC COMMENT

Tanya Barham, Community Energy Labs

## INDEX

	Page
Introduction	5
Opening Remarks	6
1. Panel: National Building Decarbonization Activities	11
Jeff Genzer, National Association of State Energy Officials	
2. Panel: Regional Building Decarbonization Activities	30
A. Vincent Barnes, Alliance to Save Energy	
B. Nat Gosman, British Columbia Ministry of Energy, Mines and Low Carbon Innovation	
C. John Williams, New York State Energy Research and Development Authority	
D. Emily Salzberg, Washington State Department of Commerce	
E. Keith M. Hay, Director of Policy at Colorado Energy Office	
Public Comment	122
Closing Remarks	126
Adjourn	131



1 participate today in a few different ways. For  
2 those joining through the online Zoom platform,  
3 the Q&A feature is available for you to submit  
4 questions. You may also up-vote a question  
5 submitted by somebody else. Just click the  
6 thumbs-up icon to up-vote. And then questions  
7 with the most votes are moved to the top of the  
8 queue. We'll reserve a few minutes near the end  
9 of the morning to take such questions. We're  
10 likely not to have to time to address all of  
11 them, however.

12           Alternatively, attendees may make  
13 comments during the public comment period at the  
14 end of the morning, and in the afternoon session.  
15 Please note that we will not be responding to  
16 questions during the public comment period.

17           Written comments are also welcome. And  
18 instructions for doing so are in the meeting  
19 notice. And written comments are due on June  
20 8th.

21           And with that, I'll turn it over to  
22 Commissioner Andrew McAllister for opening  
23 remarks.

24           Thank you.

25           COMMISSIONER MCALLISTER: Great. Thank

1 you, Heather. Really happy to be here today and  
2 have been anticipating this workshop for a while.  
3 We're still a little bit in the first phases of  
4 the IEPR activities. We have a lot of workshops  
5 ahead of us on various themes. But primary, one  
6 of the primary themes of this year's Integrated  
7 Energy Policy Report is building decarbonization.  
8 I think it's a very auspicious moment to be  
9 having this workshop.

10           Recently, as many of you may know, at the  
11 Energy Commission, we released the 45-day  
12 language express terms -- for the express terms  
13 for Title 24, Part 6, the Building Energy  
14 Efficiency Standards for California, so that's  
15 really a milestone. And we're aiming to adopt  
16 those in August and pass those along to the  
17 Building Standards Commission for an effective  
18 date of January 1, 2023. And we really are  
19 pivoting strongly towards decarbonization  
20 technologies, especially heat pumps, by doing a  
21 lot of provisions in there to support  
22 electrification and decarbonization more  
23 generally, so that's very exciting.

24           And then, number two, the Draft Staff  
25 Report for AB 3232, which is a trajectory for

1 buildings to get to 40 percent below 1990  
2 emissions levels by 2030, is now on the street.  
3 So all of you are very encouraged to look at that  
4 and have a read and provide us any comments that  
5 you have.

6           So, really, so both of those are sort of  
7 setting the stage for today's workshop. And the  
8 way we have conceived of it is to focus on  
9 national and non-California states in the  
10 morning, and then focus in on California in the  
11 afternoon. And so I'm really, really happy to be  
12 here with that framing because I think it's going  
13 to provide a great foundation for the rest of the  
14 IEPR cycle.

15           I really want to thank Heather, and  
16 Raquel, and Stephanie, and the whole IEPR Team  
17 for putting together this workshop and just  
18 making sure the level of professionalism is right  
19 up there as they, really, always do. And so  
20 thank you, Heather, and Team, for that.

21           And then, also, Efficiency Division Staff  
22 who are many and who have been involved in this  
23 workshop in assembling it, really, thank you to  
24 all of you for that.

25           And my Advisor, Bryan Early, who has

1 interfaced with our colleagues from the other  
2 states and from Washington, DC, so thanks to him,  
3 as well.

4 Buildings are about a quarter of the  
5 emissions.

6 Well, actually, before I launch into just  
7 a few sentences framing this topic, I wanted to  
8 thank my colleagues on the dais for being with  
9 us. Commissioner Gunda, I know, is here with us.  
10 I think we're expecting Commissioner Douglas, and  
11 Chair Hochschild at some point, as they can join.  
12 And then, also, Commissioner Rechtschaffen from  
13 the CPUC, and Commissioner Houck from the PUC,  
14 also, they may drop in as their time allows, as  
15 well.

16 It's worth noting that there is a  
17 workshop going on concurrently over at the CPUC  
18 on load flexibility today. And that has also  
19 been long in the preparation. We are represented  
20 there. We're going to talk about our Load  
21 Management Standards. And there's just a really  
22 great synergy with what's going on over there  
23 with load flexibility and buildings, and  
24 decarbonization. So they're all part and parcel  
25 of the solution for getting to zero carb, and

1 over time, and really transforming our building  
2 stock to support decarbonization fully.

3           So, let's see, so buildings are really a  
4 key part of the solution. They're 25 percent of  
5 the emissions. Roughly half of that is the  
6 emissions from the electricity they consume,  
7 which will be going down with SB 100 and  
8 decarbonization of the electric grid. The other  
9 half is onsite emissions. And you'll see us, see  
10 the Staff, talk about that in the 3232 Draft  
11 Report. But they are, also, a technology  
12 platform. And I think it's important to  
13 understand them as such.

14           You know, our EVs often are parked at  
15 buildings, we're-- in those buildings, and our  
16 EVs are parked right there, so they are a  
17 platform for the transformation of our electric -  
18 - or our transportation fleet. And they're a  
19 platform for all of these technologies with the  
20 mechanical systems, their water heating, are all  
21 technologies that can be part of the solution if  
22 they are both highly efficient and flexible, and  
23 increasingly electric. So being good citizens on  
24 the grid is, really, it's a requirement for the  
25 buildings of the future.

1           We really need to get to the buildings of  
2 the present and the past because they're still  
3 with us, as well, and so that is an ongoing  
4 challenge. And I think that's one of the reasons  
5 I wanted to broaden this workshop to include  
6 other states, and include British Columbia,  
7 actually, as well, who is being very innovative  
8 in this space, because we all need to share  
9 solutions here.

10           I was really happy to see the DOE  
11 release, their Roadmap for Grid-Interactive  
12 Efficient Buildings. It's exactly where we need  
13 to go. And I know that many of my colleagues  
14 were involved in that through, NASEO, the  
15 National Association of State Energy Officials,  
16 which is a really great organization that we'll  
17 hear from Jeff Genzer with -- sort of  
18 representing NASEO on this panel -- or on the --  
19 during the course of the agenda today.

20           So you know, I think I just want to  
21 highlight, to close, collaboration. You know, we  
22 all, all the states that you'll see here, have  
23 very aggressive goals for decarbonizing, not only  
24 their energy systems but their entire economy.  
25 And while the contexts are different, the

1 solutions, I think, will often be shared. And so  
2 we need market scale. We need consistency. We  
3 need to get some successes under our belts at  
4 some scale and then scale those up in earnest in  
5 the coming, just few years, really. We don't  
6 have -- we really don't have time. We are in a  
7 climate crisis already. We're bracing for the  
8 summer peak.

9           Commissioner Gunda is here. He's really  
10 knee deep, if not higher, in the reliability  
11 issues, together with the CPUC and the  
12 Independent System Operator, to really plan and  
13 make sure that we mobilize every resource  
14 possible. And for this summer, to some extent,  
15 but the next summer and the summer after, load  
16 flexibility has to be a big wedge, a growing  
17 wedge of the solution of resources in the mix to  
18 enable that transformation to happen.

19           So that's, in sum, that's kind of why I'm  
20 so excited about today to really kick off this  
21 conversation and, hopefully, establish even  
22 deeper collaborations with our other  
23 jurisdictions.

24           I'll just mention, maybe for the benefit  
25 of them, and others who may be listening from out

1 of state, that the Energy Commission has several  
2 load flexibility initiatives. Load Management  
3 Standards, very, very exciting, sort of the third  
4 of the triumvirate of standards that we have it,  
5 buildings, appliances, and load management at the  
6 Commission, not often used, but the time for Load  
7 Management Standards has definitely come.

8           And then into our appliance work, we're  
9 incorporating a new authority to do -- to require  
10 flexibility, native flexibility, in device  
11 categories in developing individual rulemakings  
12 for, you know, groups of device categories going  
13 forward. And we're on the front end of that, but  
14 it's really taking shape and accelerating, so I'm  
15 very excited about that. It will provide  
16 solutions for scaled load flexibility.

17           We just funded \$16 million of research  
18 and development, and then to inform the Cal Flex  
19 hub, so, really, research led by Berkeley Lab on  
20 that topic. And then I mentioned the Code, as  
21 well, which has load flexibility provisions in  
22 it. And increasingly, with each update, we'll  
23 have more of those.

24           So all this is to say, there is a synergy  
25 around buildings and everything that they can and

1 should be doing to help us transition to full  
2 renewables and manage peak loads, and to optimize  
3 and decarbonize, equitably, our electric system  
4 as it grows, as consumption of electric grows.

5           And so that's the background I wanted to  
6 just lay out for us before this workshop. And  
7 I've already taken, probably, too much time, so I  
8 will -- I'm not sure if the Chair has joined us.  
9 But if he has not, then I would invite  
10 Commissioner Gunda to take the mike from me as we  
11 continue on, so thanks, and to you, Commissioner  
12 Gunda.

13           COMMISSIONER GUNDA: Thank you,  
14 Commissioner McAllister. Thank you so much for  
15 having me in this workshop. I want to begin by  
16 thanking you for your leadership, continued  
17 leadership, and dedication to the building  
18 decarbonization efforts. And kind of, every  
19 opportunity I have I really need to kind of just  
20 put that out there, of like your decades-long  
21 leadership on ensuring that, you know, we have a  
22 vision for long term grid connectivity of  
23 buildings and what they mean for our energy  
24 system planning, so thank you for your work on  
25 this important issue.

1           I really would want to extend thanks to  
2 the IEPR team and all the Staff who have worked  
3 diligently to put this workshop together. As  
4 usual, Heather and her team are miracle workers,  
5 so thank you, Heather.

6           I also want to extend a thank you to all  
7 the speakers and the participants for your time  
8 and expertise today to help advance this  
9 important conversation.

10           A couple of points I wanted to just kind  
11 of mention, as Commissioner McAllister already  
12 pointed out but I want to reiterate, as  
13 Commissioner McAllister noted, this workshop is  
14 coming on the heels of two important workshops  
15 last Thursday and Friday, one kicking off the  
16 natural gas track for the IEPR 2021, and the  
17 other one was on AB 3232 Draft Report. And this  
18 couldn't have been a better time to have this  
19 conversation.

20           As everybody understands who have been  
21 here, who are here today, you know, decarbonizing  
22 buildings is essential. And the measures we have  
23 in the quiver today will profoundly affect the  
24 way the energy system planning is done, both on  
25 the electric side and the natural gas system, as

1 we move forward.

2           Specific to, as Commissioner McAllister  
3 noted, there's a couple of things here on the  
4 electric system as we think through the SB 100  
5 goals of long-term system planning and how do we  
6 plan the resources to meet long-term demand in a  
7 25-year time frame, but also thinking through  
8 kind of the peak short-term reliability concerns.  
9 I think the load flexibility has an incredible  
10 opportunity.

11           For example, the SB 100 modeling that,  
12 again, Commissioner McAllister helped lead that  
13 effort last year as a Commissioner, was, you  
14 know, kind of really meaningful in the sense of  
15 establishing the opportunity we have with load  
16 flexibility. There were a couple of scenarios  
17 that were modeled, with even a modest amount of  
18 load flexibility, helped the reduce the overall  
19 build rates required, and also the cost  
20 implications of that. So I think load  
21 flexibility is going to be an important part of  
22 the conversation as we move forward for the long-  
23 term system planning.

24           The second element that Commissioner  
25 McAllister touched upon is the reliability of the

1 electric system. As most of you tracked last  
2 year, you know, California had a pretty tough  
3 time getting through the summer in terms of the  
4 electric demand and supply balance. And one of  
5 the things we really relied on was the demand  
6 response and the load flexibility. Our critical  
7 state partner on that was the DWR, who was able  
8 to really move and flex the load significantly to  
9 help support the grid during that time.

10           So even in the short term, as  
11 Commissioner McAllister pointed out, as we manage  
12 the peak, but also the net-peak times in the  
13 reliability space, I think it becomes a very  
14 important conversation.

15           On the flip side, it's going to have a  
16 profound impact on how we plan the natural gas  
17 system as we decarbonize. And you know, parts of  
18 the decarbonization strategies as it pertains to  
19 buildings is definitely going to be a significant  
20 amount of electrification without the combination  
21 of other decarbonization measures. But that in  
22 itself, the reduced demand, both temporally, as  
23 well as geographically, will present different  
24 challenges in terms of the way we plan our  
25 natural gas system and help send the molecules to

1 the places they need to go to at any given time.

2           So it's a complex issue. And so grateful  
3 for Commissioner McAllister's leadership on this  
4 area. And looking forward to this conversation.  
5 Thank you.

6           Thank you, Commissioner.

7           COMMISSIONER MCALLISTER: Thank you very  
8 much, Commissioner Gunda. Great, great points.

9           And even more context, that there's a lot  
10 of food for thought these days in terms of how  
11 our various systems and our infrastructure,  
12 really our industrial policy, is kind of what  
13 we're talking about here. You know, the state's  
14 large tranches of investments in different parts  
15 of our economic. Today we're talking about  
16 buildings, but they all have to be coordinated  
17 under consistent policy, so thanks for that.

18           I neglected to actually mention our  
19 speakers, because I want to just thank,  
20 especially those from out of state, and that's --  
21 we'll hear from Jeff Genzer, Vincent Barnes from  
22 the Alliance to Save Energy, John Williams from  
23 New York, NYSERDA, and Nat Gosman from British  
24 Columbia, Emily Salzberg from Washington State  
25 Department of Commerce, which is where their

1 Energy Office sits, and Keith Hay from the  
2 Colorado Energy Office. I just want to thank all  
3 of you. Your offices and your leadership has  
4 really been, I think, one of the drivers of my  
5 enthusiasm for -- my optimism, really, I'd say  
6 for how we are going to find solutions to this  
7 and other problems. And I think just your --  
8 there's a public service ethic that -- ethos that  
9 you all just -- that your offices and yourselves  
10 just emulate -- or emanate.

11           And so I just wanted to thank everyone  
12 for taking some time with us to help California  
13 and to begin to collaborate even more deeply. So  
14 thanks for being here, again.

15           So I will then pass it off to Heather  
16 for -- to get us started with Jeff.

17           MS. RAITT: Okay. Great. Thank you,  
18 Commissioner McAllister.

19           So I'll go ahead and introduce our first  
20 presenter, Jeffrey Genzer. Jeffrey is the  
21 Counsel to the National Association of State  
22 Energy Officials, or NASEO, and he has been since  
23 the organization began. And he's been working on  
24 energy issues for 43 years. He represents NASEO  
25 before Congress and the Administration. He also

1 practices Energy and Environmental Law and is the  
2 Chairman of the law firm Duncan, Weinberg, Genzer  
3 & Pembroke.

4 Thank you for being here. Go ahead,  
5 Jeff.

6 MR. GENZER: Thank you. Thank you to  
7 Andrew. Thank you to Heather. Thank you to  
8 Commissioner Gunda. I'm very pleased to be here  
9 today. You have some great panelists after me.  
10 But I'll do my best in representing the National  
11 Association of State Energy Officials.

12 Andrew is actually a former Chair of the  
13 Association.

14 As mentioned, I'm a lawyer in Washington,  
15 DC at Duncan, Weinberg, Genzer & Pembroke. I do  
16 want to emphasize the disclaimer at the beginning  
17 that the views I'm presenting are not necessarily  
18 the views of any individual clients -- we do have  
19 a Sacramento office with our law firm -- but, I  
20 believe, fairly represent the views of the  
21 National Association of State Energy Officials,  
22 NASEO, which represents the energy offices,  
23 including the CEC, across the United States, the  
24 56 states, DC, and U.S. territories.

25 Andrew has asked me to discuss building

1 decarbonization today. I'm going to divide my  
2 ten minutes into four categories: federal  
3 appropriations; infrastructure; energy and  
4 climate legislation; and administration action.  
5 So I'm trying to bring a national perspective of  
6 what's going on in DC.

7 I'll start with appropriations. With  
8 respect to federal appropriations, I believe that  
9 there will be increases in federal funding for  
10 Federal Fiscal Year '22, beginning on October 1  
11 of 2021, increases for building decarbonization  
12 efforts, support for net-zero buildings, support  
13 for grid-interactive, efficient buildings. And  
14 these efforts may include a support for improved  
15 building energy codes. I expect federal  
16 appropriations for the U.S. Department of  
17 Energy's Energy Efficiency and Renewable Energy  
18 Branch to increase. They're presently below \$3  
19 billion on an annual basis. I would expect that  
20 to increase substantially.

21 The President will be submitting his  
22 budget to congress on May 28th. And I think when  
23 all the dust settles that, again, we'll see a  
24 substantial increase in the amount I've  
25 referenced at the Department of Energy, at the

1 Department of Interior, at the Environmental  
2 Protection Agency, and at the Department of  
3 Housing and Urban Development, among other  
4 places.

5           The Department of Energy will be moving  
6 forward on the 28 Appliance Energy Efficiency  
7 Standards that were delayed during the last  
8 federal administration. I also think you will  
9 see direct funding support for enhanced  
10 deployment programs, as well as the entire  
11 research, development, demonstration, and  
12 deployment continuum. Those programs include the  
13 State Energy Program which the CEC operates. The  
14 Low-Income Weatherization Assistance Program.  
15 The President, in that case, committed to address  
16 2 million low-income homes, increase the energy  
17 efficiency of 2 million low-income homes.

18           There's another program called the Energy  
19 Efficiency and Conservation Block Grant that  
20 addresses local governments and cities and towns.  
21 I would expect that will get funding. And there  
22 is a strong possibility that a variety of tax  
23 credits and deductions for energy efficiency,  
24 renewable energy, electric vehicles, and other  
25 clean energy activities targeted to

1 decarbonization will be included in a final  
2 federal -- in final federal action in 2021.

3           Let me also now turn to infrastructure.  
4 You've likely been following the back and forth,  
5 more in Washington among the ten more moderate  
6 Senate Republicans and the White House over an  
7 infrastructure package. The President really  
8 divided his package into traditional  
9 infrastructure, clean energy that totaled \$2.3  
10 trillion, and then another couple of billion --  
11 couple of trillion to deal with more social-  
12 oriented activities.

13           The Senate Republicans that I mentioned  
14 produced a \$568 billion package, again as  
15 compared to the \$2.3 trillion infrastructure  
16 package. Their package was more within the  
17 confines of what we would define as traditional  
18 infrastructure: highway roads, bridges, ports,  
19 and now broadband, but they are very far apart.

20           The President came down from \$2.3  
21 trillion to \$1.7 trillion. The Republicans are,  
22 apparently, discussing going from \$568 billion to  
23 \$800 billion, but any way you slice it, a \$1  
24 trillion difference is a big deal. Whether they  
25 can reach a deal is very much an open question.

1           If a deal cannot be reached, and the  
2 White House can convince Senator Manchin, a  
3 Democrat of West Virginia, Senator Sinema, a  
4 Democrat of Arizona to stick with the Democrats,  
5 they may be able to move an infrastructure  
6 package through the Senate under what's called  
7 budget reconciliation, which is a process set up  
8 in the 1974 Budget Act and only requires 51 votes  
9 to pass, as long as it involves taxing or  
10 spending items, primarily, as opposed to the  
11 normal 60-vote filibuster majority. But that  
12 infrastructure package could include climate  
13 items, certainly building decarbonization, but  
14 again, so long as it primarily involves spending  
15 and taxing items, as opposed to authorizing new  
16 programs that are not related to those two  
17 things.

18           I do want to remind folks that under the  
19 American Recovery and Reinvestment Act back in  
20 2009, to respond to the Great Recession, the  
21 Obama Administration and Congress worked to put  
22 \$90 billion into clean energy programs, \$11  
23 billion of that was in the Weatherization  
24 Program, the State Energy Program, the Energy  
25 Efficiency and Conservation Block Grant.

1           So there is obviously a big difference  
2 between the proposal that has been discussed  
3 which is in the hundreds of billions in the clean  
4 energy category and that \$90 billion. The \$174  
5 billion proposed for electric vehicles alone is  
6 almost double what was in the American Recovery  
7 and Reinvestment Act. But the President wants to  
8 address 2 million low income homes, wants to  
9 address 4 million buildings. Again, I don't want  
10 to predict at this juncture how far it will go  
11 but it is likely to be a substantial number.

12           I want to talk about energy and climate  
13 legislation now. That is going to be harder to  
14 pass independently. The House is narrowly  
15 divided, 218 to 212, with a 50-50 Senate with  
16 your former Senator, Vice President Harris,  
17 breaking ties. This would likely mean that it  
18 will be extremely difficult to pass a clean  
19 electricity standard. But the House Democrats  
20 have put forward their Clean Future Act and the  
21 so-called LIFT Act. The House Democrats intend  
22 to pull all their infrastructure pieces together,  
23 including the clean energy pieces, and they will  
24 try to pass it in July.

25           One of the most interesting bills that I

1 think I would certainly command your attention to  
2 is the Open Back Better Bill from Congresswoman  
3 Blunt Rochester and Senator Tina Smith. That  
4 would use federal funds, up to \$17 billion or \$18  
5 billion, to fund mission-critical facility  
6 resiliency activities and use private financing  
7 to fund the energy efficiency/renewable energy  
8 activities in places like schools and hospitals.  
9 Decarbonization, using the State Energy Program,  
10 a very flexible federal program, again, the CEC  
11 runs that.

12 I want to last talk in my last minute-  
13 and-a-half here about Administration actions. We  
14 expect that the DOE Loan Office, run by Jigar  
15 Shah, will try to spend their \$40 billion that  
16 they have available to them, and requires no  
17 further congressional action. The Administration  
18 will move on Appliance Efficiency Standards.  
19 They will promote low-carbon technologies, grid-  
20 interactive efficient buildings, and will  
21 increase those efforts across agencies, DOE, EPA,  
22 and across the federal government.

23 Beneficial electrification efforts,  
24 including expansion of load flexibility that was  
25 discussed earlier, energy storage, and

1 transmission is also another priority. As was  
2 also mentioned, heat pump technology deployment  
3 and tax credits for heat pumps is definitely on  
4 the agenda. The Administration proposed a  
5 variety of activities administratively last  
6 Monday, which I can discuss if there's time  
7 during question and answers.

8 I just want to say, in summary, that I  
9 expect more federal funding to support the  
10 activities you are undertaking in California for  
11 decarbonization in the building sector. I think,  
12 certainly, the Appliance Standards is another  
13 example. And I expect the funding will be  
14 greater than it was in 2009 but I think we won't  
15 really know until the third or fourth quarter of  
16 this year.

17 I'll stop and take any questions if there  
18 is time. And thank you to the CEC and the staff,  
19 and certainly to Andrew and the other  
20 Commissioners.

21 Thank you.

22 COMMISSIONER MCALLISTER: Thanks a lot,  
23 Jeff. I do have one quick question. I know  
24 we're a little bit over time but I wanted to just  
25 see if you could just comment very briefly about

1 the -- you mentioned this difference between the  
2 bucket of the Obama ARRA period, you know, \$80  
3 billion, and then let's say we get \$500 billion.  
4 What's the discussion of how that money gets  
5 piped through the states effectively and out the  
6 door quickly?

7 MR. GENZER: Yeah, that's a great  
8 question, Andrew. Again, I think on Capitol  
9 Hill, I would say the use of existing programs  
10 and vehicles for which there are rules and  
11 guidelines is likely to be a method. The State  
12 Energy Program the CEC operates is a clear  
13 example of that. The Low-Income Weatherization  
14 Program, that's in a different agency, is another  
15 example of that. Creation of new programs  
16 through the reconciliation process is going to be  
17 more difficult.

18 So I think how the \$174 billion, or  
19 whatever amount they use for electric vehicles,  
20 is distributed, does that go through DOT or  
21 through DOE? HUD and DOE, under the agreement  
22 last Monday, under the announcement last Monday,  
23 are instituting a pilot program. HUD and DOE  
24 haven't historically worked very well together.  
25 That will be an interesting test.

1           But there will certainly be increased  
2 use, I think, of state and local government  
3 vehicles. The Energy Efficiency and Conservation  
4 Block Grant is one of those examples. There is  
5 certainly an interest in doing more on the  
6 competitive side. But that will make it tough to  
7 get all states interested, and also will make it  
8 tough politically to pass on Capitol Hill.

9           COMMISSIONER MCALLISTER: Great.

10          MR. GENZER: Thank you.

11          COMMISSIONER MCALLISTER: Well, thanks a  
12 lot for that. It's really great to have your  
13 expertise in the room and, really, that  
14 institutional memory from DC that we all find so  
15 useful. So thanks, Jeff, for being with us. We  
16 really appreciate it.

17          MR. GENZER: And thank you, Andrew, for  
18 making me put on a tie and a dress shirt.

19          COMMISSIONER MCALLISTER: Anytime.  
20 Great. Thanks Jeff.

21          All right, so I'm --

22          MS. RAITT: All right. Thank you.

23          COMMISSIONER MCALLISTER: -- going to  
24 pass it back to Heather for the panel, so --

25          MS. RAITT: Great. Thank you. Thank

1 you.

2           So we'll move on to the panel on Regional  
3 Building Decarbonization Activities. And the  
4 Moderator for the panel is Jennifer Nelson. And  
5 she's a Manager for the CEC's Existing Buildings  
6 Office in the Efficiency Division.

7           So go ahead, Jennifer. Thank you.

8           MS. NELSON: Great. Thank you, Heather.

9           So first off, good morning. And to those  
10 in time zones that are to the east of us, good  
11 afternoon. I appreciate everyone joining us on  
12 the panel today and all of the attendees. I see  
13 we have quite a turnout which is always wonderful  
14 to see.

15           So with that, I will now go into the  
16 panel so we can get as much Q&A in after everyone  
17 speaks.

18           So first, we will be hearing from Vincent  
19 Barnes. Vincent is the Senior Vice President for  
20 Policy and Research at the Alliance to Save  
21 Energy. Vincent has over 20 years of policy and  
22 executive leadership experience with an extensive  
23 track record engaging members of Congress,  
24 participating in regulatory rulemakings,  
25 legislative development, and stakeholder

1 engagement.

2           After Vincent, we will hear from Nat  
3 Gosman. Nat is the Executive Director of the  
4 Built Environment Branch in the British Columbia  
5 Ministry of Energy, Mines, and Low Carbon  
6 Innovation. He also has probably one of the  
7 longest titles I've seen a long time. Nat is  
8 responsible for a portfolio of policies,  
9 regulations, and programs focused on improving  
10 energy efficiency and reducing greenhouse gas  
11 emissions in buildings and communities across  
12 British Columbia.

13           Next will be John Williams. John is the  
14 Vice President for Policy and Regulatory Affairs  
15 at the New York State Energy Research and  
16 Development Authority, also known as NYSERDA.  
17 John is responsible for providing oversight and  
18 guidance of energy policy development for NYSERDA  
19 and New York State. John also currently serves  
20 as the Vice Chair of the Board of Directors of  
21 the National Association of State Energy  
22 Officials, NASEO.

23           Following John, we will have Emily  
24 Salzberg. Emily is the Managing Director for  
25 Building Standards and Performance at the

1 Washington State Department of Commerce. Emily  
2 oversees the development of codes and standards  
3 for new and existing buildings, including  
4 administration of Washington State's Clean  
5 Buildings Law.

6           At the end we will be having a  
7 presentation from Keith Hay. Keith is the  
8 Director of Policy at the Colorado Energy Office.  
9 He leads a team developing legislative policies  
10 and strategies, as well as regulatory policies,  
11 to increase the use of clean energy, energy  
12 efficiency, electric vehicles, and beneficial  
13 electrification to reduce greenhouse gas  
14 emissions. Prior to joining the Energy Office,  
15 Keith worked at the Colorado Public Utilities  
16 Commission, and was a member of the Colorado  
17 PUC's Research Section.

18           I will now be turning it over to Vincent.

19           Before I do so, I just want to remind  
20 everyone -- this question comes up quite a bit  
21 during workshops -- the presentations have all  
22 been docketed. This is being recorded, so there  
23 will be a transcript later. If you're trying to  
24 listen and you can't take notes, don't worry,  
25 they'll have everything in writing, as well as

1 you can revisit the IEPR Workshop and listen to  
2 it again in the future.

3           So with that, I will turn it over to  
4 Vincent.

5           MR. BARNES: Thank you, Jennifer. Thank  
6 you. And thank you, Commissioners. Good morning  
7 and good afternoon. My name is Vincent Barnes,  
8 Senior Vice President of Policy and Research for  
9 the Alliance to Save Energy. The Alliance to  
10 Save Energy is the lead organization on national  
11 energy efficiency policy, ensuring adoption of  
12 energy efficiency policies as a priority resource  
13 for achieving carbon reductions and mitigating  
14 climate change.

15           Slide two. Perfect. Perfect right there  
16 where you are.

17           When we talk about energy efficiency, our  
18 focus is to maintain and increase current  
19 productivity levels in all we do while both using  
20 and losing less energy. This means driving to  
21 Sacramento to Los Angeles, burning less fuel but  
22 still driving at designated speed limits, cooling  
23 and heating your home over the summer and winter  
24 using electricity or natural gas but retaining  
25 the same levels of comfort, producing goods and

1 equipment through manufacturing and industry,  
2 operating at needed productivity levels to meet  
3 demand but burning less energy and using  
4 production to generate energy that can be used  
5 elsewhere.

6           Projections indicate that to avoid a  
7 climate change disaster we will actually need to  
8 reduce total US greenhouse gas emissions by as  
9 much as 80 to 100 percent by 2050. According to  
10 a 2019 report led by the Alliance to Save Energy  
11 and ACEEE, energy efficiency alone has the  
12 ability to get the U.S. halfway to its climate  
13 goal by 2050, reducing carbon emissions by 50  
14 percent. In terms of energy savings, it's  
15 actually equals to more than \$700 billion by  
16 2050. And in terms of emissions reductions,  
17 energy efficiency alone would equal 2.5 billion  
18 metric tons.

19           Based on the study, about 46 percent of  
20 reductions will come through transportation and  
21 the nation's transition to electric vehicles,  
22 with buildings providing about a third of the  
23 reductions, and industry about a fifth. That  
24 said, buildings will deliver about 40 percent of  
25 the energy savings, followed by transportation at

1 32 percent, and industry at 27 percent.

2           Now, arguably, we are actually well on  
3 our way in identifying solutions to increase  
4 energy efficiency in transportation, though we  
5 have significant work to do as we seek to really  
6 ensure equitable access to future vehicle  
7 technologies, including charging infrastructure.

8           That said, as we look to building  
9 infrastructure, which will equal about a third of  
10 emissions reductions by 2050 and 40 percent of  
11 the energy savings, we have considerable work to  
12 do still in new construction and in existing  
13 building infrastructure, as well.

14           Next slide.

15           With that in mind, I'd like to focus  
16 specifically on the residential space with a  
17 particular focus on low-income owner-occupied  
18 housing. I propose here to focus on low-income  
19 owner-occupied because the future of energy  
20 efficiency in general is technology based, both  
21 in the production of the latest insulation  
22 techniques, in addition to the production of the  
23 latest heating, cooling, refrigeration, washing,  
24 and cooking equipment. As such, to ensure energy  
25 efficiency is adopted and utilized across all

1 demographics, we must ensure to capture, if you  
2 will, we must ensure to capture the homes and  
3 consumers where affordability actually could be a  
4 barrier.

5           Without question, the future of energy  
6 efficiency is active efficiency which, in  
7 general, is the optimization of energy efficiency  
8 as we know it today, including integration and  
9 utilization of DER-enabled devices that  
10 communicate with each other, manufacturers, the  
11 consumer, and utilities, allowing our vehicles,  
12 as the Commissioner said earlier, equipment, and  
13 appliances to receive and shed load, using energy  
14 with optimized efficiency and rarely losing  
15 energy in the process, the ultimate of energy  
16 efficiency.

17           That said, before we get there, we have  
18 to ensure equitable accessibility. And this  
19 necessarily includes equitable accessibility,  
20 something that we don't normally associate with  
21 energy efficiency, and that is high-speed  
22 broadband technologies which, in fact, are the  
23 backbone of active efficiency. If we fail to  
24 meet both challenges, that is energy efficiency  
25 equipment and products in the home, and high-

1 speed broadband to facilitate optimization, we  
2 will run the significant risk of creating not  
3 simply a digital divide, which we're all familiar  
4 with, but also an energy divide.

5           While we've identified homeowners and  
6 renters in the low-income accessibility  
7 demographic, I want to focus primarily on the  
8 owner-occupied segment, mostly because this  
9 population is generally larger than what we might  
10 anticipate. And the adoption of energy  
11 efficiency or the adoption of the future of  
12 energy efficiency within this demographic is  
13 essential if we're going to meet a net-zero to  
14 zero-emissions goal by 2050.

15           The Alliance to Save Energy recently  
16 compiled data to kind of -- to really better  
17 understand the owner-occupied low-income  
18 population. And while we continue to analyze the  
19 numbers, the preliminary data helps us understand  
20 the work before us. Some key early takeaways  
21 suggest that the low-income owner-occupied  
22 numerical demographic is actually larger than  
23 anticipated, with the number of owner-occupied  
24 low-income under \$60,000, nearly equaling the  
25 number of owner-occupied households making

1 \$60,000 or more; that's about 35.2 million versus  
2 39.3 million, respectively.

3           The focus on owner-occupied is  
4 significant as we attempt to understand how we  
5 achieve energy efficiency saturation today in a  
6 population that is challenged by income but  
7 controls or owns the residence. Now, really, is  
8 the time for us to begin to figure out how to  
9 reach the identified population before the future  
10 of energy takes off and the future of energy  
11 efficiency changes significantly. In brief,  
12 we'll need to think beyond weatherization  
13 programs and beyond tax incentives, though these  
14 programs and incentives will play a larger and  
15 significant role.

16           Next slide.

17           A number of states have embarked on  
18 innovative approaches to integrate energy  
19 efficiency within low-income communities,  
20 including owner-occupied housing. Some of these  
21 approaches include capital investments at the  
22 utility level that finance outreach, equipment  
23 placement, and retention. The impetus behind  
24 such programs are often state-imposed energy  
25 efficiency programs with a specific requirement

1 of universal access. Only through purposeful  
2 inclusion will we effectively reach all consumer  
3 populations as we think about building  
4 decarbonization. Moreover, we will need to be  
5 mindful of innovative solutions unique to low-  
6 income populations and even more unique to low-  
7 income homeowners.

8           Certainly at the Alliance, as we think  
9 about energy efficiency and as we prepare for the  
10 future of energy efficiency, a look towards  
11 equity and a look towards universal access is a  
12 key priority in our advocacy efforts.

13           I thank you for the opportunity to  
14 participate in today's proceedings and look  
15 forward to additional discussions in the future.

16           MS. NELSON: Great. Thank you, Vincent.

17           And with that, we will now move on to Nat  
18 Gosman.

19           MR. GOSMAN: Well, great. Thanks. My  
20 name is Nat Gosman. As mentioned, I'm from the  
21 BC Ministry of Energy, Mines and Low Carbon  
22 Innovation, a rather long title, I agree. We  
23 call it EMLI for short. I'm really excited to be  
24 here today to share an overview of BC's building  
25 decarbonization strategy, or the Clean Building

1 Strategy under CleanBC, the Province's  
2 overarching climate plan.

3 And I'm wondering if the slide deck is  
4 up? I'm not seeing the first slide.

5 MS. RAITT: It looks like we're having a  
6 little bit of a technical problem, give us a  
7 moment, please. How do I go up to --

8 MR. GOSMAN: Okay. Great. All right, so  
9 before I get into the strategy itself, let me  
10 first provide some background on BC climate  
11 policy.

12 Next slide please.

13 BC is a North American leader in climate  
14 action. This slide gives you a sense of how we  
15 line up relative to our peers in terms of the  
16 actions and attributes. Notably, BC has a \$45.00  
17 per ton carbon tax currently. That rate will go  
18 up to \$50.00 a ton in 2022. BC's electricity  
19 system is 98 percent clean, a great advantage,  
20 and sometimes challenge, to our decarbonization  
21 efforts. I'll touch upon, despite this is and  
22 the carbon tax, natural gas remains significantly  
23 cheaper than electricity, a large challenge I  
24 will also address.

25 Next slide please.

1           The Province has legislative targets to  
2 reduce emissions in 2030, 2040, and 2050,  
3 respectively 40, 60, and 80 percent below 2007  
4 levels. Despite BC's ambitions, these targets  
5 remain difficult to achieve.

6           Next slide please.

7           In late 2018, BC rolled out it's CleanBC  
8 Plan, including actions to reduce nearly 18.9  
9 megatons of greenhouse gases by 2030, giving us  
10 about -- all the way to our 2030 target, roughly,  
11 75 percent, and putting the Province on a path to  
12 meet our 2050 target.

13          Next slide please.

14          The 40 percent reduction target applied  
15 to the building sector requires reductions of  
16 about 1.52 megatons below reference case  
17 reductions.

18          Next slide.

19          About two-thirds of our efforts are  
20 focused on existing buildings as roughly two-  
21 thirds of those buildings standing now will be  
22 standing in 2050.

23          Next slide.

24          There are three pathways the Province is  
25 pursuing to achieve these reductions in the

1 building sector: energy efficiency of building  
2 envelopes and equipment; electrification,  
3 primarily heat pumps; and displacing fossil  
4 natural gas with renewable natural gas. I'm  
5 going to be addressing energy efficiency and  
6 electrification, primarily, in this presentation.

7           Next slide please.

8           So no doubt, similar to all of the  
9 jurisdictions here today, BC faces persistent and  
10 entrenched barriers to advancing energy  
11 efficiency and low-carbon electrification. We  
12 developed the Clean Building Strategy to address  
13 these barriers through five streams of  
14 coordinated action, including research,  
15 development, and demonstration; energy  
16 information tools; financial incentives; industry  
17 training; and codes and standards. I'm going to  
18 detail each of these streams in turn.

19           Next slide please.

20           This slide is a bit busy but places the  
21 actions in time and illustrates our market  
22 transformation principles. The goal is to build  
23 market share and industry capacity in energy  
24 efficient low-carbon technologies and practices  
25 through a series of interventions, starting with

1 R&D support, energy information measures and  
2 incentives to parallel with progressively more  
3 stringent codes and standards. So the codes and  
4 standards backstop progress over time and, at the  
5 highest level of efficiency, remove most  
6 emissions from the sector as stock turns over.  
7 Notably, program expenditures diminish over time  
8 as market share builds and codes and standards  
9 come into effect.

10           Next slide please.

11           This slide summarizes the goals for the  
12 Clean Building Strategy under CleanBC. Worth  
13 pointing out here that the majority of the  
14 strategies focused on electrification in homes  
15 and buildings which are the most cost-effective  
16 dollar-per-ton reductions in existing buildings,  
17 given the clean electricity we have up here in  
18 BC.

19           Next slide please.

20           As noted, the first stream of the Clean  
21 Building Strategy is research, development, and  
22 demonstration. The Building Innovation Fund  
23 supports projects across the Province that  
24 advance innovation in building design,  
25 construction practices, systems, materials and

1 products. The program focuses on projects that  
2 reduce emissions from building operations and/or  
3 have low embodied carbon, have potential to be  
4 scaled and, ultimately, be cost competitive with  
5 incumbent technologies.

6           The program plays a key role in  
7 increasing the availability, acceptance, and  
8 affordability of low-carbon solutions made here  
9 in BC, a small economy by North American  
10 standards but, nevertheless, one with a fairly  
11 advanced building sector -- manufacturing sector,  
12 I should say. At the same time, building  
13 industry capacity is growing to meet future codes  
14 and standards.

15           Next slide please.

16           The next stream in the Clean Building  
17 Strategy is energy information, providing  
18 information and support to tools to help British  
19 Columbians understand the value of energy  
20 efficiency and identify retrofit opportunities.  
21 One of the main platforms for this currently is  
22 our Better Homes BC web hub. The website is a  
23 one-stop shop that provides homeowners with a  
24 customized list of all incentives, including  
25 Provincial utility local government incentives

1 that are available to reduce emissions and  
2 improve efficiency in their homes.

3 Next slide please.

4 Under the same stream, the Province has  
5 committed, in CleanBC, to exploring home and  
6 building labeling requirements at the time of  
7 sale or lease with the objective of fostering an  
8 understanding the value of energy efficiency and  
9 GHG performance. We're just wrapping up analysis  
10 on our first -- sorry, on a variety of different  
11 rating approaches ranging from our current under-  
12 guide approach, which is a federal system, to a  
13 remote assessment methodology. We'll be bringing  
14 options to decision makers later this year.

15 Next slide please.

16 The next Clean Building Strategy stream  
17 is incentives. This is the largest area of focus  
18 in terms of budget allocation. The Province  
19 continues to make significant investments in  
20 programs to drive clean fuel switching,  
21 specifically electric heat pumps and envelope  
22 equipment upgrades in fossil-fuel heated homes  
23 and buildings. The goal of these programs are to  
24 reduce GHGs, improve affordability, ensure  
25 equity, and build market share and industry

1 capacity, and advance the future codes and  
2 standards.

3           The Better Homes Program provides  
4 prescriptive rebates, for example, up to \$3,000  
5 for a heat pump fuel switch. The program also  
6 partners with 21 local governments Province-wide  
7 to provide top-off incentives. So, for example,  
8 in the City of Vancouver, they currently provide  
9 a \$6,000 top-off for heat pumps, making a total  
10 incentive of \$9,000 in the City of Vancouver if  
11 you fuel switch to a heat pump.

12           The Better Homes Program also provides  
13 enhanced incentives and support for indigenous  
14 communities and income-qualified participants.

15           Next slide please.

16           The Better Buildings Program provides  
17 performance-based incentives for clean fuel  
18 switching and energy efficiency projects in  
19 large, complex buildings, and that includes both  
20 project and energy study funding. So this is a  
21 companion program to Better Homes.

22           Next slide.

23           In terms of results to date, we're seeing  
24 an increase in the sales of heat pump systems  
25 Province-wide year over year. That's said, our

1 Heat Pump Fuel Switching Program has been slow to  
2 ramp up and is tracking well below our targeted  
3 annual installs. Barriers include low consumer  
4 awareness and lack of contractor familiarity, and  
5 very much related to low-cost of natural gas  
6 relative to electricity. In many cases, the  
7 economics of fuel switching to heat pumps are not  
8 favorable.

9           Our solution to this slow ramp-up is to  
10 engage consumers and contractors on the multiple  
11 benefits of heat pumps, including heating and  
12 cooling. Given our northern climate up here,  
13 there's a need for both. And at the same time,  
14 we're working at different points of the heat  
15 pump supply chain to make sure we have the  
16 fullest range of the highest efficiency heat  
17 pumps available and the capacity to do the  
18 highest quality installations to make sure that  
19 the actual efficiency of those units are  
20 competitive with fossil fuel combustion  
21 technologies, specifically furnaces and boilers.

22           Okay. Next slide.

23           The next stream in the Clean Building  
24 Strategy is industry training and capacity  
25 building. We've been working with our utility

1 partners to conduct research on retrofit  
2 installation practices, develop best practice  
3 standards, and then training and certification  
4 regimes for retrofit contractors who participate  
5 in programs which we call our Program Registered  
6 Contractor framework, or PRC. The goal of the PRC  
7 is to build industry capacity, improve the  
8 quality of installations and the satisfaction of  
9 program participants.

10           Once the contractors are certified we  
11 include them on a list that is searchable by  
12 location on the Better Homes website, and you see  
13 an image of that here. Moving forward, the plan  
14 is to incentivize the use of the PRC alongside  
15 the actual rebates, and then make them mandatory  
16 for access to the program.

17           Next slide please.

18           Okay, the final stream of the Clean  
19 Building Strategy is energy efficiency codes and  
20 standards. So all of those market transformation  
21 initiatives are building towards these codes and  
22 standards.

23           It's worth spending a moment on the BC  
24 Energy Step Code, which is a unique development  
25 up here in BC. The Step Code is a voluntary

1 multi-step performance-based energy efficiency  
2 code that local governments can adopt in by law.  
3 The Step Code was developed to provide local  
4 governments with a standard set of above minimum  
5 code building options. They can choose a modest  
6 or ambitious step, depending on local industry  
7 capacity and political will. Each step aligns  
8 with a future commitment for the base Provincial  
9 Building Code, as you can see here on the right  
10 column of each of these graphs. And the code is,  
11 effectively a market transformation policy that  
12 provides a path and clear signal for builders and  
13 local governments to reach the 2032 net-zero  
14 energy ready target.

15           Next slide please.

16           At least 25 percent of BC municipalities  
17 at last count, this is a bit dated but,  
18 nevertheless, indicative, have adopted the Step  
19 Code in some capacity with 68 percent of new  
20 housing starts in those communities complying  
21 with above minimum code requirements.

22           Next slide please.

23           Okay, this slide details the future  
24 CleanBC codes and standards commitments. So for  
25 the Province-wide new construction codes, the

1 commitments are, respectively, 20, 40, and 80  
2 percent improvements through 2032, harmonized  
3 largely with federal and national code  
4 commitments, and notably aligned with the Step  
5 Code steps. As I mentioned, the Province is now  
6 also consulting on the development of an  
7 alterations code for existing buildings that  
8 addresses energy efficiency, climate resilience,  
9 and seismic resilience to come into effect by  
10 2024. The code is likely to have a phased  
11 implementation, similar to the Energy Step Code,  
12 but that remains to be seen.

13           Late last year the Ministry responsible  
14 for the Building Code was also tasked with  
15 supporting local governments to set their own  
16 carbon pollution standards for new buildings. So  
17 we're now, for the first time, seeing a shift  
18 from energy performance in the code to carbon  
19 performance, which is a notable development.  
20 This standard will also likely be applied like  
21 the Step Code, so voluntary steps to begin with.  
22 And then, finally, the Province will introduce  
23 its next round of Energy Efficiency Standards for  
24 space and water heating and residential electric  
25 water heaters. We're also exploring potential

1 demand response-enabled requirements for electric  
2 water heaters in these amendments.

3           Okay. Final slide here.

4           So reflecting on the overall challenges  
5 and opportunities for the Clean Building Strategy  
6 going forward, one of the biggest challenges we  
7 face is that program incentives remain the  
8 primary driver for the change under the strategy,  
9 yet the sustainability of those funds is not  
10 guaranteed. And even if it was, our analysis  
11 shows that achieving our goals through incentives  
12 alone would be prohibitively expensive, as this,  
13 our graph -- or rather this graph shows.

14           The solution to this problem is to  
15 continue to enact progressively more stringent  
16 codes and standards in parallel with those  
17 incentives, as I've described. To support those  
18 codes and standards, our market transformation  
19 approach must result in cultural and  
20 institutional shifts towards the recognition of  
21 the value of energy efficiency and carbon  
22 reduction in buildings by people in their  
23 everyday life, and by financial institutions who  
24 can help to finance the shift alongside or in the  
25 absence of incentives.

1           And that wraps it up for my presentation.

2 Thank you.

3           MS. NELSON: Wonderful. Thank you, Nat.

4 I was a little slow there because I was taking  
5 notes on some of your comments, and I appreciate  
6 that.

7           Next up we will be hearing from John  
8 Williams.

9           MR. WILLIAMS: Right. Good morning.  
10 Thank you, Jennifer, and thank you,  
11 Commissioners, for inviting New York and NYSERDA  
12 here. Great topic of conversation in terms of  
13 looking at building decarbonization and getting a  
14 good understanding on how you're looking at it in  
15 California. And happy to give a perspective on  
16 where we are in New York. It's kind of a lot of  
17 planning activities going on right now, but we'll  
18 kind of touch on one programmatic aspect that  
19 we're also looking to help to advance building  
20 decarbonization.

21           And the great thing about this kind of  
22 collaboration, and hopefully it can continue, is  
23 that, you know, what we're really looking to try  
24 to do, whether it's in New York or with other  
25 states, is really build markets for the products

1 and the services that are going to be needed to  
2 realize successful building decarbonization. And  
3 I think having a good perspective on what's going  
4 on in a lot of different places in the country  
5 and in the continent would be -- is always very  
6 helpful and provides a good collaboration  
7 opportunity.

8           So next slide.

9           So the first thing I'll talk about that  
10 we're working on now is we have a Climate Action  
11 Council that is in the process of developing a  
12 scoping plan designed to meet the statutory  
13 requirements of our new climate act, our Climate  
14 Leadership and Community Protection Act. That is  
15 putting New York on a course for 40 percent  
16 emission reduction from 1990 levels by 2030, and  
17 85 percent emission reduction by 2050, with a  
18 goal towards carbon-neutrality, as well.

19           Part of the Council process was to break  
20 down into advisory panels, sector-specific  
21 advisory panels, to try to understand strategies  
22 and approaches that the Council can consider in  
23 its scoping plan. And I'll reflect on actions  
24 that were recently recommended for the Council to  
25 consider from our Energy Efficiency and Housing

1 Panel. And this panel was comprised of state  
2 agencies, and our housing, energy agencies, as  
3 well as buildings industry representatives,  
4 labor, environmental, and environmental justice  
5 interests all coming together to deliberate  
6 issues, try to reach consensus if we can. And  
7 I'll reflect on the recommendations suite that  
8 they recently presented to the Council.

9           So the next slide.

10           And so what the panel also then did was  
11 take account of, well, what does that mean to be  
12 a decarbonized building sector in New York? And  
13 in New York, it's going to be very tightly tied  
14 with electrification. We do have a 100 percent  
15 zero-emissions electricity requirement in our  
16 Climate Act, 70 percent renewables by 2030, and  
17 then moving on to 100 percent zero-emission by  
18 2040.

19           Piggybacking on that system is going to  
20 be key in terms of how we get it to electric --  
21 how we get to decarbonization in buildings. So  
22 the movement of a lot of thermal load and other  
23 load from our building sector onto the electric  
24 system is really going to be the key on how we  
25 get to that as also tying in some significant

1 energy efficiency improvements, as well. So that  
2 will be primarily the combination that we'll look  
3 at. And you know, that is -- that's got a big  
4 goal at the end, too; right? It's an elimination  
5 of onsite GHG emissions from the combustion of  
6 fossil fuels in the entirety of the building  
7 sector, residential, commercial, and  
8 institutional. Big goals.

9           Next slide please.

10           And just a bit of scale, what we're  
11 talking about in New York, probably, and maybe in  
12 order of magnitude, a little bit less than  
13 California. We do have 6.2 million buildings in  
14 the state. And they do span quite a spectrum of  
15 building types.

16           The one thing that we do need to think  
17 about is what is it going to mean to get to the  
18 buildings -- an appropriate buildings'  
19 contribution for that 40 percent emission  
20 reduction by 2030? What that will mean is that  
21 we will need to retrofit 200,000 homes every year  
22 to all-electric and energy efficient, as well as  
23 take 370,000 commercial and institutional  
24 buildings off of fossil fuel. That is, as  
25 Commissioner McAllister stated at the beginning

1 in his comments, means we are moving directly to  
2 scale-based activities. There's not a lot of  
3 time to really think about incremental approaches  
4 to what type of programs work.

5           And in order to do that, and in order to  
6 ensure that we've got an equitable transformation  
7 at scale, means we need to call on private  
8 capital and get that capital focused on that  
9 highly-efficient building outcome. We need to  
10 make sure our public incentives are geared  
11 towards adoption and getting that behavioral  
12 change that Nat was just talking about. So how  
13 do we have a relatively limited amount of public  
14 incentives, encourage adoption of these new  
15 approaches, and then how do we ensure that we  
16 have appropriate public resources that are  
17 electrifying buildings for low- and moderate-  
18 income New Yorkers?

19           Next slide please.

20           So what I'm going to do is there's -- so  
21 the panel pulled together recommendations in a  
22 number of different categories, and these are  
23 specific mitigation strategies that the panel had  
24 come up with. These are really groupings of it.  
25 There's a ton of recommendations behind each of

1 these segments.

2           Maybe I'll just call out the first one in  
3 terms of how we think about phasing out fossil  
4 fuel use in buildings. This ranges in a lot of  
5 activities from legislation that would remove  
6 what are current subsidies for natural gas system  
7 uses, literally paying for the last 100 feet of  
8 natural gas system expansion to get to the  
9 building connected to a distribution system. The  
10 panel is recommending that we really do need to  
11 take focused action on that as it does create  
12 complications in our calculations on the benefits  
13 of heat pumps and electrifying the building  
14 otherwise.

15           It requires us to take a strong, hard  
16 look at building codes. New York currently has a  
17 cost-based code. The recommendation is to shift  
18 that to a carbon-based code and to do that in a  
19 relatively short period of time, we only have  
20 about two cycles of code advancement in order to  
21 make sure we are embedding carbon approaches, so  
22 that we can utilize the carbon code as a tool to  
23 get to decarbonization.

24           Appliance Standards is another one in  
25 helping us to phase out fossil fuel use,

1 essentially mandating over a period of time that  
2 when you do have fossil-based equipment and it  
3 comes to its end of life, that our standards will  
4 require that the replacement has to be electric  
5 technology.

6           And then there's also a lot of  
7 recommendations on how we should be organizing  
8 our system benefits supported programs, as well.

9           So that's kind of just an example of  
10 these mitigation strategy sets that the Advisory  
11 Panel is recommending to the Council, similar to  
12 our benchmarking-type activity, shifting that  
13 reliance from fossil gas to a clean energy  
14 system. Also taking focus on HFCs. And given  
15 that what we have in New York in our carbon  
16 accounting approaches, we do see an increased  
17 percentage of the buildings' emissions coming  
18 from HFCs adopting a 20 percent global warming  
19 potential. And that really kind of changes some  
20 of the equation and the impact on the way we look  
21 at HFCs in our overall buildings emissions  
22 contributions.

23           Next slide.

24           Aside from our mitigation strategies, we  
25 also have these enabling strategies. And this is

1 really building the market around support for  
2 decarbonization of our building segments, so that  
3 is looking at public financial incentives. How  
4 do we think about financing for our building  
5 sector? And that is looking at public and  
6 private financing and looking at it in all  
7 different types of building typologies.

8           Workforce issues that come to the fore,  
9 ensuring that educating our consumers and getting  
10 the energy consumer ready for changes in the  
11 system that they may not be used to thinking  
12 about or seeing, that is going to be a key to  
13 success.

14           Also need to think about technology  
15 innovation, as well as how do we look at embedded  
16 carbon into our building products? And how do we  
17 utilize new policies that account for embedded  
18 carbon as we think about decarbonization.

19           Next slide please.

20           And so we've got a lot of like the levers  
21 turned up very high from these recommendations.  
22 But even at that, I will say the challenge is  
23 really confronting us full on as we think about  
24 it in New York. But when we look at our baseline  
25 buildings' contributions in 1990 versus the

1 projected output from this full suite of  
2 recommendations from the Advisory Panel, moving  
3 from 103 million tons to 75, that actually is  
4 only at about 38 percent of the emissions  
5 reductions that we would look to.

6           You know, buildings is also considered  
7 among the full -- when we look at our full  
8 economy and the contributions that we need to  
9 seek from all of the building sectors, we  
10 actually were hoping to get a little bit above 40  
11 with buildings by 2030. So, clearly, we've got a  
12 big challenge in terms of how we think about  
13 emissions from our building sector, even with us  
14 going kind of full throttle.

15           Next slide please.

16           Aside from our Climate Action Council, we  
17 also have two roadmaps that we're working on at  
18 NYSERDA. One is a Carbon-Neutral Buildings  
19 Roadmap -- next slide -- which is intended to  
20 take a long-range perspective on how we can think  
21 about and galvanize towards building  
22 decarbonization.

23           On the left, you'll see this roadmap is  
24 taking a sector focus. It's looking at four  
25 building typologies which represent about 50

1 percent of building energy use in New York State.  
2 And we're looking to try to develop, you know,  
3 both a common approach and a common understanding  
4 of what it means to be a carbon-neutral building,  
5 and then develop the practices, the standards, as  
6 well as the solution sets, all of which will be  
7 necessary to move forward with that. That is  
8 really the purpose of this roadmap, taking a very  
9 long-term approach. Also ensuring we have an  
10 equity and environmental justice emphasis in this  
11 approach will be key to success in creating a  
12 roadmap that is implementable.

13           Next slide.

14           Maybe this is just a way of looking at  
15 the various complexities of the issues that we  
16 need to account for in this roadmap, whether it's  
17 looking at how we get electrification done, to  
18 resilience implications, the equity  
19 considerations, as well as making sure that part  
20 of the process and the way we think about  
21 solutions is also accounted for, so what's the  
22 nature of the stakeholder engagement that we  
23 should look at?

24           Next slide.

25           And the roadmap is actually coming to a

1 common set of solutions, perhaps fairly well  
2 known. But the good point of the roadmap is  
3 making sure everybody does get on the same page  
4 and can think holistically about all of these  
5 options as we look to building decarbonization  
6 strategies. So efficiency, electrification are  
7 clearly two critical aspects.

8           There was a lot of talk earlier about  
9 load flexibility and making sure that the  
10 buildings are looking at that. And then how we  
11 integrate distributed energy resources, whether  
12 it's PV, batteries, et cetera, into the building  
13 is key.

14           Maybe just flipping up fast, I see I'm at  
15 time, we do have a Building Electrification  
16 Roadmap. Maybe if we could just jump ahead in  
17 the slide? A Building Electrification Roadmap  
18 which, on the next slide, shows it's a ten-year  
19 perspective on how we think about electrification  
20 strategies. This will also be something that we  
21 want to make sure that we are looking at all --  
22 on the next slide -- looking at all of the policy  
23 analysis and strategy development activities that  
24 are needed to get building electrification,  
25 primarily looking at heat pumps, involved in all

1 markets.

2           On the next slide, it's just talking  
3 about one program aspect is Retrofit New York,  
4 which is looking to get net-zero energy retrofits  
5 in existing buildings in New York State. And  
6 it's looking at building envelopes, all of the  
7 mechanical systems, onsite distributed  
8 generation, grid interactivity with both EVs, as  
9 well as load flexibility, as well.

10           And on the next slide what -- the key of  
11 Retrofit New York is really to look at getting  
12 all of the providers of these services together  
13 in one space to be able to provide collective  
14 resources as their solution set. So who are the  
15 solution providers? Who are the component  
16 manufacturers? And getting them connected with  
17 the building owners is the key to getting  
18 Retrofit New York up and off the ground, but then  
19 also creating a replicable model so that scale of  
20 the implementation of net-zero energy actions can  
21 take place in, really, quite an accelerated pace.  
22 And that replicability is the key to how we are  
23 going to be advancing decarbonized solutions in  
24 New York. And, hopefully, Retrofit New York can  
25 be a successful model with that.

1           And I will conclude there. I've left, on  
2 the last slide, just some links to some of the  
3 resources that I've identified here today.

4 Thanks very much.

5           MS. NELSON: Thank you, John. That was  
6 wonderful.

7           Just a reminder to the attendees, if you  
8 have any questions for any of the panelists this  
9 morning, please click on the Q&A button at the  
10 bottom or top of your screen, and then type them  
11 out. And then we will make sure or hope to  
12 address them during the Q&A period.

13           And now we will move on to Emily  
14 Salzberg.

15           MS. SALZBERG: Great. Thank you,  
16 Jennifer. All right.

17           Good morning everybody. And thank you,  
18 Commissioners, for having me here today. My name  
19 is Emily Salzberg and I lead our Buildings  
20 Standards and Performance Team at the Washington  
21 State Department of Commerce. So my goal in the  
22 next 10 to 12 minutes or so will be to talk about  
23 building sector decarbonization as a key  
24 component of our state's energy strategy. I'm  
25 also going to highlight one key activity that we

1 have currently underway in Washington, which is  
2 the first in nation statewide energy performance  
3 standard for existing large commercial buildings.

4 Next slide.

5 Commerce's purpose is to strengthen  
6 communities. Washington State Energy Office is  
7 situated within the Department of Commerce.

8 Next slide.

9 Before we get going, I want to briefly  
10 set the backdrop for building decarbonization in  
11 Washington. In 2019, the legislature directed  
12 the Department of Commerce to revise the State  
13 Energy Strategy, which was last updated in 2012,  
14 to align the strategy with the requirements of  
15 the Energy Independence Act, the Clean Energy  
16 Transformation Act, and the state's greenhouse  
17 gas emission reduction limits. Commerce was  
18 responsible for convening a 27-member Advisory  
19 Committee which consisted of legislative members,  
20 utilities, community-based organizations,  
21 business leaders, and others to provide guidance  
22 and feedback to Commerce in the development of  
23 the strategy.

24 Next slide.

25 Our state law declares that a successful

1 state energy strategy needs to balance three  
2 goals, to maintain competitive energy prices that  
3 are fair and reasonable, to increase  
4 competitiveness by fostering a clean energy  
5 economy and jobs, understand and address the  
6 needs of low-income and vulnerable populations,  
7 and to reach and respond to both urban and rural  
8 communities.

9           Next slide.

10           So the final goal, to boil all of this  
11 down, is to meet the state's emissions reductions  
12 limits, which is in statute. These limits are  
13 shown here on the slide. The results of the  
14 economy-wide decarbonization modeling that was  
15 completed in the strategy development indicates  
16 that we can get there but we need to take swift  
17 action.

18           There are five key strategies that  
19 underpin in all of the decarbonization pathways  
20 that we analyzed, those are energy efficiency,  
21 clean electricity, electrification, clean fuels,  
22 and carbon sequestration.

23           Next slide.

24           This net-zero 2050 graphic depicts the  
25 five pathways to achieving net-zero emissions by

1 2050 which include 100 percent clean electricity,  
2 clean electric energy-efficient buildings,  
3 flexible low-carbon transportation, innovation to  
4 enable a low-carbon industry, and carbon  
5 sequestration.

6           Next slide.

7           So I would like to briefly talk about  
8 equity because it is woven throughout our  
9 strategy. A few specific approaches to equity  
10 that we deeply considered and are now working to  
11 incorporate into the very fabric of our work are  
12 procedural equity, distributional equity, and  
13 structural equity.

14           So just to provide a few examples of what  
15 I mean by that, with procedural equity we want  
16 transparent, fair, and inclusive processes that  
17 require us to think differently about how we  
18 engage with the public and, most importantly,  
19 communities that are disproportionately impacted  
20 by climate change. This means that stakeholder  
21 work and public meetings may need to happen  
22 outside of the 8:00 to 5:00 schedule. It may  
23 mean traveling to be within communities, to hear  
24 concerns, and engage in meaningful and hard  
25 listening to inform how we move forward.

1           With distributional equity, in  
2 Washington, we have the ability to target some of  
3 our resources to overburdened communities  
4 specifically. Our Washington State Department of  
5 Health has a data tool that we use to identify  
6 environmental health disparities within  
7 communities and within census tracts. We can use  
8 this tool to not only distribute resources to  
9 these communities that most need them, but we can  
10 also track our progress in providing those much-  
11 needed resources over time.

12           Next slide please.

13           So shifting our focus, just a bit, back  
14 on buildings, so this slide really encompasses  
15 where we need to land. This is the end state for  
16 the building sector, clean electricity fueling  
17 very efficient and healthy electric buildings.

18           In Washington State, we have the Clean  
19 Energy Transformation Act as foundational policy.  
20 This law commits Washington to an electricity  
21 supply free of greenhouse gas emissions by 2045.  
22 Our work then becomes making buildings, both new  
23 and existing, as efficient and electrified as we  
24 can. So we need to shift from fossil fuels to  
25 electricity to power commercial and residential

1 buildings. We need to accelerate the path to  
2 net-zero buildings. We need to weatherize and  
3 retrofit existing building stock. And we need to  
4 fundamentally reform existing programs, codes,  
5 and standards.

6           So none of this information is new or  
7 groundbreaking. It's very consistent with the  
8 things we've heard from the other panel members.  
9 Pretty much, every strategy and roadmap out there  
10 covering the building sector includes these  
11 recommendations.

12           I do want to take a moment, though, to  
13 note that there are few bigger picture and less  
14 clear-cut items that we need to consider if we  
15 are to move forward in a productive way. Here  
16 are a few additional examples of recommendations  
17 from the building's chapter of the strategy. The  
18 one key component is aligning greenhouse gas  
19 limits or carbon goals with code, utilities, and  
20 program mandates.

21           What we have seen emerge as states have  
22 prioritized carbon emissions is that traditional  
23 energy codes, utility conservation programs, and  
24 efficiency programs that have been around for  
25 quite some time lean on energy reduction as the

1 primary metric. We aren't going to actually have  
2 all-electric new construction if we don't  
3 fundamentally change the way we look at fuel  
4 source in codes. So it was great to hear some of  
5 my fellow panel members speaking to that carbon  
6 metric in codes. We don't have that in  
7 Washington State and that's the next step that we  
8 need to pursue.

9           So let's think about the same paradigm  
10 within workforce and leadership. In Washington,  
11 we're asking ourselves, what does it look like to  
12 build leadership capacity for building  
13 decarbonization? This is a complementary but  
14 fundamentally different approach to our work.  
15 What will it take to train a workforce to speak  
16 to homeowners, for example, about the connection  
17 between natural gas ranges and indoor air  
18 pollutants and asthma? What will it take to  
19 build leadership at the state level and across  
20 state agencies and local governments to guide the  
21 market forward in the direction that we know we  
22 need to head? Now I don't have answers to all of  
23 those questions, but we certainly have been  
24 spending a lot of time thinking about them.

25           Next slide please.

1           So in Washington, much like California,  
2 buildings are actually -- they are the second  
3 greatest contributor to greenhouse gas emissions.  
4 And they are the fastest growing source of  
5 emissions by sector here in Washington State.  
6 Greater efficiency and electrification in  
7 buildings has both short and long-term benefits.  
8 It avoids the need for clean fuel investments.  
9 And it results in significant reductions in  
10 energy demand. We have a lot of work to do.

11           Next slide. All right.

12           I thought it might be helpful to briefly  
13 highlight a key effort that we have in Washington  
14 State that's underway in the building sector.

15           So in 2019, the Washington legislature  
16 passed the state's Clean Buildings Law which is  
17 energy performance standard for existing large  
18 commercial buildings. So this is a mandatory  
19 performance standard for buildings over 50,000  
20 square feet. And it uses ASHRAE Standard 100 as  
21 a reference with Washington state amendments.  
22 All buildings in the state need to benchmark and  
23 then complete energy management and operations  
24 and maintenance planning.

25           The buildings that are found to be over

1 the energy use intensity target by building type  
2 must then make improvements and changes to that  
3 building to bring the energy use down within or  
4 below the target that Commerce has set by that  
5 building type. Compliance is a building owner  
6 obligation and it's on a five-year cycle. The  
7 building owners need to submit documentation  
8 every five years to comply with the law.

9 Commerce has authority to fine buildings  
10 for noncompliance, so this law is enforceable.  
11 There are some exempt buildings and conditions,  
12 such as agricultural and industrial uses. We do  
13 have exemptions for financial hardship,  
14 recognizing that not all building owners have  
15 access to capital to make changes to their  
16 buildings. And compliance for the mandatory  
17 portion of this law starts in 2026.

18 So currently underway, we're launching an  
19 early Adopter Incentive Program on July 1, so  
20 just a couple weeks away now, to provide  
21 financial assistance to building owners for early  
22 compliance with the standard. We have \$75  
23 million available for this program. The  
24 Incentive Program has been a key component for us  
25 to get the standard launched. We have a five-

1 year period to work more closely with building  
2 owners, to provide technical assistance where  
3 needed, and to partner closely with utilities on  
4 the administration of this program.

5           While the incentive funding was  
6 authorized by the state, it's paid to building  
7 owners by the utilities, and then the utility  
8 claims a tax credit within a two-year period  
9 following the incentive payment. The state  
10 portion can be paid in addition to utility-funded  
11 conservation programs.

12           Multifamily buildings are not subject to  
13 the mandatory compliance but they can participate  
14 in the incentive program.

15           So we have equity considerations built  
16 into the design of the Incentive Program to the  
17 best of our ability and in alignment with the  
18 authority that commerce has in statute.

19           Our team did extensive stakeholder work  
20 in the design of this program. We have a first-  
21 come, first-served portion of funding for  
22 building owners. And then we have a reservation  
23 system for building owners that meet criteria to  
24 participate in the equity and inclusive portion  
25 of our program. Buildings with the highest

1 energy burden, affordable housing providers, and  
2 those in rural and overburdened communities can  
3 all access incentive funding through this  
4 reservation system, in addition to additional  
5 technical assistance.

6           We're also working to create a Washington  
7 State building registry using data from all of  
8 our 39 county assessors in Washington State.  
9 This registry is the foundation of the database  
10 portals, that we're going to be launching here in  
11 just a couple weeks, to track participation in  
12 the Incentive Program and mandatory compliance  
13 over time.

14           So just a couple of key takeaways from  
15 this process over the last two years, the  
16 importance of stakeholder work, and an inclusive  
17 public process. Our stakeholders, at this point,  
18 are sick of us. They have our team on speed dial  
19 and they give us an earful when they don't like a  
20 decision that we've made. Our team takes this as  
21 a compliment that we've built up the trust  
22 necessary to design a program together that will  
23 work as well as possible for the state as a  
24 whole.

25           Next slide.

1           Great. I want to thank you for your  
2 time. And I'm happy to answer any questions that  
3 come up during the Q&A portion.

4           Thank you so much, Jennifer.

5           MS. NELSON: Great. Thank you, Emily.  
6 It's interesting to see what Washington is doing  
7 and some opportunities where we can learn from  
8 what you're doing. It's wonderful.

9           And with that, we will now move on to our  
10 last speaker -- or presenter.

11           Keith Hay, I will pass the baton over to  
12 you.

13           MR. HAY: Good morning, Commissioners.  
14 And thank you to everyone for having me and  
15 having Colorado here to share with you our  
16 experiences on building decarbonization. I  
17 wanted to walk a little bit through the statutory  
18 language that underpins some of the work that we  
19 are doing here, share with you a bit about our  
20 equity work, as well as some of the analytical  
21 work we've done over the last year-and-a-half  
22 here in Colorado, and then finish off talking  
23 about current policy here in the state. And for  
24 those who don't know, we are nearing the end of  
25 Colorado's legislative session. And so much of

1 what I will share is still a work in progress and  
2 in flux and won't be done until we get to the end  
3 of our session in mid June.

4           So next slide please.

5           So just quickly, the mission of the  
6 Energy Office here in Colorado is to reduce  
7 greenhouse gas emissions and consumer energy  
8 costs by advancing clean energy, energy  
9 efficiency, and zero-emission vehicles for all  
10 Coloradans.

11           Next slide.

12           So in Colorado's 2019 legislative  
13 session, we passed 14 different bills that were  
14 intended to help the state reduce greenhouse gas  
15 emissions. So it really started with making sure  
16 that our Department of Public Health and  
17 Environment was setting a really solid 2005  
18 baseline. And for us here in Colorado, at least  
19 part of that challenge had to do with data  
20 related to emissions from our oil and gas  
21 production sector. We also adopted statutory  
22 language requiring emissions reductions of 26  
23 percent by 2025, 50 percent by 2030, and 90  
24 percent from 2050, really built off of that 2005  
25 baseline.

1           In addition, there was statutory language  
2 that gave our Air Quality Control Commission, our  
3 air regulators, broad authority to adopt rules to  
4 reduce greenhouse gas emissions in every sector  
5 of the economy. And the way that the  
6 administration and the Air Commission are working  
7 is really on a sector-by-sector basis. And so  
8 this year, we've got one set of rulemakings that  
9 will be dedicated to the built environment. We  
10 are working through two different sets of  
11 transportation rulemakings, working through a  
12 rulemaking for the industrial sector.

13           So far we have not looked at adopting  
14 rules in the electric power sector. And that is  
15 really as a result of an additional bill that  
16 passed in the 2019 legislative session that  
17 directed the state's largest utility, Xcel  
18 Energy, to meet at least an 80 percent emissions  
19 reduction by 2030 in their next electric resource  
20 plan. And that was filed on March 31st of this  
21 year.

22           But in addition to requiring Xcel to file  
23 what we are calling the Colorado Clean Energy  
24 Plan, it allowed any other electric utility in  
25 the state to file a clean energy plan meeting at

1 least an 80 percent emissions reduction target by  
2 2030. And if a utility did that and the plan was  
3 approved by the Commission, and the emissions  
4 reductions were verified by the Air Quality  
5 Control Commission, then that utility would be  
6 free from any additional regulation on its  
7 emissions through 2030.

8           So that's the foundation on which a lot  
9 of our work in the built environment is coming  
10 from.

11           Next slide please.

12           So in 2020 we took on a couple of  
13 different things here in Colorado. And I'll  
14 speak next about a roadmap process that looked at  
15 emissions reductions. But we also started a  
16 conversation coming out of that 2019 legislation  
17 around adopting a climate equity framework here  
18 in Colorado. And it's really built off of these  
19 six principles.

20           And similar to the work that's happening  
21 in Washington, we are also building a climate  
22 equity data viewer that will allow the state to  
23 look at census tract-level data on different  
24 economic, health condition characteristics,  
25 emissions in those areas, so that as we build out

1 different climate policies we are able to target  
2 those communities for either initial investments  
3 or significantly greater levels of investments.

4           And just recently our Public Utilities  
5 Commission adopted a decision in Xcel Energy's  
6 Transportation Electrification Plan proceeding  
7 where my office advocated that the Commission  
8 require the company, a public service, to use  
9 these six principles to go into these communities  
10 using the data viewer to identify them and work  
11 with those communities to explore how best to  
12 make investments to electrify transportation in  
13 those communities. We also advocated for at  
14 least 25 percent of the total budget being spent  
15 in those communications once they're identified  
16 and once that process is completed.

17           We're still working through some of the  
18 finer points of those details but, ultimately,  
19 the Commission did adopt that decision. And so  
20 at least \$25 million over the next three years  
21 will be invested in heavily impacted communities,  
22 what we here are calling high emissions  
23 communities before our PUC.

24           Next slide please.

25           So we also conducted, with the help of

1 Energy and Environmental Economics, a Greenhouse  
2 Gas Pollution Reduction Roadmap here in Colorado.  
3 And the intention of the roadmap was, first of  
4 all, to help us assess where we were as a state  
5 in our emissions, then to help lay out a  
6 trajectory or set of scenarios that would help us  
7 meet those commitments from that 2019  
8 legislation, and finally to help us adopt a near-  
9 term action plan.

10           During the course of the more than year  
11 that we were conducting this, we did have one  
12 hiccup. Most of our modeling had been conducted  
13 by the time the COVID-19 pandemic started. And  
14 so we actually needed to step back and re-  
15 evaluate a lot of that initial modeling and  
16 you'll see that reflected in the next slide. But  
17 during that process we conducted several  
18 community workshops. We were able to hold them  
19 online, had more than 600 people attend those  
20 workshops, as well as received several thousand  
21 emails.

22           So the result of that showed us that the  
23 Colorado buildings are the fourth leading source  
24 of emissions overall. Transportation is the  
25 highest, followed by electric power sector, then

1 our oil and gas development, and finally the  
2 built environment.

3           And this set of graphs just shows where  
4 we are in terms of emissions trajectory. And  
5 that 2019 action scenario in the middle is really  
6 the current path that Colorado is on based on the  
7 outcomes and the implementation of all of that  
8 legislation from the 2019 session.

9           If you'd like to go to the next slide?

10           So the really big takeaway for us here in  
11 Colorado, and this is no different than you've  
12 heard from many of the other speakers today, is  
13 reaching our climate goals really starts with  
14 continuing the swift transition away from coal to  
15 renewable energy, increasing building efficiency  
16 and electrification, and doing both of those  
17 things while addressing issues, equity issues, in  
18 the design of the policies to achieve those  
19 goals.

20           Next slide.

21           So I just wanted to take a moment to  
22 share with you the progress that Colorado is  
23 making on that clean energy transition. Over the  
24 course of the last year-and-a-half the six  
25 utilities in our state that operate 99 percent of

1 the fossil generation have publicly committed to  
2 at least an 80 percent reduction by 2030. Xcel  
3 Energy, which filed its plan in March, is  
4 targeting somewhere between an 85 and an 87  
5 percent emissions reduction by that time frame.  
6 And Tri-State Generation and Transmission, which  
7 also has a resource plan before the Commission  
8 right now, has an initial proposal to reach an 84  
9 percent emissions reduction.

10           We are working with the other four  
11 utilities listed here to determine when they will  
12 file their clean energy plans and the process  
13 that will be used at the Commission to verify  
14 those emissions reductions, so that we anticipate  
15 within the next one to two years all six sets of  
16 plans will have gone through Commission approval  
17 and will then be enforceable, guaranteeing that  
18 we will get the emissions reductions that we are  
19 anticipating. But this really is a cornerstone  
20 of both the state's overall decarbonization  
21 strategy, but also our building strategy.

22           Next slide.

23           And the last piece of our analytical work  
24 that we did in 2020 was we conducted a beneficial  
25 electrification study looking at both the sets of

1 potentials, as well as the market barriers, in a  
2 set of policy recommendations here in Colorado.  
3 And that helped frame both some of the work that  
4 we did in the roadmap, as well as what we are  
5 doing in the current legislative session.

6           Next slide.

7           So this is just a quick list of the near-  
8 term actions that were laid out in the roadmap.  
9 I think the key is that this set of policies is  
10 intended to get to about a 2.5 million to 3  
11 million ton reduction by 2030, which gets us  
12 about three-quarters of the way to the overall  
13 goal that we need from the built environment in  
14 order to stay on track to meet the 50 percent  
15 target by 2030.

16           Next slide.

17           So a lot of what I have to say about  
18 benchmarking has probably already been said from  
19 the folks in Washington. And, actually, as I was  
20 talking with you this morning, just got a note  
21 that we've passed second reading on this bill.  
22 But we are currently running legislation that  
23 would target buildings over 50,000 square feet.  
24 We think that, when implemented, the policy will  
25 reach roughly a million metric ton greenhouse gas

1 reduction and lead to some initial savings, as  
2 well.

3           I think what was an interesting  
4 transition for us as we looked at the  
5 benchmarking and performance legislation is that  
6 we have implemented now, instead of just an  
7 energy performance standard, really targeting an  
8 emissions reduction standard to meet the 2025 and  
9 2030 climate goals. And so as the bill stands  
10 now, we would start building benchmarking this  
11 year. And we would also, in October of this  
12 year, stand up a task force that would look at  
13 different pathways that covered buildings could  
14 use to meet those emissions reductions of about a  
15 five percent reduction by 2025, and a 20 percent  
16 reduction by 2030. That task force has about a  
17 year to work and then it would make  
18 recommendations and we'd adopt a rulemaking.

19           Next slide.

20           We're also looking at legislation that  
21 would require covered utilities to file plans  
22 with the Public Utilities Commission to implement  
23 electrification through rebates and incentives to  
24 homeowners.

25           Next slide.

1           We are also looking at adopting clean  
2 heat legislation that would focus really on the  
3 transition in the gas utility side of emissions  
4 reductions. It would put in place a 22 percent  
5 emissions reduction by 2030. It also targets  
6 about a six percent emissions reduction by 2025  
7 and provides a flexible of set strategies and  
8 pathways for utilities to meet those emissions  
9 reductions standards, including efficiency,  
10 electrification, hydrogen, and a set of recovered  
11 methane sources. It would also remove a  
12 prohibition that's currently in PUC rules that  
13 prohibits fuel switching.

14           Two more bills that I would highlight is  
15 we are focused on also providing stimulus funding  
16 through state stimulus of about \$50 million, that  
17 most of that would flow into our Clean Energy  
18 Fund, or Colorado's Green Bank, to help with the  
19 transition in both residential and commercial  
20 environments. And a small portion of that \$50  
21 million would also flow into a loan program that  
22 my office runs to help income-challenged  
23 Coloradans make energy efficiency and renewable  
24 energy investments.

25           The last two pieces of action that I

1 would really highlight is that our Public  
2 Utilities Commission currently has an open  
3 miscellaneous docket in which they are pursuing  
4 investigations on decarbonization strategies on  
5 the gas side. And as a result of a settlement in  
6 a recent gas rate case, my office and other  
7 parties came together and filed a petition for  
8 rulemaking with the Commission to implement  
9 short-term planning rules.

10           So let me stop there. And I look forward  
11 to the conversation and discussion. And thank  
12 you all.

13           MS. NELSON: Thank you, Keith.

14           With that, that concludes the panel  
15 presentations. I want to thank Vincent, Keith,  
16 Nat, John, Emily. Your presentations really  
17 highlighted some of the leadership and the work  
18 and the strategy that's going into this, you  
19 know, the question of how do we decarbonize our  
20 communities and our buildings? And it's  
21 wonderful and exciting. It's a big lift and I  
22 appreciate all of your time today to share that  
23 with us.

24           I also want to pass it over to our  
25 virtual dais for some questions. In addition to

1 Commissioner McAllister and Commissioner Gunda  
2 with the California Energy Commission, we've also  
3 been joined by California Public Utilities  
4 Commission Commissioner Cliff Rechtschaffen.  
5 Thank you. And I will give you the panel for if  
6 you have any questions or comments for any of the  
7 panelists this morning.

8           COMMISSIONER MCALLISTER: Thank you very  
9 much, Jennifer. Agree with your assessment, that  
10 was fantastic. I'm really glad we are getting  
11 this broad perspective because I think probably  
12 all of us here in California have been taking  
13 copious notes. And thanks for, really, all the  
14 well organized and thought provoking and, really,  
15 commendable activities that your -- your  
16 presentations, but also the actual activities  
17 you're talking about in your states and province.

18           Let's see, I guess I'm going to -- so we  
19 have until the hour, we have until noon,  
20 according to the agenda, so we've got a good 20  
21 minutes for questions from the dais. We don't  
22 have to use all of it. I see we have a bunch of  
23 questions coming in from the attendees, as well,  
24 so that's great. Lots to think about it.

25           So I guess I wanted to just -- I have a

1 ton of questions but I'm only going to ask one,  
2 and then I'm going to pass it to my colleagues on  
3 the dais here.

4 Thank you, Commissioner Rechtschaffen for  
5 joining us.

6 So you know, you've talked -- you've all  
7 talked about in some way, most of you anyway,  
8 about the sort of new strategies, including  
9 performance-based, either incentives or mandatory  
10 standards, you know, challenges for sort of  
11 developing equity and using metrics there, which  
12 is fantastic. I think there's a ton to talk  
13 about in equity. I want to just commend  
14 Washington State. And I know Michael Furze and  
15 all the team there is really dedicated to kind of  
16 unpacking the equity issues and getting -- making  
17 progress through that lens. And really  
18 appreciated Vincent's focus on that, as well.

19 So the question is, underpinning the  
20 direction that we need to go, we all know that we  
21 need to go faster and faster, what efforts or  
22 maybe challenges are you undertaking and maybe  
23 face with respect to data access? In California,  
24 we're doing a lot. And I think there's probably  
25 no one size fits all. But you know, individual

1 meter data, maybe that's one way to look at it to  
2 enable third parties. But you know, even just  
3 the performance -- you know, getting data from  
4 buildings so you can actually even benchmark  
5 them, I think, is a challenge in different ways  
6 across the nation. And I guess I'm wondering  
7 what your perspectives on that are, and how much  
8 of a challenge, and how you're trying to solve  
9 it?

10           So maybe we go in the same order that you  
11 presented but with -- you know, for whoever wants  
12 to comment? Thanks.

13           MR. WILLIAMS: I can start you off,  
14 Commissioner McAllister. So this is John from  
15 New York.

16           And data is an enormous issue and  
17 enormous challenge. And I think we, in New York,  
18 were kind of at a cusp of trying to, you know,  
19 put into a place a system that allows us to at  
20 least get to the data, and then make sure it's  
21 accessible so we can see some of this solution  
22 finding happen. So it was, I want to say, it was  
23 perhaps like mid last year the Public Service  
24 Commission did take on the data issue and asked  
25 NYSERDA to create what we're going to be calling

1 our Integrated Energy Data Resource, or our IEDR.

2           And we recently just sent out some  
3 solicitations to try to get some contractor  
4 support that will help kind of both build a  
5 database, but then it's also looking to get  
6 services of who we're calling like a Utility Data  
7 Advisor to really kind of tell us, you know, what  
8 that data means and how can we provide the data  
9 in a way that allows for people to understand  
10 what they're looking at and then utilize the data  
11 to craft solutions.

12           So I think the key is, is like, you know,  
13 what we're doing in New York is just kind of  
14 making sure that we've got an architecture set up  
15 that allows for that data to be providable, kind  
16 of in an objective forum. And then what we can  
17 do is help to provide a little bit of kind of  
18 advisory services, so there's an appreciation and  
19 an understanding of what that data is really kind  
20 of telling everybody.

21           COMMISSIONER MCALLISTER: Thanks John.

22           Anyone else have a data itch they want to  
23 scratch?

24           MR. HAY: I'm happy to jump in and  
25 provide just a brief overview of what's going on

1 here in Colorado.

2 I think you're right that data is  
3 significant. I would say for us here a real  
4 focus has been trying to get more data and  
5 insight from the utilities and to put that before  
6 our Public Utilities Commission and our  
7 interveners. And so we currently have a  
8 distribution system planning rulemaking in  
9 process where we are trying to get a lot more  
10 insight into the utilities distribution system as  
11 we think about the implementation of different  
12 DERs and non-wires alternatives. A big part of  
13 that would be important to the building  
14 decarbonization, and our transportation  
15 decarbonization as we electrify.

16 We're doing a very similar thing on the  
17 gas planning side, as well. And so that clean  
18 heat legislation that I referenced has a lot of  
19 requirements for the utilities to provide  
20 information to the Commission around the gas  
21 system. Colorado, to date, hasn't done any gas  
22 system planning at all. It's, I would say, we're  
23 dipping our toes in the water. But I think we're  
24 about to take a big giant leap if a lot of where  
25 our Commission is going and our legislature is

1 pushing us comes to fruition at the end of this  
2 year.

3           So for us the focus has really been  
4 trying to get data before the Commission so that  
5 it can make informed decisions around the best  
6 pathway forward for decarbonizing the built  
7 environment.

8

9           COMMISSIONER MCALLISTER: Thanks. Thanks  
10 a lot.

11           Anybody else on that question? I want to  
12 get -- I want to pass the microphone to my  
13 colleagues on the dais.

14           Commissioner Gunda, Commissioner  
15 Rechtschaffen, jump right in if you have  
16 questions for our panelists.

17           COMMISSIONER RECHTSCHAFFEN: Thank you,  
18 Commissioner McAllister. This is Commissioner  
19 Rechtschaffen.

20           Keith, you touched on this just a minute  
21 ago, but at the end of your slides you said you  
22 have an open docket looking at decarbonization  
23 strategies in the gas sector, or at least I think  
24 you said that. And I just wanted to find out if  
25 that's the case, what's the time frame on that?

1 And I think otherwise, the clean heat legislation  
2 and the emission reduction standard for buildings  
3 that you were discussing, I want to confirm that  
4 those are -- both of those are still in proposed  
5 legislation that has not yet been adopted in  
6 Colorado? So I guess there's two questions.

7 MR. HAY: Yeah. Well, and thankfully,  
8 Commissioner Rechtschaffen, I'm not in the box,  
9 so I can actually answer compound questions  
10 today. As a former Commission Advisor, I would  
11 often remind my Commissioners to try not to do  
12 that to witnesses, but happy to answer.

13 So Commissioner Megan Gilman does have an  
14 open docket as a Hearing Commissioner. It's  
15 docket 20-M-0439-G (phonetic). And you know, she  
16 has held now, I think, a series of four or five  
17 different Commissioner meetings where the  
18 Commissioners are trying to gather different sets  
19 of information. The utilities have presented, as  
20 have national experts, on pathways to  
21 decarbonizing the gas sector.

22 With respect to the legislation, it very  
23 much is an active bill. We anticipate actually  
24 that it will be up in Committee tomorrow morning  
25 for some additional amendments and revisions in

1 its first House. And we have until June 12th to  
2 get that across the finish line.

3 COMMISSIONER RECHTSCHAFFEN: Great. And  
4 that's the -- that includes the emission  
5 reduction standard for buildings?

6 MR. HAY: Yeah. And it's Senate Bill 21-  
7 264 here in Colorado. And so the standards that  
8 I referenced, actually, are not in the current  
9 bill because they are part of the coming set of  
10 amendments that are being drafted right now.

11 MS. ROTHSCHILD: Got it. Got it. And as  
12 an attorney, I appreciate that you did not object  
13 to the compound question, so you proceeded to  
14 answer them. Thank you, Keith. I appreciate  
15 that.

16 COMMISSIONER GUNDA: Commissioner  
17 McAllister, I have a quick question.

18 COMMISSIONER MCALLISTER: Please.

19 COMMISSIONER GUNDA: I will try no to  
20 make it a three- or four-part question, because  
21 you could ask so much to this incredible panel.

22 I just wanted to thank all the panelists  
23 again for really kind of highlighting the key  
24 areas that you're tackling and the amount of  
25 information and the work each of your states are

1 doing. Just congratulations to all the work, and  
2 good luck to start with.

3 I do want to note, I really appreciated  
4 Emily's presentation, specifically on equity.  
5 And I think, you know, I kind of like that you  
6 made it a focus to talk about that as a slide in  
7 your presentation. So specifically on that  
8 issue, Emily, one of the things you called out  
9 was the structural issues that, you know, kind of  
10 making past wrongs correct and such. So think  
11 here is kind of a two-part question. And then,  
12 please, kind of keep it as succinct as you want  
13 to be.

14 So one is as we think through the equity  
15 implications of the clean energy transition, what  
16 are the guiding kind of principles or kind of the  
17 guardrails you're putting in to ensure that, one,  
18 if electrification is going to be an important  
19 strategy for buildings, that there is access to  
20 all communities for electrification? And two,  
21 the implications of the broader energy system?

22 So I think I'm just going to wait. I'm  
23 going to tie John and Nat to it a little bit.  
24 And the both of you talked about taking, you  
25 know, the sector-based approach for building

1 decarbonization, and I'm sure that's coming at  
2 kind of an economy-wide. And as you kind of  
3 construct your answer, if you can just think  
4 through, just kind of help understand how we're  
5 allowing and thinking through the equity  
6 implications, and how are we then transitioning  
7 the conversation to a broader economy-wide and  
8 cross-sectorial work?

9           So if, Emily, you could start? And John  
10 and Nat, and then others, jump in.

11           MS. RAITT: Emily, I think you're muted.  
12 There you go.

13           MS. SALZBERG: I think I got it now. I  
14 had the double mute.

15           So thank you so much or that question.  
16 And, wow, I feel like we could spend a whole  
17 other panel just talking about equity, so I'll do  
18 my best to touch on this really high level. I  
19 would make myself available and, actually, many  
20 of the talented colleagues that I work with, to  
21 talk in more detail at some point if that's  
22 helpful.

23           Yeah, you talked about the structural  
24 components, you know, with equity. And I think  
25 that those are sometimes the most difficult ones

1 to get to. Like structural racism, structural  
2 discrimination, how are the systems and the  
3 policy frameworks that we operate within  
4 perpetuating those systems?

5           You know, I'll speak from the perspective  
6 as a state administrator, that requires us to  
7 completely rethink the way we do our work because  
8 we need to engage with communities. We need to  
9 listen to hard conversations. And we need to be  
10 willing to, you know, be thoughtful in how we  
11 design programs, support policy, and provide  
12 technical assistance and capacity building.

13           So I just want to acknowledge, I don't  
14 really have a great answer to your question there  
15 around structural equity because it's really one  
16 of the hardest ones, I think, really, to get to.  
17 I'm encouraged that we collectively are raising  
18 visibility around, you know, the structural  
19 components and making progress towards that end  
20 and that work.

21           Just a couple key pieces I really want to  
22 call out from an equity standpoint with our work.  
23 And, again, invitation for follow-up  
24 conversation. Within that Clean Energy  
25 Transformation Act that passed in 2019, there was

1 a section within that piece of legislation that  
2 requires us to look at energy burden and energy  
3 access with the Clean Energy Transformation. And  
4 so with utilities, they are required to basically  
5 put together a plan to address energy burden in  
6 their service areas.

7 Sarah Vorpahl has been leading that work  
8 here in Washington State and would love to  
9 connect with you to talk more about that. But  
10 there has been data acquisition activities,  
11 there's been community engagement and, you know,  
12 active listening, and just a whole lot of  
13 learning through that process. So, again, just  
14 we'd be happy to talk in more detail.

15 And then I just really want to  
16 acknowledge the disparity between the needs that  
17 we have with low- and even moderate-income  
18 households. I'll speak in the State of  
19 Washington from that perspective and the funding  
20 that we have available to address those needs.

21 You know, in Washington State, we have  
22 over 700,000 households that are living in, you  
23 know, in poverty and would qualify for low-income  
24 services. The current funding that we have  
25 available only serves a fraction of those

1 households. So I think we just have to  
2 acknowledge the gap that we're working within,  
3 think about how to be more strategic and flexible  
4 with the fund sources that we do have available.  
5 And really just, you know, set some goals, and  
6 start making progress.

7           In our State Energy Strategy, we actually  
8 put forward a statement, like we ought to be  
9 serving ten percent of this eligible population,  
10 you know, each year, and that is such a big leap  
11 with where we are today. But you've got to put  
12 those goals out if you're going to start  
13 measuring progress and making progress towards  
14 that.

15           So I know that answer was like horribly  
16 like inadequate to actually address the issue.  
17 But hopefully it touches on, you know, I think  
18 some of the highlights of the work that we're  
19 doing and really just working to build our  
20 collective, you know, awareness and capacity to  
21 do this kind of work.

22           MR. WILLIAMS: And Commissioner, maybe  
23 just briefly, in New York, you know, I think it's  
24 similar approaches I'm hearing in Washington, as  
25 well, you know, to get from the structural

1 inequities to build the structures that ensure  
2 you're at least addressing the issues. So our  
3 Climate Act does have, built into it, the  
4 creation of a new Climate Justice Working Group  
5 and an Environmental Justice Working Group. They  
6 are stakeholder-populated groups. And they're  
7 now kind of permanent additions to the way that  
8 New York agencies need to consider and confer  
9 with these groups as we look at outcomes, whether  
10 it's from a policy perspective, but they're also  
11 resources for programmatic decision making.

12           Our statute also requires a minimum of 35  
13 percent of benefits that are coming from our  
14 investments in clean energy. And that clean  
15 energy means anything from electrification  
16 programs to clean transportation programs, you  
17 know, really running the gamut, you know, need to  
18 inure to disadvantaged communities.

19           So again, agencies are now, you know,  
20 very, you know, cohesively targeted with, you  
21 know, doing -- you know, ensuring that they are  
22 meeting those standards of the new statute.

23           And just the last point, also, is, you  
24 know, even kind of a shift in the way, like we  
25 have to think of administrative law and how

1 agencies consider what their outcomes need to be,  
2 was also directed through our Climate Act, not  
3 only to look at emissions but to look at all of  
4 the parameters of the Climate Law, which include  
5 how we are looking at, you know, trying to repair  
6 some of the structural.

7 MR. BARNES: Commissioner, Vincent Barnes  
8 here. I'd probably just add a few things to  
9 that.

10 One, certainly, it's a term that we've  
11 used a lot as we kind of think about energy  
12 efficiency, and that is universal access; right?  
13 And so it's kind of like purposely identifying  
14 that the clean energy strategy is going to  
15 purposefully be made available across all income  
16 demographics. That is a purposeful decision that  
17 can certainly be made at the state level, that  
18 there's going to be universal access to the clean  
19 energy strategy, be it energy efficiency, be it a  
20 renewable energy strategy, be it an  
21 electrification strategy or something else.

22 The other piece, another piece that's  
23 important, is that the energy strategy is  
24 connected to job development and training and  
25 opportunities inside the state and inside the

1 cities, as well. And so if there's a purposeful  
2 energy efficiency strategy to ensure that energy  
3 efficiency is universally accessible, that  
4 individuals being hired come out of the community  
5 and there's a purposeful strategy connected to  
6 that to train those individuals to perform that  
7 work, including the outreach work that is  
8 sometimes going to be required before the  
9 contractor can actually get into the home.

10           And the third piece that I would mention  
11 is also connecting a business diversity component  
12 to it, as well. And oftentimes a lot of these, a  
13 lot of the performance that's going to be  
14 required in terms of energy efficiency, and also  
15 in addition to other strategies that might be  
16 employed locally or at the state level, these are  
17 small businesses performing a lot of these  
18 functions. And when we kind of purposefully go  
19 out and identify diversity within our supplier  
20 community, that is another way for states to kind  
21 of, if you will, identify opportunities for  
22 inclusion and, at the very same time build trust  
23 with the overall community as well.

24           MR. GOSMAN: Maybe I can just jump in  
25 there, as well. I'm going to build off of most

1 of the comments, I think, we've heard from Vince  
2 and Emily and John. But actually, maybe what  
3 I'll do is I'll just take it to a specific  
4 example, if I can. Because I think we discussed  
5 electrification and how do we apply an equity  
6 lens to electrification?

7           And BC, as I noted, our grid is pretty  
8 clean up here. And so our decarbonization  
9 strategy hinges on clean fuel switching to heat  
10 pumps in large part. One of the challenges we  
11 have is the low cost of natural gas. And so if  
12 we are to make electrification, unofficial  
13 electrification available to low-income,  
14 indigenous communities, marginalized populations,  
15 et cetera, we also have to do so in a way where  
16 we make sure that they are not negatively  
17 impacted, given that cost differential and the  
18 MPV differential. And so that's a tough nut to  
19 crack because sometimes the economics can  
20 actually be pretty glaring between natural gas  
21 and electricity heating equipment.

22           Our approach to date, which is evolving,  
23 is to offer, basically, high-value incentives to  
24 offset that MPV over time and support the direct  
25 install-type approaches, primarily, and also to

1 fund, basically, compatible energy efficiency  
2 upgrades that can manage energy bill increases at  
3 the same time.

4           What we're seeing in a number of  
5 communities, particularly in our indigenous  
6 communities, and we have a large number of remote  
7 indigenous communities in British Columbia, in  
8 fact, the greatest number in Canada, there is a  
9 growing interest in heat pumps from a kind of  
10 comfort and health perspective, in addition to  
11 the decarbonization aspects. And so as demand  
12 for those heat pumps grow in those communities,  
13 we are making sure our incentives are on par and,  
14 again, addressing any potential cost increments  
15 that those communities might face.

16           So just kind of a practical application  
17 of that. So on the one hand, we want to make  
18 electrification available to these communities.  
19 On the other hand, we need to make sure that  
20 electrification doesn't negatively impact those  
21 communities.

22           COMMISSIONER GUNDA: Thank you all so  
23 much. And I will, absolutely, will take you up  
24 on your offer to follow up and have some more  
25 conversations on this. Thank you.

1                   COMMISSIONER MCALLISTER: Great. Thanks  
2 for those very thoughtful comments, I mean, all  
3 around. I want to just -- I could ask a lot more  
4 questions but I think I can follow up with you  
5 later for my own questions. So I want to,  
6 actually, I think probably end there. We're  
7 basically right at time for dais questions if  
8 that's okay with Commissioners Gunda and  
9 Rechtschaffen? Great. Okay. And pass along the  
10 microphone.

11                   I believe Kristy is going to be  
12 organizing the Zoom questions. And give us a few  
13 minutes for the Zoom attendees to ask some  
14 questions, some written questions, and then,  
15 after that, we'll move to public comment.

16                   MS. CHEW: Good afternoon. This is  
17 Kristy Chew with the Energy Commission. There  
18 are a few questions that have come in through the  
19 Q&A.

20                   I'll start with Alice Sung. She asked,  
21 "How will any national funding be allocated at  
22 the local levels centering equity, not only in  
23 locational investments, but also through Program  
24 management and administration, procurement and  
25 contracts and planning, design implementation,

1 and operating jobs going to the currently  
2 unemployed or underemployed small women-owned  
3 businesses and minority or BIPOC communities?"

4           That sounded like a question for the  
5 national level.

6           MR. BARNES: I'll start off. And I don't  
7 know if Jeff Genzer is still on, but Jeff is  
8 probably a good person to respond to that  
9 question.

10           But more likely than not, as we look at  
11 programs like -- or legislation like Open Back  
12 Better Act, I believe, by Lisa Blunt Rochester, a  
13 lot of that funding is going to be coming through  
14 the state energy agencies, and then from the  
15 state agencies into communities, much like some  
16 of those funds act now.

17           Jeff, I don't know if you're on, but did  
18 you want to add anything to that?

19           MR. GENZER: Thanks Vincent.

20           I think the Administration in DC is  
21 certainly committed to 40 percent of all the  
22 funds in a variety of these energy programs,  
23 clean energy programs dedicated to low- and  
24 moderate-income communities, neighborhood  
25 communities. To the extent funds, for example,

1 through the new Weatherization Competitive  
2 Program that was set up in the Energy Act of  
3 2020, to the extent the Administration has  
4 discretion, I think they will try to dedicate  
5 those funds to the LMI communities and EJ  
6 communities. That may be the case with the  
7 competitive portion, if there is a competitive  
8 portion, of the Energy Efficiency and  
9 Conservation Block Grant.

10           The major limitation in any language  
11 coming from Congress and the Administration is  
12 the complexity of the Budget Act of 1974 and the  
13 extent to which the money is distributed to the  
14 state and local governments in accordance with  
15 open-ended language or more restrictive language  
16 that might not be allowed in what we call budget  
17 reconciliation.

18           I used a lot of unfortunate Washington  
19 speak in answering that question. And I can  
20 certainly respond to any follow-up if it was  
21 utterly confusing, but happy to respond.

22           COMMISSIONER MCALLISTER: Thanks a lot,  
23 Jeff. And I noticed you've lost the tie, so good  
24 for you.

25           MR. GENZER: I did gain my Hawaiian

1 shirt. Thank you.

2 COMMISSIONER MCALLISTER: Exactly.

3 So I wanted to just step in quickly and  
4 make sure to talk about, one, Scott Blunk asked a  
5 couple of great questions there about compliance.  
6 Well, let's see, one of them got -- one of them  
7 looks like it went away.

8 But to build on something Jeff said, just  
9 in the California context, the ARRA funds, you  
10 know, those of you who were around during that  
11 period, those flowed, in part, through the Energy  
12 Commission. CSD, the Department of Community  
13 Services and Development does the Weatherization  
14 Program. They got a big slug. And then the  
15 Commission will, you know, did and will again, I  
16 think even more so, focus on how to get those  
17 funds to local governments.

18 So if the State Energy Program is a  
19 vehicle for large flows of funds, we certainly  
20 will build on programs like the Local Government  
21 Challenge and others that really have been  
22 successful at accessing and providing resources  
23 to relatively, you know, small, low-income  
24 communities with a high level of disadvantaged  
25 residents.

1           So I wanted to just note that, that that  
2 model is in place. And I think we have a good  
3 way to ensure that it comes along with the right  
4 kind of incentives to do the things that Alice  
5 asked about. So I'm hopeful that we can -- that  
6 will take place but, you know, obviously, we'll  
7 see.

8           I wanted to see -- I wanted -- so Scott  
9 Blunk asked a question. Oh, there it is. So,  
10 "So much of the solution is in the existing  
11 buildings." And, you know, some sort of a code  
12 trigger to electrify only works if people pull  
13 permits. And that on-the-ground local  
14 government, just kind of vigilance around, you  
15 know, their responsibility to enforce the law,  
16 basically, you know, is, I think, generally not  
17 what it ought to be. And I wanted to just make  
18 sure that that question got asked, if you could  
19 describe how you're confronting just making sure  
20 that the building stock is held to some standard  
21 and that your policy goals actually can be met  
22 through programs.

23           MS. SALZBERG: Well, I'm happy to start  
24 fielding this question.

25           So in the State of Washington, our Clean

1 Buildings Law, as I mentioned, applies to  
2 buildings over 50,000 square feet, and it's on a  
3 five-year compliance cycle, so it isn't connected  
4 to major retrofits, renovations, or equipment  
5 changeouts. And it's a building owner  
6 obligation.

7 I just want to recognize with this  
8 question, like, you know, absolutely, existing  
9 buildings is one of the toughest nuts to crack  
10 with building decarbonization because we lock in  
11 efficiency at the time of building construction  
12 or at the time of equipment upgrades. I really  
13 don't believe we can make meaningful progress  
14 towards building decarbonization without figuring  
15 out how to address existing building stock. And  
16 major retrofits and equipment changeouts just  
17 aren't going to get there.

18 So I think the challenge becomes how can  
19 we create and craft programs that provide  
20 incentives and provide supportive mechanisms and  
21 pathways for existing buildings to make forward  
22 progress on efficiency. It's been difficult here  
23 in the State of Washington. And we will continue  
24 to learn more and more about the barriers and  
25 obstacles for building owners. But it's, you

1 know, it's a state mandate. And it applies to  
2 even publicly-owned buildings, not just  
3 privately-owned buildings.

4 And so, yeah, I think that's all I'd have  
5 to share for now, but I'm curious what other  
6 thoughts the panel members have.

7 MR. HAY: Yeah, I'll go ahead and hop in  
8 for a little bit.

9 You know, our Building Benchmarking Law  
10 is very similar to Washington's and, I think,  
11 largely covers the same set of buildings, and  
12 takes a very similar approach in terms of the  
13 compliance obligations being on the building  
14 owner. And I think for us, when we look at the  
15 residential sector, we really face significant  
16 challenges here in Colorado. We are a home-rule  
17 state where every municipality, by and large,  
18 has, you know, its own set of requirements and  
19 jurisdictions, so it's very hard at the state  
20 level to do things like implement a statewide  
21 building code, or something like California's  
22 Energy Code.

23 So we've really focused on trying to work  
24 collaboratively with the utilities for the non-  
25 jurisdictional utilities, or for those that are

1 regulated, to put in place requirements for them  
2 to go before the Public Utilities Commission to  
3 have plans, either to decarbonize on the gas side  
4 or to file beneficial electrification plans to  
5 help on that side.

6 But you know, the local jurisdiction  
7 permit issue is really hard to think through a  
8 solution that comes from the state level when  
9 you've got home-rule jurisdictions.

10 MR. WILLIAMS: And maybe I'm just going  
11 to kind of riff off of that, Keith, because I  
12 think, you know, part of the solution really does  
13 also reside in like how do we get the community  
14 to actually own the outcome itself; right? And I  
15 think what we can do at the state level is  
16 provide all of the resources. And if there's  
17 training that's needed, or if there's standards  
18 that we can try to help communities think about  
19 for themselves, that's all fine and good.

20 But what we're finding is effective in  
21 New York is trying to get the community engaged  
22 in its own outcomes. And you know, we have what  
23 we call our Clean Energy Communities Program.  
24 And it kind of sets some parameters around, you  
25 know, what we would like to see a community do,

1 and whether it's kind of doing, you know, some  
2 implementation training for building code  
3 inspectors or, you know, creating model solar  
4 codes, there's a list of things that we've come  
5 up with.

6           And to the degree that the community can  
7 itself come to the program with a number of  
8 initiatives already identified, that's when we  
9 can then convert and try to understand like what  
10 state resources are valuable to accelerate even  
11 further progress in those states. And  
12 communities tend to be quite responsive. You  
13 know, the citizens in those localities want the  
14 climate outcomes, as well. And so getting the  
15 community to own in and become their own  
16 participants in the outcome I think is also key.

17           COMMISSIONER MCALLISTER: Thanks  
18 everyone.

19           I think, oh, Jeff, did you want to chime  
20 in there briefly?

21           MR. GENZER: If there's time. The Green  
22 Communities Program in Massachusetts, your  
23 program in California, John's program, the Clean  
24 Energy Communities Program in New York, are  
25 models that we have suggested nationwide, that

1 those model programs be adopted through the  
2 Energy Efficiency and Conservation Block Grant  
3 Program, that's one.

4           Two is the Department of Energy is  
5 intending to update the Manufactured Housing  
6 Standard, which was last updated in 1994. Fifty  
7 percent of new rural housing is manufactured  
8 housing. That's an important ingredient to  
9 decarbonization.

10           The Shaheen-Portman legislation, Senator  
11 Shaheen and Senator Portman, bipartisan, includes  
12 a provision for \$100 million per year to be sent  
13 to the states, locals, building code officials  
14 for digitization of the building permitting  
15 experience, plus technical assistance to  
16 builders, architects, others. That can be a huge  
17 help. Incentives for residential efficiency,  
18 retrofits, through the Hope for Homes legislation  
19 introduced by Congressman Welch, a Democrat of  
20 Vermont, and Congressman McKinley, a Republican  
21 of West Virginia, would work with contractors,  
22 state energy offices, and others.

23           And the 25C, Internal Revenue Code,  
24 Federal Tax Credit for Residential Efficiency, is  
25 the sixth suggestion I have in this area.

1 Thank you. Sorry, Andrew.

2 COMMISSIONER MCALLISTER: No. Thanks so  
3 much, Jeff. That was helpful.

4 Let's see, I think I'd pass it back to  
5 Kristy, but Heather was also suggesting that we  
6 go, I think, to open discussion amongst anyone of  
7 the panelists that want to ask each other  
8 questions. We don't have a lot of public  
9 comment, and so we can eat into that time a  
10 little bit, so maybe we put five or so minutes if  
11 we want to have a little roundtable here.

12 MS. CHEW: The next Q&A public question  
13 was: "To what extent, if any, is British Columbia  
14 exploring or implementing residential fuel cell  
15 technologies for building electrification and  
16 heating?"

17 COMMISSIONER MCALLISTER: That's direct,  
18 for British Columbia directly, obviously.

19 MR. GOSMAN: Sorry. Can you read that  
20 once more?

21 MS. CHEW: Yes. "To what extent, if any,  
22 is British Columbia exploring or implementing  
23 residential fuel cell technologies for building  
24 electrification and heating?"

25 MR. GOSMAN: So, currently, we are not.

1 Because we have such a clean grid and, you know,  
2 large infrastructure investments over the last  
3 century, our electricity prices are, actually,  
4 relatively low. So from a cost-effectiveness  
5 perspective, tapping our existing clean grid  
6 electricity is our kind of go-to formula for  
7 decarbonization. There are exceptions to that,  
8 particularly in remote communities and  
9 communities that are end-of-line, where we're  
10 looking at a variety of different technologies to  
11 ensure that those communities have reliable power  
12 but for the main, kind of, lower main lands in  
13 the centers of population we're mostly relying on  
14 the clean grid.

15 MS. CHEW: Great, and the next question  
16 is also for you, I believe, from Scott Blunk,  
17 "What is the level of code compliance in BC for  
18 existing homes replacing a water heater and/or  
19 HVAC?"

20 MR. GOSMAN: Hmm. That's a good  
21 question. I might have to get back you with a  
22 stat on that.

23 I think, you know, where you're -- so  
24 we're talking about gas appliances, there is a  
25 high degree of compliance. Where we're talking

1 about electric equipment, there's probably a  
2 lesser degree of compliance. Unfortunately, I  
3 don't have those stats at my fingertips for you.

4 MS. CHEW: Next question is actually from  
5 Simi George. She asks -- this is for NYSERDA,  
6 John. "Thanks to John from NYSERDA for a great  
7 presentation. One of the slides said,  
8 "Release" -- I think it's slide 14 -- "Release of  
9 the first draft of the Building Electrification  
10 Roadmap involved 2021, the slide deck, as the  
11 first deliverable for stakeholder input. Is the  
12 slide deck available now or can you provide a  
13 sense of when it might be issued?"

14 MR. WILLIAMS: It is actually -- thanks  
15 for the question. It actually will be. The  
16 slide deck will serve as our first draft, so hang  
17 on until fall of this year. And the purpose for  
18 kind of releasing that draft in a slide deck is  
19 actually to make sure that it's a report that's  
20 digestible by most people; right? Like we don't  
21 want to be coming out with a first report that is  
22 going to be kind of big volumes with a lot of  
23 tables that, you know, that might be hard for all  
24 stakeholders to sift all the way through. So the  
25 initial draft will come forward as a slide deck.

1 Hope to see that in fall of this year. We'll  
2 look forward to all of the input on that. And  
3 then that will help us to frame kind of our more  
4 formal final report after that.

5 MS. CHEW: Great. Thank you. Two more  
6 questions.

7 The next one is from Elliot Hoffman.  
8 "Certainly, building systems and materials are  
9 critical to energy efficiency and carbon  
10 reductions. What role does human behavior change  
11 play in your initiatives and decarbonization  
12 goals?"

13 Does anyone want to take on the human  
14 behavior change question?

15 MR. GOSMAN: I think it's --- oh, sorry.  
16 Go ahead, Vincent.

17 MR. BARNES: Yeah, and that is if energy  
18 efficiency is working at its most optimized  
19 level, you don't even know it's happening; right?  
20 You're not -- I mean, if the strategy is to have  
21 the LED lightbulb sold and only the LED lightbulb  
22 sold, or the most efficient LED lightbulb, or the  
23 most efficient lightbulb sold, I should say, then  
24 that's the lightbulb that the customer is going  
25 to buy. And that's going to be the thing that's

1 operating at its most efficient level.

2           If it's the equipment, if it's the  
3 refrigerator, or if it's the front-loading  
4 washer, or if it's the television, if it's the  
5 cable box, and all of those things are finely  
6 tuned to their highest efficiency level because  
7 that's what's been required or that's what's been  
8 adopted, then a lot of this stuff happens without  
9 the consumer having to really think about it.  
10 Most of us don't think about the LED lightbulb  
11 that's burning in our home, and we don't think  
12 about the front-load washer that we're utilizing,  
13 how much saving energy, other than, perhaps, when  
14 we made the purchase in the first place.

15           And so I think ideally, particularly when  
16 we start to begin to think about how DER-enabled  
17 devices will work in the future, this will be  
18 something that consumers won't have to think a  
19 lot about once they get the equipment into their  
20 homes.

21           Now there is this aspect, and this has  
22 been touched on some today, there is this aspect  
23 of that large swath of properties, of residential  
24 properties, that are owned by individuals of  
25 moderate and low income, with those homes needing

1 probably -- and I don't have the numbers in front  
2 of me -- but significant retrofitting before you  
3 can actually begin to implement or provide  
4 adoption opportunities for other energy  
5 efficiency equipment.

6 I apologize. I now have to run to the  
7 House Ways and Means Committee for a discussion  
8 on tax and labor, and so on. I thank the  
9 Commission for the opportunity to be here today  
10 and look forward to working with you.

11 COMMISSIONER MCALLISTER: Thank you so  
12 much, Vincent.

13 MS. RAITT: Thank you.

14 COMMISSIONER MCALLISTER: Really great  
15 contributions, so thank you very much.

16 MS. RAITT: And this is Heather. And,  
17 actually, I think we probably should move on to  
18 public comment, if that's okay, Commissioners?

19 COMMISSIONER MCALLISTER: That is  
20 absolutely fine.

21 I wanted to thank all of you on the  
22 panel. That was very thought provoking. There's  
23 a ton to follow up on. You know, great minds  
24 think alike, I guess, in many ways. So all of  
25 our states' processes are getting us to a similar

1 direction, but the details really matter, as we  
2 all know. So I think there's a lot to coordinate  
3 on and tease out the solutions, really, that  
4 we're all coming up with in our own context. So,  
5 really, thanks to all of you, John, Nat, and  
6 Emily. Thank you so much for being with us. And  
7 Vincent, who I think had to drop off. And I'm  
8 missing someone. And Jeff and Keith, thank you  
9 very much.

10           And, yeah, thanks everyone for their  
11 questions, too.

12           And I will say thanks to Staff, as well,  
13 who have been fielding the questions that come in  
14 on the Q&A and answering some of those, many of  
15 those live, so really appreciate that, as well.  
16 So well done.

17           And I think now we can -- and thanks to  
18 Commissioners Gunda and Rechtschaffen, as well.  
19 I think Commissioner Rechtschaffen had to drop.

20           But let's open up to public comment. And  
21 raise your hand if you want to make a public  
22 comment and the team will organize that and call  
23 on you.

24           MS. RAITT: Great. So this is Heather.  
25 And I just was going to suggest RoseMary Avalos

1 from the Energy Commission's Public Advisor's  
2 Office will be moderating the comments.

3 So go ahead, RoseMary.

4 MS. AVALOS: Okay. Thank you, Heather.

5 And I will call on Zoom raised hands  
6 first. And when I call on you, please state your  
7 name, your affiliation, and spell your name for  
8 the record.

9 And I'll call on Tanya Barham. Your line  
10 is open. You may speak. Go ahead.

11 MS. BARHAM: Hello. Thank you,  
12 Commissioners, for this opportunity to talk. My  
13 name is Tanya Barham. I'm the CEO of Community  
14 Energy Labs. My name is spelled T-A-N-Y-A  
15 B-A-R-H-A-M.

16 Thank you for this really engaging forum.  
17 Everything that was presented was very thought  
18 provoking. And I think it's great that the state  
19 is looking at best practices from around the  
20 country.

21 I wanted to echo what Alice said in the  
22 comments, and Vincent Barnes emphasized in his  
23 comments, as well. The importance of -- as  
24 somebody who was an early -- I worked on the  
25 Solar for All Schools Program in 2002, before the

1 ITC, before net metering. It's a program which  
2 has now commercialized building technology around  
3 grid-connected solar which, at the time, was  
4 considered dangerous by linemen. They said, hey,  
5 this is going to electrocute everyone. We don't  
6 want to interconnect these systems. It was  
7 considered not very cost effective. Of course,  
8 these are the same people who are really excited  
9 about, you know, solar now being a huge part of  
10 our generating mix. So, you know, this stuff  
11 takes a lot of change.

12           And there was a ton of work that we did  
13 before there was a megawatt of demonstration  
14 solar on schools in 200 schools in the U.S. And  
15 it was primarily around labor and outreach, like  
16 Mr. Barnes said, to building inspectors, to  
17 community members, to builders, contractors,  
18 trade allies, if we are eliminating gas, outreach  
19 to pipefitters, retraining programs.

20           And then as Alice so deftly pointed out,  
21 there are a lot of issues on the business side.  
22 We know that VC-backed tech companies are --  
23 fewer than four percent of those are run by  
24 women, and less than half a percent are run by  
25 BIPOC or Black founders. So we need to be

1 careful in how we advantage businesses that  
2 participate in this energy transition. I know  
3 that all of the states and the panelists involved  
4 are trying to be very intentional about how  
5 business diversity is being procured in our  
6 procurement processes, and how outreach is  
7 happening to communities to sort of co-create  
8 this change. I want to applaud that and continue  
9 to emphasize that it's integration into this  
10 conversation at every single point, whether we're  
11 talking about interoperability, whether we're  
12 talking about retraining, that equity is part of  
13 -- that's a lens that we're using in all  
14 conversations throughout the ecosystem of energy  
15 transition and building decarbonization.

16 So thank you for the opportunity to  
17 speak. And I will cede the rest of my time.

18 MS. AVALOS: Thank you.

19 I'd like to give a reminder to those on  
20 the phone to use the star nine dial in order to  
21 raise your hand. And if you're on Zoom, use the  
22 raise-hand feature. I'll give a few seconds for  
23 those who would like to make a comment.

24 COMMISSIONER MCALLISTER: Thanks. Thanks  
25 RoseMary.

1           And thank you, Tanya, for those comments.

2           I wanted to just maybe suggest that we  
3 put the slide up --

4           MS. RAITT: Yeah. Sorry, Commissioner.

5           COMMISSIONER MCALLISTER: -- just so  
6 those people know what to do.

7           MS. RAITT: Yeah. This is Heather.  
8 Sorry, Commissioner. Unfortunately, I would love  
9 to do that, but we're having a technical problem.

10          COMMISSIONER MCALLISTER: Oh, okay.

11          MS. RAITT: And the person with the  
12 slides needs to restart their computer, so --

13          COMMISSIONER MCALLISTER: Oh, okay.

14          MS. RAITT: -- we're working on it.

15          COMMISSIONER MCALLISTER: Okay. Okay.  
16 Great. All right. We're in sync.

17          MS. RAITT: Thanks.

18          COMMISSIONER MCALLISTER: Thanks a lot.

19          MS. AVALOS: All right. And seeing that  
20 there are no raised hands on the phone or in  
21 Zoom, we conclude public comment now.

22          So go ahead, Heather. There are no --

23          MS. RAITT: Okay.

24          MS. AVALOS: -- raised hands.

25          MS. RAITT: Okay. Great. Thank you,

1 RoseMary.

2           So I will just -- I wanted to just make a  
3 really brief announcement before moving to the  
4 closing remarks that the Energy Commission is  
5 seeking nominations for its Clean Energy Hall of  
6 Fame Awards. And so this is an award to honor  
7 individuals and entities making exceptional  
8 contributions to help California achieve a 100  
9 percent clean energy future for all. And the  
10 categories include Lifetime Achievement, Clean  
11 Energy Champions, and Youth Game Changers --  
12 Youth Game Changer, excuse me. Nominations are  
13 due June 25th. And for more information, just go  
14 to the Energy Commission's website. Sorry, I  
15 don't have the slide to show you that. But  
16 anyway, you just go to the Energy Commission's  
17 website and we can get your Clean Energy  
18 nominations.

19           So with that, Commissioner McAllister, go  
20 ahead.

21           COMMISSIONER MCALLISTER: Great. Well,  
22 thanks. I think we're ready for our closing  
23 comments.

24           Again, I want to just thank all the  
25 presenters, really good stuff. And you can just

1 tell how much care has gone into the  
2 prioritization, and also the integration. And  
3 those two things are not always -- they're not  
4 easily compatible often, so really great work in  
5 a bunch of progressive and proactive states on  
6 decarbonization. So I'm looking forward to  
7 future collaboration and maybe even future  
8 workshops in the IEPR cycle and appreciate all  
9 your contributions today and going forward.

10 Commissioner Gunda, would you like to  
11 make some wrap-up comments?

12 COMMISSIONER GUNDA: Yeah, Commissioner.  
13 I just wanted to, you know, echo your comments,  
14 you know, thank you. I think this is a wonderful  
15 way of doing the workshops to really bring the  
16 overarching national perspective. I think this  
17 is a good model for future topics in the IEPR, so  
18 I just wanted to thank you, again, to the  
19 speakers today, the panelists. What an amazing  
20 panel we had. And I'm just really grateful for  
21 your thoughtfulness, your expertise and, you  
22 know, kind of, you know, way of sharing it to  
23 help advance this conversation, and to all the  
24 people who were asking questions.

25 And Jennifer, I think you had the amazing

1 opportunity to moderate the panel.

2           So thanks everybody. Thanks, Heather,  
3 and Team.

4           COMMISSIONER MCALLISTER: Thank you,  
5 Commissioner Gunda.

6           And I will not do any summary comments in  
7 terms of the themes of the day. But I will point  
8 out, actually that this was an international  
9 roundtable on decarbonization. We have our  
10 incredible friends from British Columbia who -- I  
11 mean, that was amazing, just, you know, all your  
12 doing in British Columbia, Nat, is just really  
13 affordable. And I think I might be due for a  
14 field trip of something up there to really see it  
15 in person. So once we can do that again --

16           MR. GOSMAN: Always welcome.

17           COMMISSIONER MCALLISTER: -- yeah, once  
18 we can do that again, which is almost here.

19           So I want to just wrap up by just  
20 pointing out that the last year-plus has been  
21 extremely challenging for all of us. You know  
22 we've had to readjust the way we work, not just  
23 in the energy field but much beyond that. And I  
24 have been so heartened with just the volunteerism  
25 and our Staff at the Energy Commission,

1 leadership at the Commission, all the  
2 Commissioner offices and Executive Office, and in  
3 particular the Executive Office, in the  
4 adjustment that we had to make because of the  
5 pandemic, and then just the kind of nurturing of  
6 the agency through all those times.

7           And I know that all of you, the  
8 presenters today, in your respective states have  
9 faced equal tasks. And just the fact that we  
10 were able to keep -- not only keep the wheels on  
11 the bus but, I think, in many ways really take  
12 advantage of the opportunity of being in one  
13 place for a while to take a thoughtful approach  
14 and really improve our policy and do some  
15 planning, and really figure out these difficult  
16 questions.

17           We're not there, existing buildings,  
18 we've all got our heads together constantly, but  
19 I just want to point that out, that as we emerge  
20 from the pandemic, I think we've learned a lot  
21 about how to be effective and really visionary  
22 and stay that way in our energy policy and  
23 implementation.

24           So with that, I will wrap up, and just  
25 thank everybody again, thank Heather and all the

1 Staff, Jen and the Efficiency Division Staff who  
2 helped put this together, nice job, well done.  
3 And we will keep this conversation going.

4 Back to you, Heather.

5 MS. RAITT: Great. Thank you. And I'll  
6 just mention that the conversation will resume at  
7 two o'clock this afternoon, so we'll be looking  
8 at --

9 COMMISSIONER MCALLISTER: Yes.

10 MS. RAITT: -- the California  
11 perspective.

12 COMMISSIONER MCALLISTER: Yes. Exactly.

13 MS. RAITT: -- and California's  
14 activities.

15 COMMISSIONER MCALLISTER: We're not done  
16 for the day, so --

17 MS. RAITT: Right.

18 COMMISSIONER MCALLISTER: -- yeah, we're  
19 going to drill into California. I would actually  
20 invite, you know, if our friends from the other  
21 states, would like to attend, you're more than  
22 welcome to attend the afternoon and get a deep  
23 dive on what California is doing, so that might  
24 be interesting, as well.

25 So thanks again, everyone, and we are

1 adjourned for the morning, and we'll see you at  
2 two.

3 (Off the record at 12:30 p.m.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of August, 2021.



ELISE HICKS, IAPRT

CERT\*\*2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

August 18, 2021