

DOCKETED

Docket Number:	21-IEPR-05
Project Title:	Natural Gas Outlook and Assessments
TN #:	239474
Document Title:	Transcripts - 5-20-21 for IEPR Commissioner Workshop on Natural Gas Infrastructure
Description:	CEC IEPR 5-20-2021 FINAL.
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/25/2021 3:36:35 PM
Docketed Date:	8/25/2021

CALIFORNIA ENERGY COMMISSION

IN THE MATTER OF:)	
)	
2021 Integrated Energy Policy)	
Report(2021 IEPR))	Docket No. 21-IEPR-05
)	
)	Re: Natural Gas
_____)	Infrastructure Issues

**IEPR Commissioner Workshop on
Natural Gas Infrastructure**

REMOTE ACCESS WITH ZOOM

The California Energy Commission's May 20, 2021, IEPR Commissioner Workshop on Natural Gas Infrastructure will be held remotely, consistent with Executive Orders N-25-20 and N-29-20 and the recommendations from the California Department of Public Health to encourage physical distancing to slow the spread of COVID-19. The public is able to participate and observe the meeting consistent with the direction in these Executive Orders. Instructions for remote participation can be found in the notice for this meeting and as set forth in this agenda.

THURSDAY, May 20, 2021

10:00 A.M.

Reported by:
Jacqueline Denlinger

APPEARANCES

Commissioners

Andrew McAllister
Siva Gunda
Patty Monahan

Staff Present:

Heather Raitt
Jason Orta
Melissa Jones
Jonah Steinbuck
Qing Tian

Presenters:

Melissa Jones, CEC
Jason Orta, CEC
Kristina Abadjian, CPUC
Eileen Hlavka, CPUC
John Steinbuck, CEC
Qing Tian, CEC
Francois Rongere, PG&E
Jonathan Peress, SoCalGas

I N D E X

Items	Page
1. Welcome: Heather Raitt, CEC.	4
2. Opening Comments: Commissioner McAllister, CEC.	5
3. Remarks: Commissioner Gunda, CEC.	8
3. Presentations:	
a. Overview on California Gas Issues & Analysis - Melissa Jones.	11
b. Simulating California's Gas System - Jason Orta, CEC.	24
c. California Public Utilities Commission's (CPUC) Aliso Canyon Order Instituting Investigation - Kristina Abadjian and Eileen Hlavka, CPUC.	35 39
d. Natural Gas R&D Program Initiatives on Targeted Decommissioning - Jonah Steinbuck, CEC.	42
e. Natural Gas Infrastructure Safety and Integrity - Qing Tian, CEC.	50
f. R&D and Innovation - Francois Rongere, PG&E.	57
g. Decarbonization Planning Research and Analytics - Jonathan Peress, SoCalGas.	63
4. Public Comment.	85
5. Closing Remarks: Commissioner Gunda, CEC.	90
6. Adjourn.	90

P R O C E E D I N G S

1 MAY 20, 2021 10:03 a.m.

2 MS. RAITT: All right. Well, good morning. I'll
3 go ahead and get started. Welcome to the California Energy
4 Commission's Workshop on Natural Gas Infrastructure. This
5 is part of the 2021 Integrated Energy Policy Report
6 proceeding, which we refer to as the IEPR, for short. I'm
7 Heather Raitt, the program manager for the IEPR. This
8 workshop is being held remotely consistent with Executive
9 Orders N-25-20 and N-29-20 and the recommendations from the
10 California Department of Public Health to encourage
11 physical distancing to slow the spread of Covid-19. Go
12 ahead and advance the slide, please.

13 To follow along with today's discussion, the
14 workshop schedule and most of the presentations are
15 available on the CEC's website. Go to the 2021 IEPR page
16 and by the end of the day we will have all the
17 presentations available. All IEPR workshops are recorded,
18 and both a recording and a written transcript will be
19 available on the CEC's website within a few weeks.
20 Attendees have the opportunity to participate today in a
21 few different ways. For those joining through Zoom using
22 the online platform, the Q&A feature is available for you
23 to go ahead and type in a question for our panelists. You

1 may also upload a question submitted by someone else. And
2 to do that, you click the thumbs-up icon to upload.
3 Questions with the most votes will be moved to the top of
4 the queue. And we will reserve a few minutes at the end of
5 the presentations to take some questions from the Q&A, but
6 we may not have enough time to address all the questions
7 submitted.

8 Alternatively, attendees may make comments during
9 the public comment period at the end of the morning.
10 Please note, we will not be responding to questions during
11 the public comment period. Written comments are also
12 welcome and instructions for doing so or in the meeting
13 notice, and written comments are due on June 3rd. And with
14 that, I'm pleased to introduce Commissioner McAllister, the
15 lead for the 2021 Integrated Energy Policy Report. Go
16 ahead. Thank you.

17 COMMISSIONER MCALLISTER: Very well. Thank you,
18 Heather. Appreciate you and all the staff, as always, for
19 putting together the whole IEPR production, including this
20 workshop. We're still in the early days of this year's
21 IEPR. We've already had some really good interaction with
22 various stakeholders and today will be no exception. In
23 particular, I'm really pleased to be joined by the Lead
24 Commissioner over the Energy Assessments Division and for
25 the Natural Gas Track that sits in that division, Siva

1 Gunda, Commissioner Siva Ganda, as well as Commissioner
2 Patty Monahan, who's our lead on Transportation.

3 And just a couple of brief comments, really, I
4 wanted to make. You know, this IEPR will look at natural
5 gas from various perspectives. And really the context is
6 to be able to use, the goal through this year is to really
7 use the IEPR process to develop a more complete picture of
8 the Gas system. And as we do that, be very intentional
9 about the data that we're collecting and the tools and
10 skills that we're developing at the Commission, not only to
11 do the forecast, but more broadly to serve as a
12 foundational set of tools for understanding the evolving
13 Natural Gas system and the evolving Gas system as we move
14 forward in our vast California Decarbonization Project.

15 So obviously, you know, we need tools to look at
16 reliability and safety and all the different aspects of the
17 physical infrastructure of the Gas system. And we need
18 data to do that, and we need models, and we need the skills
19 to collect and run, collect that data and run those models.
20 And so the system integrity obviously is job one and
21 safety. And so obviously we take that very seriously. I'm
22 really proud of our team actually at the Energy Commission,
23 who is a very intentionally building skills and gaining
24 insight into the Gas system, working with the gas companies
25 and all the various stakeholders, and as well as our sister

6

1 agencies, in particular, the PUC, obviously, which has
2 primary jurisdiction over the vast majority of the Gas
3 system in the State.

4 So the goal really is to create some transparency
5 and accessibility as we really enter this long-term
6 transition of our Energy systems and to understand the
7 evolving role of gas in that transition. So that toolset
8 really will bring, I think, an appreciation, or models and
9 tools that match the challenge that we face and that also
10 match the abilities that exist in the marketplace. You
11 know part of this, we're a state agency, we need to create
12 some accountability and sort of level set openly and
13 transparently to how we approach the gas system, because
14 this broad decarbonization conversation is really a -- it
15 must be open and transparent in order to find solutions
16 that really will work over time and across the whole state
17 and for all Californians.

18 So as the Policy and Planning agency in
19 California, we take that very seriously and you know, want
20 to use our work to support the PUC and the ARB as they
21 enter the Scoping Planning Process and really get better
22 over time to help solve barriers to transition as they come
23 up over time. So and as well as specific issues to, you
24 know, we have Aliso Canyon, for example, that needs to be
25 eventually retired. So our gas, our analysis needs to

1 really be able to quantify the impacts and come up with
2 solutions and alternatives for those kinds of challenges
3 that we face.

4 So with that, I'd just, by way of context and to
5 level set a little bit for today, I wanted to then pass the
6 microphone to Commissioner Gunda.

7 COMMISSIONER GUNDA. Yeah. Good morning,
8 Commissioner McAllister. Thank you for those opening
9 comments. I also want to begin with thanking the IEPR team
10 for helping host this workshop. It's an important workshop
11 today kicking off the IEPR Track on Natural Gas. I also
12 want to thank colleague Patty Monahan, Commissioner
13 Monahan, joining us on the stage today, virtual dais and
14 our colleagues from the PUC and all the presenters today
15 for taking the time to be a part of this conversation.

16 I just want to go through high level follow-up on
17 what Commissioner McAllister already teed up. So I think
18 as the State's primary Planning and Policy agency, I think
19 there's, you know, as you think through the policy process,
20 we kind of think about it broadly in three buckets, right?
21 I mean, we have the Policy Ideation Phase, where you're
22 ideating the very idea of policies that get us -- steer us
23 towards some end goals, and then you have the Planning and
24 Implementation Phase, and then you evaluate those existing
25 policies, then you come back, you know, into the Policy

1 Ideation Phase.

2 So in this cyclical process, I think CEC's role
3 is really in that Policy Ideation and that requires a
4 robust discussion, and a forum, and a venue to have a
5 process that allows for diverse opinions to come together
6 so we could make those informed decisions as we move
7 forward into the Planning and Implementation Phase. So the
8 Natural Gas Track for IEPR 2021 is set up in that spirit to
9 really explore two elements of the natural gas portion,
10 which is to promote the situational awareness of the
11 Natural Gas system as a whole, but some of the emerging
12 topics in the Natural Gas system Planning that we're all
13 currently dealing with as we think through a variety of
14 policy goals. From the electricity side, you have the SB
15 100. From the building side, you have the 30 to 32 goals.
16 You know, similarly on the transportation side, we have the
17 Executive Order that's steering us towards electrification
18 of light duty vehicles as well as decarbonization of the
19 broader fleet. And you have a variety of other goals that
20 are all coming together that really need a situational
21 awareness of where we are.

22 And the second element to what Commissioner
23 McAllister already pointed out is the importance of CEC's
24 role in ensuring that this Policy Ideation and Preliminary
25 Planning Phase has a robust analytical underpinning. And

1 as a part of this year's IEPR, CEC will begin to build on
2 its existing analytical work and refine and develop
3 additional critical analytical products necessary for the
4 ongoing planning that we're kind of going into.

5 As a complement to the IEPR work this year, the
6 staff have been doing incredible work in trying to develop
7 necessary relationships to build together a coalition and a
8 broad coordination of stakeholders to ensure the discussion
9 is robust. So outside of this public process of the IEPR,
10 the staff has also created and established a Gas Working
11 Group, which informally meets. Has about 80 different
12 stakeholders that are participating really with the goal of
13 achieving a statewide perspective and engender a robust
14 discussion. So I'm very thankful and grateful to the CEC
15 staff for envisioning that and including the State
16 policymakers, utilities, and a variety of other
17 stakeholders, bringing them to the table on a regular basis
18 to continue fostering this conversation both in a more
19 formal setting, but also informal setting.

20 So in closing, as we go into this IEPR, I just
21 want to remind everybody who joined us today the enormity
22 of the situation we're in. As Governor Newsom has multiple
23 times noted, California is really in the middle of a
24 climate emergency. And to complement and to address that,
25 you know, we have a number of ambitious goals that I kind

1 of mentioned earlier. So as we think through these
2 ambitious goals, the importance of decarbonizing the energy
3 system by 2045 is an absolutely important and pivotal
4 opportunity we have to solve this climate issue. And so as
5 we do this, we need to do it in a clean, affordable, and
6 reliable fashion. And so -- and in order to achieve that,
7 it really requires a lot of conversations with our sister
8 agencies, stakeholders and the public at large to ensure
9 that we have those diverse perspectives coming together and
10 we take an educated and deliberate decisions as we move
11 forward. So I'm really looking forward to the discussion
12 today, and I'm really grateful and thankful to all the
13 staff for the time that they put in to make this happen
14 today. Then I will pass it back to Heather.

15 MS. RAITT: Great. Thank you, Commissioner. So
16 I'll go ahead and introduce our first presenter this
17 morning. It is Melissa Jones. She's a senior energy
18 policy specialist with the Energy Commission's Energy
19 Assessments Division. So Melissa is going to give us an
20 overview to help set the stage for the workshop today. Go
21 ahead, Melissa.

22 MS. JONES: Good morning, everyone. Good
23 morning, Commissioners. Welcome today. I'd like to thank
24 all the participants in today's workshop as well, in
25 advance, and welcome all the stakeholders. Next slide,

1 please.

2 As the Commissioners pointed out, we are kicking
3 off the Gas Track of the 2021 IEPR with this workshop. And
4 as mentioned, we have two -- the two areas of focus and the
5 scoping order. Situational awareness of emerging topics in
6 natural gases and planning, and then refining and
7 developing critical analytical tools and products necessary
8 for gas planning. Today's workshop is going to focus on
9 Gas Infrastructure topics. We'll hear about hydraulic
10 modeling of the gas system and presentations on gas systems
11 R&D.

12 The Warren-Alquist Act requires us to analyze all
13 aspects of natural gas, including forecasting and
14 assessment of demand, supply, price, infrastructure,
15 markets and all related topics. In addition, we are asked
16 to identify emerging issues in this area. The intent of
17 this work under the Warren-Alquist Act is to provide an
18 analytical foundation for policy development for the State
19 of California. You can anticipate future workshops in the
20 IEPR on gas issues. We will be having a workshop
21 addressing gas demand, gas price and rate forecasts. We
22 will also be discussing the long-term demand scenarios. We
23 will have discussion on electricity reliability, but we'll
24 also be addressing gas reliability and the inter-connection
25 between these two systems. And then we will also be

1 addressing renewable gas and hydrogen as part of this
2 process. So gas issues haven't been a major focus in our
3 IEPRs over last few years. Electricity issues are
4 typically front and center. But what we want to do this
5 year is start familiarizing our IEPR stakeholders with the
6 gas system, gas issues, and the gas analytics that we're
7 addressing. We believe a coordinated approach with key
8 stakeholders, local government, communities, and state
9 agencies is essential. Next slide, please.

10 So there are a number of critical issues that are
11 driving the need for effective planning on the gas side.
12 We have gas issues that are rapidly evolving, and the State
13 really is at an inflection point. We have building
14 electrification likely to reduce long-term demand for gas
15 over the next few decades. We think that decarbonization
16 is going to present new challenges for gas system planning.
17 There are these critical interdependencies between natural
18 gas and electricity systems that call for more
19 coordination. We also have the emergence of low carbon
20 alternatives, including renewable gas, hydrogen, and
21 engineered carbon recovery or removal.

22 Also front and center are energy equity concerns
23 and the need to limit stranded cost as we move forward.
24 All of these issues are part of the transition away from
25 fossil gas, and it really does require a more proactive

1 approach to planning and a, both a rigorous and transparent
2 process for that.

3 Unlike the electricity system, there isn't any
4 formal gas planning process. The utilities do long-term
5 forecasting of demand as part of the California Gas Report,
6 and they are now doing that as well as part of the IEPR.
7 However, infrastructure investment and other decisions
8 about natural gas are based on shorter term timeframe,
9 typically three to five years in the context of rate cases
10 and other CPUC regulatory proceedings. There are only a
11 limited set of parties who consistently participate in
12 these cases, and issues tend to be very technical. For
13 some of these stakeholders it's difficult to effectively
14 engage. Next slide, please.

15 So before I start talking about gas analytics,
16 what I'd first like to do is run through a set of slides to
17 orient those not as familiar with Natural Gas Data Trends
18 and Analysis. This will be critical foundation for energy
19 decision making in the State.

20 So California is the second largest gas consumer
21 in the US behind Texas. California's average gas use is
22 about 5.5 billion cubic feet per day, Bcf. At the peak, it
23 can increase up to 11 Bcf on a very cold day. The gas
24 system is generally designed to serve residential peak load
25 on a cold winter day, and the cost allocation for the

1 system follows the same design or use. While gas prices
2 are set in an unregulated, competitive market, FERC does
3 have transmission -- does have authority over transmission
4 rates. Gas utilities are, in the State, are common
5 carriers. They purchase and deliver gas to core customers,
6 who are residential and small commercial, but they
7 transport only for noncore customers. They don't sell gas
8 to these customers. These include electric generators,
9 large commercial and industrial, including refineries. The
10 gas utilities also have an obligation to hook up customers
11 if they request it and need to get permission to abandon
12 service. Next slide, please.

13 So most of California's gas supplies come from
14 over a thousand miles away. Out-of-state gas supplies
15 account for approximately 90% of our total gas supply. And
16 of that 90%, about 20% comes from Alberta, Canada via the
17 Gas Transmission Northwest Pipeline, 30% coming from
18 Southern Wyoming via the Ruby Pipeline and also the Kern
19 River Pipeline. About 40% comes from the San Juan Basin in
20 Northwest New Mexico. That comes into the state via the El
21 Paso Natural Gas and Transwestern Pipeline. And then
22 finally, 10% comes from the Permian Basin in West Texas and
23 Southeast New Mexico, again through El Paso Natural Gas and
24 Transwestern Pipeline. PG&E generally is more reliant on
25 Canadian gas, while SoCalGas relies more on Rockies and San

15

1 Juan gas. In-state supplies are about 10% of total supply.
2 Next slide, please.

3 Gas production in California has been declining
4 since the 1980s, as you can see on the graph here. Gas
5 is -- the gas production in California is less than 1% of
6 the total U.S. gas reserves and production. The fields are
7 located primarily in geologic basins in Northern
8 California, excuse me, Northern Central Valley, some in the
9 Central, Southern Central Valley, in the Northern
10 California Coastal area, and offshore in the Southern
11 Coast area. Gas production has gradually declined, and we
12 expect it to continue to decline.

13 The primary reason for this is that oil and gas
14 producers aren't extending their drilling dollars in
15 California because they can drill elsewhere at lower costs.
16 California's natural gas production, with less than about
17 one tenth of the State's demand in 2019. Production in
18 Northern California is primarily dry gas, while in Southern
19 California, it's wet gas. When gas is retrieved or
20 produced, it can be considered either wet or dry. Dry gas
21 is at least 85% methane. Wet natural gas typically comes
22 in association with oil production, and while it contains
23 methane, it also contains liquid such as ethane, propane,
24 butane and others. The more methane natural gas contains,
25 the dryer it is. Next slide, please.

1 So California has an extensive system of gas
2 storage and pipeline infrastructure. California gas -- the
3 utilities have significant storage due to the unique
4 geology in California. Storage is an important part of the
5 gas utility system, so reliability standards for the gas
6 system are based on a combination of pipeline capacity plus
7 storage, injection, and withdrawal. The storage fields for
8 PG&E, which are shown in yellow, they're yellow squares.
9 PG&E has the Los Medanos, the McDonald Island, and Pleasant
10 Creek Storage Facility. The SoCalGas, shown in the
11 triangles, has Aliso Canyon, Honor Rancho, La Goleta, and
12 the Playa Del Rey Storage Field. In addition, we have
13 independent storage providers, and they are shown in the
14 yellow circles, and they include Wild Goose, Lodi Gas, Gill
15 Ranch, and Central Valley Storage. Together these fields
16 have a natural gas storage capacity of about 600 billion
17 cubic feet.

18 COMMISSIONER GUNDA: Melissa.

19 MS. JONES: Pardon me?

20 COMMISSIONER GUNDA: This is Siva, just calling.

21 I think we had one slide behind, so just requesting that we
22 move forward a slide.

23 MS. JONES: Oh, I'm sorry. Apologies.

24 All right, so let me just recap. PG&E are
25 the -- are the red squares, the Independent Source

1 producers are the yellow squares, and the blue triangles
2 are SoCalGas. So in addition to the storage, California
3 has an extensive pipeline gas system. PG&E has a service
4 territory that expands, or it spans 70,000 square miles of
5 service territory. Their natural gas systems include about
6 50,000 miles of natural gas pipeline. SoCalGas's service
7 territory encompasses approximately 24,000 square miles in
8 Southern and Central California. SoCalGas owns and
9 operates about 3,500 miles of transportation pipeline,
10 while they have about 50,000 thousand miles of distribution
11 pipeline. Next slide, please.

12 In terms of gas demand, you can see from the
13 slide here that early, let's see here, excuse me, that
14 overall gas demand started to decline, well, it went up
15 from 2010 and 2011, and that was some of the rebound that
16 was associated with the Great Depression. But following
17 that, we've seen declines in natural gas in demand.
18 Weather is the most important variance in terms of gas
19 demand. You'll see that gas demand went up in 2012, 2013,
20 that in that year we experienced a particularly cold
21 winter. Residential varied mostly with weather, but also
22 economic conditions affect that. Electric generation
23 varied depending on the weather, but also the hydro
24 condition in the State and in surrounding states where we
25 import hydropower. We -- gas demand does increase as a

1 clean fuel to make up for lost hydro, and it decreases
2 substantially when we have wet hydro conditions.

3 Overall gas generation is declining with the
4 increase of solar and wind generation on the electric
5 system, which has increased dramatically in recent years.
6 We expect that gas demand overall in the electric sector is
7 going to decline. However, in the near-term we may have
8 some additional growth simply because of renewable
9 integration needs, in the near-term. Both utilities have
10 forecasting declines in residential gas need, and in the
11 commercial sector. Most of these savings are attributed to
12 energy efficiency. However, I will point out at this point
13 in time, their forecasts do not take into account fuel
14 substitution or electrification of residential and
15 commercial buildings. Next slide, please.

16 So gas prices were quite low and stable from the
17 mid-80s to 2000, but we saw a peak in gas demand that
18 started around 2010. You will also notice that there is a
19 spike in demand in 2000 and 2001. That is associated with
20 the California Energy Crisis. And starting in around 2004,
21 we were starting to see declining production in our
22 traditional gas basins and competition for that gas started
23 driving up the prices. At that point in time there was an
24 extensive building of LNG facilities in the US, but
25 primarily in the Gulf Coast and East Coast. There were as

1 many as five LNG facilities proposed off the California
2 Coast, and Cost Azul LNG facility owned by Sempra did get
3 constructed. It's in Mexico.

4 And then in around, well, so we then had shale
5 gas -- gas production that started to replace the need for
6 LNG. Starting in about 2000, shale gas provided about 1%
7 of U.S. natural gas production. By 2010, it was up to over
8 20%. And the EIA anticipates that by 2040 -- 2035, as much
9 as 46% will be from shale gas. U.S. -- the U.S. is now a
10 next -- net exporter of gas for about the last five years
11 and in addition, there is at the Costa Azul Plant, which
12 was originally designed to accept LNG imports, they are
13 adding the capability to export from that terminal. And as
14 you can also see from this Price Graph, California's at,
15 weighted average Citygate Prices tend to trend slightly
16 lower than U.S. prices. Next slide, please.

17 So now I'm going to just introduce some of the
18 analytical capabilities, modeling expertise, new tools and
19 models that are needed to support gas transition planning.
20 We believe that -- we have been, over the last year,
21 reevaluating our gas analytics. We believe that broader
22 more comprehensive assessment of natural gas are needed to
23 support important policy objectives. These include
24 ensuring reliability for remaining gas customers and also
25 ensuring reliability for the electricity system.

1 In addition, we want to minimize ratepayer impact
2 and the burdens that are placed on remaining customers, and
3 above all, we want to provide for environmental
4 sustainability. We believe that analytical support for
5 strategic planning will enable us to come up with better
6 clean energy policies. And in order to do that, we need to
7 understand changing demand patterns and long-term demand
8 scenarios. We need to identify additional opportunities to
9 downsize gas infrastructure. We need to assess how to
10 adapt gas system reliability standards over time. And we
11 also need to develop ways to deal with financial
12 implication of gas system costs as they're spread over
13 fewer customers. Next slide, please.

14 So this slide shows the Gas System Modeling and
15 Analytics that we're engaged in. And as you can see, it's
16 very interactive -- iterative, and there are many flows of
17 information back and forth between the different models,
18 and tools, and analysis that we do. So on the right hand
19 side of the figure, we show Gas Demand Forecast as part of
20 our California Energy Demand Forecast. We use various end-
21 use and econometric models to forecast gas demand and we
22 use economic -- econometrics and we use demographic inputs
23 in identifying forecasts. We use gas price inputs. We use
24 electricity price inputs. And finally, our policy goals
25 are incorporated into our Demand Forecast. The outputs of

21

1 these models is Gas Demand by sector, and I will point out
2 that this, the CEC only accounts for Residential and
3 Commercial, Industrial and Other Demand. We forecast
4 Electric Generation Demand separately. And so in the
5 second column, what you see at the top is our forecasting
6 of Electric Generation Demand and we do use Production Cost
7 Modeling, our PLEXOS Model, to arrive at Electric
8 Generation Gas Demand for the State.

9 Next, we do Gas Price Forecasting. We use our
10 NamGas Model, which produces annual and monthly gas
11 commodity prices, and those are Trading Hub Prices. We
12 also develop Burner-tip Prices, which are basically Hub
13 Prices, plus the cost of transportation. We forecast Gas
14 Rates and we try to incorporate Market Dynamics into those
15 forecasts.

16 Next, we do Infrastructure Assessment, and we use
17 both gas balance and hydraulic modeling to address
18 infrastructure. And today we will be hearing about our
19 hydraulic modeling. The issues and things that we can
20 address with these two tools are reliability of the gas
21 system, operations, safety, and asset replacement, amongst
22 a number of other infrastructure questions that are put
23 before us. There's also Policy Assessments that need to be
24 done as we move forward. In some cases, we're developing
25 new tools. We will all need to develop some new tools and

22

1 models to address many of these issues. And some of them
2 include GHG emissions, equity and workforce, the role of
3 the gas system in our overall decarbonized energy systems,
4 and where our energy and hydrogen will fit in.

5 And then finally, that brings us to, on the right
6 hand side, Long Term Infrastructure Planning. And for
7 this, we have some tools already. We're developing tools.
8 You'll hear about some of those today. The utilities are
9 developing tools as well. And these tools and models will
10 help us prioritize safety investment. There's a large
11 amount of investment that are still scheduled to be done
12 regarding safety. And so we need to decide how to
13 prioritize those investments and limit our stranded cost.
14 We need to start targeting electrification so that we can
15 get the best results in terms of cost savings on the
16 distribution system. We need to look at ratepayer impacts.
17 We need to identify alternative rate design. We need to
18 look -- need to look at distribution decommissioning. We
19 have aging infrastructure and AldylA Pipeline that needs to
20 be replaced. We need to look at Utility Business Model,
21 and in all of this, we're trying to reduce the amount of
22 stranded assets.

23 And so, as you can see, we have a lot on our
24 plate and we're very excited to be doing this work. And so
25 if there are any questions, next slide, please. I will be

1 happy to take them.

2 MS. RAITT: Okay. Thank you, Melissa.

3 MS. JONES: Thanks.

4 MS. RAITT: Hearing no questions. You did a
5 great job.

6 So I would like to introduce our next speaker.
7 I'm Heather Raitt. Our next speaker is Jason Orta. And
8 Jason is also with the Energy Commission's Energy
9 Assessment Division, and he's the Lead Natural Gas system
10 Hydraulic Modeler. Go ahead, Jason.

11 MR. ORTA: Good morning, Commissioners. So this
12 presentation will discuss one of those tools and skill sets
13 we are developing for the Analysis of the Natural Gas
14 System, which is the -- which is the hydraulic modeling,
15 the analysis of the gas utilities' hydraulic models. These
16 models will provide valuable insight to California's
17 natural gas system. In addition, this presentation will
18 explain what hydraulic models are, how they are used by
19 utilities and how they can support the CEC's work in
20 analyzing the natural gas system.

21 The Warren-Alquist Act requires the Energy
22 Commission to conduct forecasts and assessments of the
23 natural gas system. These analysis -- analyses are to
24 consider reliability, environmental impacts, California's
25 economy, and public health. For the 2021 IEPR, we are

24

1 assessing the long term outlook for natural gas use, while
2 developing and refining tools such as the hydraulic
3 modeling. Next slide, please.

4 In California, natural gas is used for water and
5 space heating, by restaurants, schools, commercial
6 laundries, health care, food processing, and as a fuel and
7 an input for industry. The images that you see on this
8 slide are not an all-inclusive list of natural gas users,
9 but it gives you an idea of the diversity of users and
10 their different uses and their different needs. But also
11 of interest here is the role of natural gas-fired power
12 plants in meeting electricity demand and also supporting
13 the integration of renewables in the electricity system.
14 So natural gas system reliability impacts electric system
15 reliability, and the needs of the electric system impact
16 the gas system as well. Next slide, please.

17 So Melissa showed you in her presentation those
18 the resources where California gets its natural gas from.
19 I just showed you a slide that provides an example of the
20 diversity of the demand of natural gas. The system -- the
21 transmission system that you see on the right hand of this
22 slide is a system where all that gas from out-of-state and
23 in-state is delivered to customers. Also seen on this
24 slide are the storage facilities that are interconnected to
25 California gas system -- to the California gas system. The

25

1 gas system in California looks like this in order to
2 deliver gas to where it's needed and to bring it from where
3 it's produced. So the gas system will look completely
4 different if population and if demand were in different
5 locations.

6 One of the things that I didn't -- I forgot to
7 bring up in my previous slide is speaking of demand. We
8 also -- the complexity of the gas system also extends to
9 the transportation system as natural gas is used for oil
10 refining and also the infrastructure can be used for
11 compressed natural gas or renewable natural gas
12 transportation fueling. But so if you take the complexity
13 of dispersed demand in the supply of this system, in the
14 supply, hydraulic modeling can give you an insight into
15 that complex system. And this is just a part of the system
16 because the graphic that you see on the right does not
17 include the gas distribution system. Next slide, please.

18 So what is hydraulic modeling? The images on the
19 left are stock photos from the training materials for the
20 hydraulic modeling software. Those aren't the hydraulic
21 models that are provided to us. Hydraulic modeling is the
22 gas equivalent of the power flow model. And it
23 answers -- and it's basically there to answer the question
24 of can we ensure that the gas system meet demand while
25 avoiding customer curtailment?

1 So hydraulic modeling works as follows, it
2 simulates the activities of the gas system in order to
3 assess pressures and flows. And you're all -- and also
4 it's the other -- the other thing here is that you have to
5 meet demand while falling into -- falling in between
6 minimum and maximum allowable operating pressures. These
7 models can not only explore a moment in time, but they can
8 also explore a period of time, a whole day for example, in
9 a gas system within minutes or an hour by hour look at
10 what's happening. I've been asked why spreadsheets cannot
11 be used to simulate the system. Well, these systems are
12 very complex. There's multiple supply and demand nodes
13 scattered throughout the system, and the networks include
14 pipes with different diameters and lengths. Next slide,
15 please.

16 So what's in these hydraulic modeling files that
17 are transmitted to us by the gas utilities? These include
18 things like system specifications, such as pipeline lengths
19 and diameters. Also, there are other system components
20 represented in these models, such as valves, compressors
21 and regulator stations. It also -- they also include
22 supply and demand throughout the system. But please note,
23 as you can imagine that this data is very sensitive, and
24 CEC regulations allow for automatic confidential
25 designation for the models provided to us. Next slide,

27

1 please.

2 The hydraulic models are read on a software
3 platform known as Synergi Gas, which is used by most large
4 natural gas utilities in the United States. This software
5 was developed in the 1970s. And after several
6 acquisitions, Synergi Gas is now a -- the product of the
7 DNV company, which is based in Oslo, Norway. Next slide,
8 please.

9 How did gas utilities use hydraulic modeling?
10 Here's a -- here's a quick overview. This is not an all-
11 inclusive list. These models are used to assess -- to
12 calculate available capacity on the system. Say for
13 example, you -- they are doing work on a compressor
14 station. If that compressor station is not available,
15 tomorrow, based on that information, they'll calculate
16 tomorrow's available capacity. Hydraulic models can also
17 be used as a planning tool. For instance, you -- a system,
18 a gas system might have an expected future change in
19 demand, such as a new housing subdivision or a new power
20 plant, or if a gas system is -- if there's a proposal to
21 add or remove infrastructure off of the system, hydraulic
22 models can assess the impacts of those future planning
23 activities. Next slide, please.

24 The CEC's hydraulic modeling work has been
25 developed over the last five years. So in April 2016, when

28

1 SoCalGas released its modelling results for the Aliso
2 Canyon study, the State agencies relied on these utility
3 results. However, the State was not able to have -- was
4 not able to independently verify those results at that
5 time. So over the years, we have -- we have adjusted to
6 that circumstance. So in February 2018, we modified our
7 data collection regulations to require large gas utilities
8 to submit hydraulic models. We are the first state, the
9 first regular -- state regulatory agency in the United
10 States to procure a Synergi Gas license. And right after
11 we changed our regulations, we received training from DNV
12 in person and also via webinar. And in addition to that,
13 the gas utilities have submitted hydraulic models, provided
14 us demonstrations of their models, and have responded to
15 our various data requests. And in addition to that, we
16 have spent a lot of time looking at these models and trying
17 out different things with them. Next slide, please.

18 So this -- the work with the utilities alludes to
19 our approach to hydraulic modeling. It's a collaborative
20 activity with the utilities who operate these systems and
21 who have built and modify these models over many years.
22 This includes collaboration with colleagues who work on
23 electricity and natural gas issues because the gas system
24 and the electricity system are very much interdependent.
25 There's also a bit of research involved keeping up with

1 regulatory proceedings related to natural gas.
2 Understanding the models and the software is not enough.
3 The context that is provided in these proceedings completes
4 the knowledge that you need for this. Next slide, please.

5 So I'm going to go quickly through some
6 observations that I've had from looking at the gas
7 utilities models. We see where the gas comes in and where
8 it's delivered. We can also make adjustments to that by
9 setting pressures, setting pressures on compressor and
10 regulator systems. You can also observe the complexity of
11 this system. As we look at the future of the natural gas
12 system, you may see something -- you might see a pipeline
13 in a system in which it flows to a lot of residential
14 customers and it -- and it ends in a large customer. Next
15 slide, please.

16 You'll also see deliveries between the utility
17 systems, you know because the systems of PG&E and SoCalGas
18 are interconnected. You can identify spots that are
19 vulnerable to high and low pressures on the system. And
20 in -- and in -- and we also are able to assess the impact
21 of hypothetical service curtailments, including simulating
22 what happens if gas is not delivered to a power plant. And
23 we were also to look at scenarios such as the impact of
24 disabling pipeline segments and other components of the
25 system, including compressor engines, and we were able to

1 look at bringing in alternative supplies or supplies from
2 other supply nodes in the model to meet system demand.
3 Next slide, please.

4 So we are -- we are continuing to build upon this
5 work in the future. We want to further understand the
6 interdependence between the gas and electricity systems.
7 We also want to do a deeper dive into local transmission
8 and distribution models and better understand flows to
9 residential customers. Hydraulic modeling can also be used
10 to simulate hydrogen blending into the natural gas system.
11 Hydrogen gas is a different chemical property, has
12 different chemical properties than natural gas. More
13 molecules of hydrogen are needed to produce equivalent
14 amounts of energies. We don't have that capability yet,
15 but we are working with a software vendor to develop that.
16 We also want to continue collaboration on gas R&D efforts.
17 And one of the things that Melissa mentioned in your
18 presentation is further refinement of demand forecasts and
19 doing deeper dives on those. We want to be able to
20 incorporate different demand scenarios into the hydraulic
21 modeling. Next slide, please.

22 And that concludes my presentation. Here is a
23 lovely photo of me at an RNG production facility near
24 Bakersfield. Commissioner McAllister and his adviser,
25 Fritz Foo, was also on that trip. That was a -- that was a

1 fun day. And I will take any questions. Thank you.

2 I see that Commissioner Monahan has a question
3 for me.

4 COMMISSIONER MONAHAN: Yeah. Jason, that was
5 great. Just a really quick question. The slide when you
6 showed the deeper dive into local transmission and
7 distribution models and you pointed out residential, can we
8 also do that same kind of refinement with industrial
9 sources? I think it's -- is it --

10 MR. ORTA: Yes.

11 COMMISSIONER MONAHAN: Okay. So it's not just
12 one or the other, we can actually tweak the entire system?

13 MR. ORTA: That's correct. Yes. So on, for
14 instance, on -- you might see on these lower pressure
15 system models, individual or blocks of industrial
16 customers, and we can try different things with demand for
17 those customers.

18 COMMISSIONER MONAHAN: So we -- so we could
19 do -- we could try what would it mean to blend hydrogen,
20 and have it be really targeted to specific industrial
21 users?

22 MR. ORTA: We -- that's something that the model
23 can, I mean, we can eventually do. I don't have the
24 capability to do hydrogen blending yet, but the software
25 vendor has expressed a lot of interest in spending time

1 with me to do that and that's something that we can -- that
2 I can look into.

3 COMMISSIONER MONAHAN: All right. Thank you.

4 MR. ORTA: Thank you.

5 COMMISSIONER GUNDA: Thank you, Jason. Just a
6 couple of follow-up questions, and I'm seeing the Q&A too,
7 and I think they are consistent with a couple of questions.

8 So do, first of all, thank you for the excellent
9 presentation. That was very helpful to set the stage. So
10 as we think through this, you know you kind of specifically
11 mentioned the interaction of storage and the reliability,
12 and the ability to use the hydraulic modeling to support
13 that work. Could you expand on that a little bit? What
14 we're considering in the short timeline and also the longer
15 timeline, what you're thinking about and anything that you
16 could share there?

17 MR. ORTA: Yeah. So in terms of -- in terms of
18 looking at storage, you'd want to try different demand
19 scenarios. And if you can, depending on the model,
20 intraday scenarios, looking at various injections and
21 withdrawals from these facilities. You also might want to
22 look at a lower demand day to see how the impact of maybe
23 injecting into a storage facility would impact system
24 pressure. You might have a scenario where there's flow
25 that pressures might be going up, you might have a lower

33

1 demand day and you might want to look at injections. So
2 those are the various kinds of scenarios that we would need
3 to flesh out is looking at sort of these intraday
4 injections and withdrawals from storage facilities.

5 COMMISSIONER GUNDA: Thank you, Jason. So I'm
6 going to, just taking it from what you say, that you know,
7 as we move towards, you know, the kind of cleaning up to
8 the electric grid and the dependency of the natural gas
9 fleet on the infrastructure and the storage and all, we
10 will be able to understand the electric reliability tie up
11 with the infrastructure pretty well with the hydraulic
12 model.

13 MR. ORTA: Yes. You can definitely -- you can
14 definitely develop that understanding. I mean what you
15 would see, for instance, if you withdraw -- if you do a
16 storage withdrawal on a -- on a model and simulate a day,
17 you can see the pressures at a level in which it would
18 allow for reliable service to those facilities. I mean
19 it's -- or you can look at -- you can look at the storage
20 facility by itself or if there's others interconnected to
21 the system, you can look at how they work together. So
22 there's definitely different types of scenarios you can
23 look at especially, and as power plants are, you know some
24 of them are really large customers, you can see impacts to
25 individual power plants or groups of them within a similar

34

1 location.

2 COMMISSIONER GUNDA: Great. Thank you so much.

3 MR. ORTA: Thank you, Commissioner.

4 COMMISSIONER MCALLISTER: Okay. I see we do need
5 to move on because we're a little bit over time. So I
6 will -- thank you, Jason, for that. I will -- I'll hold my
7 questions until a little bit further on.

8 MS. RAITT: Okay. Thank you, Commissioners.
9 Thank you, Jason. So we'll move onto our next speakers.

10 Kristina Abadjian and Eileen Hlavka are joining,
11 both from the California Public Utilities Commission, and
12 Eileen and Kristina are both senior energy analysts at the
13 CPUC. Go ahead. Thank you both.

14 MS. ABADJIAN: Good morning, everyone. My name
15 is Kristina. First, I'd like to thank the Commissioners
16 and Energy Commission staff for inviting us to present on
17 some of the developments in the CPUC's Aliso Canyon
18 investigation. Next slide, please.

19 Before we dive into the analytics of this
20 proceeding, I'd like to briefly go over this graphic with
21 you, which is a map of where gas storage fields are located
22 in California. As you can see at the bottom, Aliso Canyon
23 is located in Southern California near Los Angeles and is
24 the largest of SoCalGas's four storage fields. Next slide,
25 please.

1 Here we provide a brief overview of Phase 2 of
2 the proceeding. The CPUC opened this investigation in 2017
3 to determine whether we can move away from Aliso while
4 still maintaining gas and electric reliability and just and
5 reasonable rates. The modeling inputs in Phase 2
6 incorporate all of California's current climate goals and
7 assumptions about future electric procurement in the CPUC's
8 Integrated Resources Plan. The modeling results show that
9 we cannot yet eliminate Aliso without risking energy
10 reliability and customer rates given the rules and
11 infrastructure we have in place today. The Phase 2 results
12 will inform the CPUC's Phase 2 Decision, which has not yet
13 been determined. Next slide, please.

14 This slide provides a breakdown of our modeling
15 efforts and results. The economic modeling was backward
16 looking. We tried to assess the economic impacts of the
17 restrictions at Aliso. The modeling also captured the
18 impacts of outages that we saw on critical transmission
19 lines starting in the fall of 2017. Here we -- here we
20 conducted a Volatility Analysis which showed that gas
21 prices became more volatile in 2017 and more so in 2018.
22 The Difference in Differences Study in which we estimated
23 the economic impact of the Aliso restrictions on core
24 customers showed that procurement costs for core customers
25 went up in 2017 and even more so in 2018. The total impact

1 on SoCalGas's core customers averaged over \$100 million per
2 year from 2016 through 2018. The Implied Market Heat Rate
3 and Excess Electric Cost Study estimated the efficiency of
4 the electric markets before and after the Aliso leak, and
5 it assessed excess electric costs caused by the Aliso
6 Canyon restrictions. This study showed us that customers
7 paid about \$916 million in excess electric costs in 2018.

8 So the Production Cost Modeling and the hydraulic
9 modeling were more forward looking. We tried to see what
10 the impacts would be if we actually minimized or eliminated
11 Aliso altogether. The Production Cost Modeling assessed
12 whether eliminating Aliso would cause reliability impacts
13 on electric markets. The PCM compared to scenarios, an
14 unconstrained scenario where the system is operating
15 without constraints on available gas. The second scenario
16 assumed a minimum local generation scenario which -- where
17 we curtailed generators down to a Minimum Local Generation
18 level. The modeling here showed that there would be
19 significant reliability concerns if generators were
20 curtailed to that Minimum Local Generation level. And in
21 addition, electric costs were estimated to increase if
22 generation was curtailed, primarily due to an increased
23 need for power imports.

24 And finally, the hydraulic modeling was done to
25 determine the ability of our current gas system to provide

1 reliable gas service to customers. The Reliability
2 Assessment of the hydraulic modeling focused on whether
3 demand could be met under different peak day standards.
4 The modeling showed that summer peak demand could be met in
5 all study years without the need for Aliso Canyon. In
6 addition, it showed that Aliso is not needed to meet
7 reliability under 1-in-35 winter extreme peak day
8 conditions. Now under this scenario, noncore customers are
9 assumed to be fully curtailed. However, under the 1-in-10
10 winter peak demand conditions in which SoCalGas is to
11 maintain service to both core and noncore customers, the
12 modeling showed us that Aliso is needed for reliability in
13 all the study years.

14 Next, the Feasibility Assessment focused on
15 whether demand could be met across multiple cold days under
16 a range of conditions, including differing levels of
17 available pipeline capacity. The Feasibility Analysis
18 showed that pipeline capacity available was the strongest
19 determining factor affecting the feasibility outcomes. The
20 Feasibility Assessment results suggest three potential
21 maximum allowable Aliso inventory levels, depending on the
22 level of pipeline capacity assumed to be available, and the
23 CPUC's determination of acceptable risk of gas shortages.
24 And you see right here the three different maximum
25 allowable inventory levels that were suggested through

1 the -- through the Feasibility Assessment.

2 So that's the update I have on Phase 2. Next up,
3 I will turn it over to my colleague Eileen, who will go
4 over Phase 3.

5 MS. HLAVKA: Thank you, Kristina. So while Phase
6 2 studied the situation with the current infrastructure,
7 Phase 3 looks at the potential to replace Aliso Canyon with
8 alternatives as early as 2027. This Phase of research
9 is -- was contracted out to FTI, Inc per the governor's
10 request to hire an outside contractor. FTI's research
11 approach has two main phases; the baseline and portfolios.

12 The baseline is modeling how much gas demand
13 could not be met on the coldest day in 10 years if Aliso
14 were gone. And this was done using hydraulic modeling with
15 the Greg software, which is similar to the Synergi software
16 which Jason discussed and which CPUC's team used for the
17 Phase two research, which Cristina discussed.

18 Then the portfolios. So if that demand shortfall
19 was filled with something else, then for each of several
20 something elses, what are the costs and the benefits, that
21 is to ratepayers, modeled by iterating market models for 20
22 years? For this, the gas production cost model was used
23 for the gas market modeling and PLEXOS for electricity
24 market modeling. Sorry, I said was. This is ongoing. The
25 demand assumptions FTI is using for this are from the

1 utilities 2020 California Gas Report. These results will
2 be presented later this summer and fall. For some results
3 so far, let's go to the next slide.

4 In addition to the modeling with the gas
5 production cost model and PLEXOS, FTI also did a monthly
6 gas balance, which tracks gas supply storage and demand on
7 a monthly basis over the course of a year to see if demand
8 can be met.

9 This was for 2027 and for 2035. This analysis
10 concluded that seasonal demand can be met without Aliso,
11 which is in part because demand is forecast to decrease by
12 2027 and further by 2035. However, their Baseline Analysis
13 baseline, in the sense that I discussed earlier, concluded
14 that in the absence of Aliso Canyon or something to replace
15 it, there would be a gas shortfall on a 1-in-10 cold winter
16 day. Next slide.

17 That shortfall is shown on this slide as the
18 so-called target. What we're looking at now and what FTI
19 is researching is what portfolios can fill that. So from
20 left to right on the slide: with that being upgrades to the
21 existing gas system, which are kind of a business as usual
22 approach, which can be compared with the others; reductions
23 in gas demand. That is potentially including energy
24 efficiency, building electrification, and/or gas side
25 demand response; increased electric generation resources,

40

1 which would be in proportion, modeled in proportion to
2 what's in the IRP, thus including solar storage and
3 electricity side demand response; or additional electric
4 transmission; and a fifth portfolio, which is to be defined
5 after we have results from the first four, potentially
6 combining their strongest options. All of these results
7 and portfolio definitions are preliminary, and upcoming
8 workshops will also be open for formal comments. Thank
9 you. And I will turn it back over to Heather.

10 MS. RAITT: Great. I think it looks like
11 Commissioner McAllister. Do you have a question? Oh. It
12 looks like you're muted or we're not hearing you.

13 COMMISSIONER GUNDA: We do see your video now.

14 COMMISSIONER MCALLISTER: Should be working now.
15 Can you hear me?

16 MS. RAITT: Yes.

17 COMMISSIONER MCALLISTER: Great. Okay. Yeah.
18 Sorry about that. So I had my hand up from the last
19 presentation, so no. No questions for the PUC for now, but
20 thanks a lot for the presentation. It's really great to
21 know that you're digging into Aliso. And I'm sure there's,
22 you know, a lot of depth that we could go into. We don't
23 really have time to about the contractors work and, you
24 know, providing some additional context, but thanks for
25 that update.

1 COMMISSIONER GUNDA: Yeah. I do want to just
2 kind of make sure I say the same thing, I think. Kristina
3 and Eileen, thank you so much for your presentations and
4 also the ongoing collaborative work that CPUC and CEC have
5 been doing together to really kind of foster a robust
6 conversation on developments. That's really good to hear.
7 I have a bunch of follow-up questions that I'll follow-up
8 separately. I don't think we'll be able to hear them
9 today. Thank you so much.

10 MS. ABADJUA: Thank you.

11 MS. RAITT: All right.

12 MS. HLAVKA: Thank you.

13 MS. RAITT: Thank you so much. So we will move
14 on to Jonah Steinbuck from -- he's a manager at the Energy
15 Commission's Energy Generation Research Office. So go
16 ahead, Jonah. Thank you.

17 MR. STEINBUCK: All right. Thanks, Heather.

18 Good morning, everyone. Good morning, Commissioners.

19 Again, I'm Jonah Steinbuck. I'm the manager for the Energy
20 Generation Research Office at the CEC. And thanks to the
21 IEPR team for the opportunity to share our R&D work here
22 today relative to gas infrastructure and specifically
23 focused on targeted decommissioning. I do want to say,
24 too, that this work has benefited from stakeholder input in
25 past workshops and wanted to also just thank our colleagues

42

1 at the CPUC and the IOUs in particular for productive
2 conversations and information exchange that helped
3 contribute to this work. And very much welcome, you know,
4 further input today to help further shape this work and
5 make it more impactful. Next slide, please.

6 So first, I'd like to just provide a little bit
7 of context on the Natural Gas R&D Program, which is this
8 work that I'll be discussing today, is situated within.
9 Then briefly discuss a Study of Gas system Transition that
10 informs our decommissioning related R&D, and then cover
11 some specific plans on R&D initiatives focused on Targeted
12 Decommissioning. Next slide, please.

13 So I will start with the program overview for
14 some context. Next slide. So the Natural Gas R&D program
15 advances research and technology development that supports
16 the State's goals for decarbonization, safety and equity.
17 It operates on \$24 million per year of natural gas
18 ratepayer funds and then delivers grants to researchers and
19 technology innovators. And the Project's been a broad
20 range of areas. The various sectors that consume natural
21 gas shown in the pie chart here, as well as safety of
22 transmission, distribution and storage, and renewable gas
23 production as well.

24 And these R&D investments have had significant
25 impact. One measure of that is the sort of amplifying

1 effect of our investments. So over the past decade and a
2 half, the CEC has supported 270 projects, investing \$278
3 million of public funds, which then catalyze \$4.4 billion
4 in follow-on private investment. So a 16-fold, kind of
5 amplifying effect on our public investment there.

6 And then with respect to equity, over the past
7 five years the CEC has invested two-thirds of its Natural
8 Gas R&D Program funds on projects in disadvantaged and low
9 income communities. And those are -- some of those project
10 sites are shown as various colorful symbols here on the map
11 to the right. Next slide, please.

12 So I'd just like to give a little bit of a sense
13 of the breadth of the Natural Gas R&D Program. This is an
14 illustrative subset of initiatives from the last two Budget
15 Plan Cycles. So you can see a range of initiatives. We've
16 got renewable gas production research, hydrogen
17 applications in trucks and buses. And for power
18 generation, studies have pollutant exposure from cooking
19 with natural gas, among others. And the two that I'll be
20 focusing on here are shown in bolded text. So the data
21 driven tool for strategic and equitable decommissioning and
22 the location specific analysis of decommissioning. Next
23 slide, please.

24 So I'll just briefly touch on a study, first,
25 that informs some of the current R&D initiatives that I'll

1 be discussing later in the presentation. So you can go the
2 next slide, please.

3 So this is a project led by E3 that concluded
4 last spring and really helped crystallize the need for
5 managed gas system transition. So the overall objective
6 was to inform decision makers on how the gas system and
7 building sector can help meet our mid-century greenhouse
8 gas goals, while also addressing considerations of
9 affordability and equity. So the main takeaways are on the
10 slide here. Building electrification is a key, low cost,
11 low risk strategy for meeting our climate goals relative to
12 scenarios with greater reliance on renewable gas use in the
13 building sector. By pursuing a high electrification
14 pathway within buildings, you can drive down emissions
15 within the building sector, and that can put us on a path
16 for reaching the economy-wide carbon neutrality goal.

17 Renewable gas, while relatively costly, is still
18 quite important for decarbonization, particularly in hard-
19 to-electrify cases. So segments of the industrial sector
20 and trucking, as a couple of examples. And the study also
21 introduces and discusses this feedback loop that could push
22 up gas rates for customers that remain on the gas system
23 due to drivers such as aging gas infrastructure and
24 economic electrification. That feedback loop in the
25 overall study really underscore the need for a managed

1 transition to both achieve our climate goals but do it with
2 low societal and customer cost and also with attention to
3 equity. Next slide, please.

4 So that's a closer look at the feedback loop I
5 just mentioned. So top left we've got aging gas
6 infrastructure and rising commodity costs that contribute
7 to higher gas rates. That together with lower cost
8 renewables, better electric technology like heat pumps and
9 reduce -- increase electric demands, all drive towards
10 building electrification and being more economic. That
11 together with climate policies, then reduces gas demand.
12 And so the fixed costs of maintaining the natural gas
13 infrastructure is spread across fewer customers and fewer,
14 you know, less throughput. So that puts upward pressure on
15 gas rates. So this again underscores the need for a
16 managed transition and motivates some of the other R&D that
17 I'll discuss next here. Next slide, please.

18 So yeah, just will provide a little bit of a
19 brief overview of two R&D initiatives related to
20 decommissioning. Next slide, please.

21 So the first initiative is focused on developing
22 a data driven tool for identifying promising
23 decommissioning sites. So the focus would be on the
24 distribution portion of the gas system, which links to
25 buildings. So the idea would be to evaluate kind of

1 broader regions. Sorry. Previous slide. With the
2 graphic. Back two slides, please. One more. Yep. Oh.
3 There we go. The one with the buildings schematic, please.
4 Thank you. That's it. Okay.

5 So the funding level for this initiative is 1.5
6 million. We plan to have a workshop in the summer
7 time-frame, with research solicitation to follow
8 thereafter. And we envision a series of follow-on
9 initiatives to build on this effort. And the figure to the
10 right here, this shows a sort of simplified schematic that
11 illustrates that if we take a zonal or geographically
12 clustered approach to electrification, we can then retire
13 segments of the gas infrastructure, realize the cost
14 savings from no longer maintaining that infrastructure, and
15 that helps address the feedback loop on gas rates that I
16 mentioned before.

17 This initiative will leverage detailed
18 information from the IOUs about the gas system
19 infrastructure, as well as the
20 co-located electricity system infrastructure to understand
21 where may be favorable to decommission. So this would
22 incorporate information on, for example, the condition of
23 natural gas pipelines, the cost of maintaining that
24 infrastructure, etc. And some of this information will be
25 leveraged from early pilots, including to under the natural

1 gas R&D program that my colleague, Qing Tian, will be
2 discussing a bit more in the next presentation. But the
3 initiative here is really going to help evaluate
4 opportunities for decommissioning and then help address,
5 you know, examination of potential benefits of
6 decommissioning. And the tool could be used to explore how
7 different site selection criteria may suggest different
8 locations or alter the scale of the opportunity for
9 decommissioning, so it can be a tool to aid in our
10 thinking. Next slide, please.

11 So here's a look at the benefits, the initiative
12 is intended to support state agencies to more effectively
13 engage in policy and planning for the gas system. One goal
14 is to foster an open accessible planning process, and this
15 initiative could contribute to that. Also, it's expected
16 that this tool could enable more focused site-specific
17 analysis of decommissioning and the associated benefits.
18 And then ultimately inform strategies for cost-effective,
19 equitable transition of the gas system. And I'll just
20 note, too, that we've benefited from and appreciate the
21 engagement of the IOUs, and their continued sharing of
22 expertise, information, and data is going to continue to be
23 critical. Next slide.

24 So this next initiative is in our Proposed Budget
25 for the next fiscal year. This would build on the

1 data-driven tool and develop the analytical approach to
2 examine the technical feasibility of decommissioning
3 specific segments of the gas system. So the first step
4 would be to develop an approach for targeted analysis of
5 the operational implications of decommissioning. What does
6 decommissioning mean for the delivery of gas in adjacent,
7 hydraulically connected portions of the system? And what
8 issues and mitigation measures may be important? And this
9 could include application of tools like hydraulic modeling
10 that Jason discussed, and other engineering analysis tools,
11 as well as consideration of cost of any operational issues.
12 We'd then apply that analytical approach to promising
13 candidate sites, such as those identified from the
14 data-driven site screening tool. Perhaps locations with
15 pipeline integrity issues or other, you know, corrosion,
16 for example. And also examine sites in under-resourced
17 communities to help those communities engage as early
18 participants in this transition. Next slide.

19 So here's a look at the benefits. It's -- this
20 initiative is intended to support reliability and market
21 stability, help ensure that we're targeting decommissioning
22 opportunities that don't cause other consequences for the
23 gas system operations and help bridge the gap between
24 broadscale system planning and kind of more local system
25 operations. So inform the geographic focus and staging of

1 decommissioning. And then the overall objective is the
2 same as for the data-driven tool to inform strategies for a
3 cost-effective, equitable gas system transition.

4 And with that I -- my next slide is just the
5 conclusion here. So thank you. And I welcome any
6 questions or comments.

7 COMMISSIONER GUNDA: Thank you, Jonah, so much
8 for your presentation. That was really, really helpful.
9 Great work there. In interest of time, I would like to
10 move on to the next presentation and maybe you could stay
11 on for questions later.

12 MR. STEINBUCK: Yeah. Absolutely.

13 MS. RAITT: Great. Thank you. This is Heather
14 Raitt, again. So our next presenter is Qing Tian and he is
15 the team Lead of the Energy Commission's Energy system
16 Research Office. So go ahead. Thank you.

17 MR. TIAN: Yes. Thank you for the introduction,
18 Heather. Good morning, everyone, and Commissioners. My
19 name is Qing Tian. I'm from the Energy systems Research
20 Office. Very excited to be part of the IEPR workshop.
21 Jonah has provided us a good overview of our natural gas
22 research and development program. For my presentation, I
23 will be talking about, mostly about, our Natural Gas
24 Infrastructure Safety and Integrity Program, which is part
25 of the R&D Program. Next slide, please.

1 Shortly after the San Bruno Pipeline incident in
2 2010, California Energy Commission established our research
3 initiative on Gas, Infrastructure, Safety and Integrity.
4 On average, we have about \$6 million dollars to invest
5 every year. So in the last 10 years, we have been focused
6 on addressing safety challenges for both natural gas
7 pipeline and storage facilities. We developed tools and
8 the devices that the utility can use to better monitor the
9 assets and evaluate and to quantify potential risk and
10 develop mitigation measures. As the California approach is
11 decarbonization goals, our Program can take additional
12 responsibility. We also support, you know, a safe and
13 healthy and equitable transition to more renewable and the
14 low-carbon resources. And this include leading edge
15 research on renewable natural gas, green hydrogen, and
16 denitrification, and strategic decommissioning. Today I
17 will first talk about our research on pipeline safety,
18 pipeline and storage safety. And after that, I will walk
19 you through two new research projects on tactical
20 decommissioning. And last but not least, I will -- I will
21 share several upcoming opportunities on hydrogen blending
22 research. Next slide, please.

23 So for pipeline safety. We developed the sensors
24 and the monitoring devices for damage detection and
25 prevention and improving situational awareness. Through

1 our program and Gas Technology Institute, developed
2 Encroachment Notification Devices. These devices can be
3 mounted on excavator, also provide alerts to utility
4 equipment operators when the excavator is too close to a
5 utility pipeline. So this technology has greatly reduced
6 the excavation damages by providing real-time information
7 about the location and the status of the equipment.
8 Information and Integrity Management is about collecting
9 data and improving asset management for utilities. Through
10 our research program and local view invented a High
11 Accuracy Mapping System to help map out subsurface
12 pipelines and the trace component features. So this
13 technology also enabled for us to data-capture on the
14 display. It also improved workflow and efficiency for
15 utility, for workers.

16 Risk Assessment is about identify potential
17 threats and hazards and recommend mitigation strategies.
18 As we know, California is a hot zone of earthquake faults
19 that can rupture without warning and leaving our
20 infrastructure vulnerable. UCLA and UC Berkeley are
21 filling the gaps and with Open-source Seismic Risk
22 Assessment Tool. So this tool will model all geotechnical
23 threats to our infrastructure and help identify and
24 prioritize the most impactful retrofits for seismic risk.
25 Next slide, please.

1 For storage, many of our underground storage
2 wells were constructed before the 1970s, which is more than
3 50 years ago, and the US standard is now considered
4 inadequate. And the natural gas leakage at Aliso Canyon
5 underscores the need for more advanced monitoring system.
6 And last year we funded two more projects on developing
7 real-time monitoring technologies for storage wells.
8 [Indiscernible] and LBNL are integrating sensors and the
9 monitoring devices at McDonald Island Storage Sites to
10 collect data from a variety of sources. This includes, you
11 know, pressure, temperature, acoustic, and seismic signals.
12 So the system is developed to help utilities meet and
13 exceed to the new regulation wellhead monitoring. Next
14 slide, please.

15 So several technologies developed from our
16 research program have been adopted by the industry. I will
17 provide a few examples here. So there are more than 700
18 high accuracy -- high accuracy mapping devices that are
19 deployed to multiple gas utilities in the nation -- in the
20 nation. And the same technology was used to reconstruct
21 communities impacted by Paradise wildfire. These devices
22 helped to accurately map out both pipelines and underground
23 network cables. And the encroachment of notification
24 technology was purchased and commercialized by Hydromax
25 USA, a leader in data solution for inspection of gas,

1 water, and sewer lines. Next slide, please.

2 During the transition to a clean energy future,
3 one of the issue, we must face, and address is the aging
4 infrastructure. As I mentioned earlier, most of our
5 infrastructure were built more than 50 years ago. A lot of
6 those are close to the service line. So when we are, you
7 know, working on replacing those infrastructures, I think
8 we have to look into the new opportunities and
9 alternatives. And also, there are challenges that is
10 associated with high replacement cost, cost and also the
11 expected decline in demand. Without tactical
12 decommissioning, you can either end up maintaining a much
13 larger system with less customers and the risk with
14 stranded assets and the cost is expected to increase.
15 Those costs will be eventually passed onto our end
16 customers. This has raised concerns on ratepayers impact,
17 and particularly for disadvantaged and low income
18 communities.

19 So our under-resourced communities are most
20 vulnerable in the -- in the gas transition process. So
21 last year we released one solicitation on Tactical
22 Decommissioning. This solicitation was developed with site
23 selection criteria and with decision making framework for
24 evaluating decommissioning and electrification projects.
25 The project will also work with the utilities and customers

1 and the community outreach partners to electrify on the
2 decommissioned part of our distribution network. And next
3 slide, please.

4 From that solicitation we, this year, we are
5 expected to award two new projects for Tactical
6 Decommissioning. With the support from PG&E, the E3 team
7 will identify at least three candidate sites in Northern
8 California. This site include communities in Richmond,
9 Oakland, Berkeley, or Tracy. By engaging with community
10 based organization, the project will develop a deep
11 understanding of customer priority in relation to GHG
12 reduction, energy cost, availability, comfort, and health.
13 RAND corporation will work with SoCalGas, evaluate a
14 different decommissioning site in Southern California. The
15 project will use detailed model of our gas system with data
16 on socioeconomic conditions to analyze communities located
17 at Long Beach and Santa Monica. This project will help
18 determine whether the natural gas infrastructure retreat is
19 possible, economically viable, and the customer support it,
20 while maintaining safety, reliability, and affordability of
21 our system. Next slide, please.

22 A lot is happening around the world in hydrogen
23 research this year, and the CEC will release multiple
24 research solicitations on renewable hydrogen generation and
25 demonstrating hydrogen blending with natural gas through

1 our existing infrastructure and the hydrogen utilization
2 for transportation and our end-use applications. So our
3 program will mostly focus on the delivery of hydrogen and
4 see whether it is possible to blend hydrogen with our
5 natural gas and also or convert the hydrogen infrastructure
6 for -- to deliver 100% clean hydrogen. As we increase the
7 amount of hydrogen blended, this will require upgrades and
8 modifications to our existing infrastructure and to conduct
9 additional testing to ensure system safety as we know
10 hydrogen can cause embrittlement problem and is easy to
11 escape. The research will, we propose, will conduct
12 [indiscernible] test and measure various impact of
13 hydrogen blending and identify system modifications and to
14 maximize blending level. And the research will also help
15 develop implementation strategies and the standards for
16 safe blending. Next slide, please.

17 Yes. Thank you very much for your attention and
18 I'm ready to answer any questions you may have.

19 MS. RAITT: Thank you, Qing. Commissioners, if
20 you don't have any questions, or Commissioner McAllister,
21 did you have --

22 COMMISSIONER MCALLISTER: I just wanted to
23 say -- I wanted to say thank you for a great set of
24 presentations. I had written down a half dozen questions,
25 and you guys answered them systematically in your

1 presentations. So I don't have to ask any additional ones.
2 Thanks.

3 COMMISSIONER GUNDA: Just echoing Commissioner
4 McAllister, really great presentation. Thank you so much
5 for setting the stage for the comprehensive plan that we
6 have in the R&D. I do have some questions, but in interest
7 of time, I would like to move forward. But I think if you
8 can wait a little bit as time permits, we could come back
9 for discussion.

10 MR. TIAN: Great. Thank you.

11 MS. RAITT: Super. So we'll move on to our next
12 speaker, Francois Rongere, and he is joining from the Gas
13 Operations for PG&E, where he is the R&D and Innovation
14 senior manager. Go ahead, Francois.

15 MR. RONGERE: Thank you very much, Heather. Good
16 morning, everyone. Thank you very much for having our
17 presentation here. I wanted to present, in the
18 continuation of what Qing has done about the activity of
19 R&D for PG&E as a utility working with other companies to
20 develop integrity and safety of our systems. So next
21 slide, please.

22 It will not be specific to system planning and
23 decarbonization. I will try to give an overview of the
24 activities we have. So first, I really want to commend the
25 idea of this meeting to facilitate the collaboration

1 between all the different stakeholders of the energy and
2 the gas system in California. My slide here, I tried to
3 illustrate that. We are just a member of a very large
4 network that include a broad number of stakeholders from
5 industry, but also government, academia, etc. And Qing has
6 mentioned several projects that we had the privilege to
7 work together on it. And I think the term together is very
8 important now that we have so many things to do in a
9 relatively short period of time. So putting our forces
10 together will help to address the number of questions we
11 have. Next slide, please.

12 So that the R&D Program at PG&E is divided into
13 seven major focus areas that aims to improve the system in
14 term of safety, reliability, and affordability for our
15 customers. You see here first is to understand the
16 conditions of our assets and better know what our system
17 is. Second is, is also to try to expand the life of the
18 system at the lower cost. Third is develop, what we talk
19 about is proactive operation and digitization in order to
20 get a more flexible design of our system and better
21 planning as well. Reinventing Leak Management, for us
22 means two things. First, improving the technology to
23 improve the leak surveys and management process, but also
24 address methane emissions in collaboration with CPUC and
25 Cal under SB 1371. Eliminating dig-ins, and Qing mentioned

1 it earlier, the project about DPS based damage prevention
2 is an example of that. But we have a several activities
3 complementing this effort. Improving Construction Methods,
4 whatever can be done in term of facilitating and
5 accelerating the construction projects in our -- in our
6 system. And finally, here is Decarbonizing the System. So
7 we have started this initiative about three years ago in
8 2018 and have switched to the benefits of the collaboration
9 and making sure that we can share with others. We have
10 published an R&D - an R&D road map at that time that we are
11 updating regularly in order to list all the questions that
12 we want to address through these efforts. And we have
13 shared that with Qing's team several times. And remember,
14 a good conversation in -- on March 5th with the team. It's
15 on the PG&E website and public access, and I recommend you
16 to have access to it if you would like to collaborate with
17 us in order to develop a new solution on that aspect. Next
18 slide, please.

19 Here is, and I will not get into detail of it.
20 It's same idea of presenting our perspective and our
21 objectives in order to share and develop collaboration. We
22 have established an overall roadmap of our activities.
23 There are four pages of it so I will not enter it, but I
24 wanted to have it in my slide deck as a reference for you
25 to identify additional collaborations. So now we switch to

59

1 the four slides ahead if you can. Sorry for that. A lot
2 of stuff here. I don't want to get into details.

3 But I wanted to give you a few examples of the
4 results of these collaborative R&Ds that we have paired
5 from in the past few years. And in my example, they were
6 the two examples that Qing has presented. So I will focus
7 on others. But you can find the information in my slide
8 deck. So next slide, please.

9 The first one is to get the gas system of -- in
10 PG&E but is -- what is, I'm saying here, is true for
11 SoCalGas and this R&D has being done in collaboration, also
12 with SoCalGas and other utilities in the US and North
13 America and Canada as well, through NYSERDA, which is an
14 organization for us to share R&D programs.

15 So this technology helps us to inspect the
16 complex pipelines that we have in our system. So
17 generally, the inspection, internal inspection of pipelines
18 is done with tools that we call Pigs, which are floating
19 and pushed by the gas along the pipeline, inside the
20 pipeline. Because of the complexity, the climate change,
21 turns, valves, etc. of our systems, these tools are not
22 really usable, and we have developed a robotic system that
23 can actually be inserted into a live pipeline, as you see
24 on the left side. The lower picture is an example of a
25 project site that has been done at PG&E recently so that

1 the tool is inserted in live pipeline and can navigate the
2 pipes, collecting information and providing the same level
3 of inspections that what we can obtain with Pigs on our
4 very simple linear pipelines.

5 The recent features that we are working on, and
6 I've just completed recently is developing system to
7 identify crack-like features along the pipelines and so
8 beyond the mass loss related to corrosion, looking at
9 crack-like features. Also very important for us is
10 expanding the range of these tools. Today it's about a
11 mile or two and we want to go beyond four miles. And for
12 that we have developed an Energy Harvesting System that
13 allows this tool to go further. It's also obligational
14 material characterization and the automation of the system.
15 So it's a range of improvement with other systems that help
16 us to inspect our pipelines.

17 And because of the time constraint I will -- it
18 was, of course, impossible to present the R&D activity in
19 10 minutes, so I will jump to another slide. If you can
20 either go two slides further if you can. Yeah. And
21 continue to go two slides further. Okay. Another two
22 slides. Okay. So one slide back.

23 I wanted to introduce another technology that has
24 been developed in collaboration with members of groups
25 around us. Again, this is done with our colleagues from

1 other utilities, including SoCalGas and beyond California
2 in the US and North America. Even with PRCI, which is
3 Pipeline Resource Council International and actually
4 worldwide. And is a new leak detection system that uses a
5 technology developed by JPL to find methane on Mars. And
6 of course, because of that, it's very small and light and
7 we use its capabilities in order to develop new solution
8 for hand-held device, as well as system on UAVs.

9 I think I'm at the end of my time, so I will stop
10 here. Other slides present other activities. And again,
11 for decarbonization, please check our Webpage -- website to
12 get our road maps. Thank you.

13 MS. RAITT: Thank you, Francois. Commissioner
14 Monahan, did you have a question?

15 COMMISSIONER MONAHAN: I do. Yes. Francois,
16 thanks for the presentation. I'm curious about the R&D in
17 like looking at the equity impacts of natural gas
18 distribution. Is there -- is there a piece of your R&D
19 that's relating to equity and cost?

20 MR. RONGERE: So in general, yes, I would say.
21 Of course, our R&D efforts are to support the affordability
22 of our system and the gas we deliver. So we effectively do
23 that for most of our project, of course. Perhaps more
24 specific --

25 COMMISSIONER MONAHAN: But I -- I guess I didn't

1 see that in the, I mean I was looking at, there's a lot of
2 little pieces to the slides but I didn't see cost in there
3 and I didn't see, sort of, equity and how this impacts
4 different households or different industries. Is that, I
5 mean, where does that show up in your R&D?

6 MR. RONGERE: It show up in different projects.
7 I have not effectively presented that especially. But of
8 course, this is an element of our -- of our R&D efforts on
9 a broad range of things, starting with perhaps renewable
10 natural gas and the injection of biomethane [ph.] our
11 system, but also the access to hydrogen moving forward and
12 also the reduction of cost and optimization of our
13 Integrity Management activity.

14 COMMISSIONER MONAHAN: Thank you.

15 MS. RAITT: All right. Thank you so much. We
16 will move on to our next speaker. Our last speaker this
17 morning is Jonathan Peress and he's a senior director for
18 Southern California Gas. Go ahead, Jonathan.

19 MR. PERESS: Good morning, hopefully everyone can
20 hear me okay. I first want to thank the Commission, the
21 Commissioners and staff for the opportunity to be here and
22 for SoCalGas to participate in this workshop. I also want
23 to express my hope that everyone is making it to the other
24 side of this horrible pandemic without too much harm and
25 stress, not just out of concern for people in public

1 welfare, but also in the hopes that we can actually get
2 together to enhance and optimize the collaboration that's
3 going to be necessary amongst all stakeholders and market
4 participants to meet the challenge of decarbonization and
5 move forward productively.

6 I've spent the better part of the last year both
7 developing and implementing what we call the Business
8 Transformation Workstream at SoCalGas, and that includes a
9 significant amount of research analytics as well as
10 different approaches, modeling for achieving and
11 facilitating planning and decarbonization. Next slide,
12 please.

13 And much of the backdrop to this is within the
14 context of the Gas system Planning OIR that's pending at
15 the CPUC currently. And there's a certain symbiosis
16 between the research and analysis that we're doing. The
17 Gas system Planning OIR, the important issues that have
18 been scoped and framed for this IEPR, and the recent
19 commitment and announcement that SoCalGas made with respect
20 to bringing our operations and delivery of energy to a net
21 zero. And specifically what I'm referring to is our
22 commitment that relates to Scope 3 Emissions. You've heard
23 Melissa earlier speak to the fact that for the majority of
24 our gas throughput, we are common carriers. We don't have
25 any real meaningful influence over the decisions that our

1 customers make in terms of providing non-discriminatory
2 transportation service and never taking title to the
3 molecules. So what that means is that in order for us to
4 achieve this commitment with respect to Scope 3 Emissions,
5 we need to be able to facilitate, advance, and actuate the
6 policies that are being pursued by the State and by, and
7 more broadly, in order to reduce the emissions of our -- of
8 our customers. And that includes building electrification,
9 that includes policies to address resiliency. And much of
10 the work that we're doing and that I'll discuss today,
11 which, some of which was referenced already, is intended to
12 kind of create frameworks and approaches whereby we can
13 understand and basically develop and move forward with the
14 art of the possible in implementing this commitment. Next
15 slide, please.

16 So Jason discussed in great depth and very
17 effectively some of the hydraulic modeling considerations
18 that are part of this research and analysis that we're
19 doing. I wanted to focus specifically on one aspect of how
20 our hydraulic model functions to get into how we've been
21 enhancing it to facilitate the planning that we're
22 discussing here and the different approaches to
23 decarbonization. That second bullet talks about demand on
24 an hourly basis from our industrial and power generation
25 customers. And what we've really focused on is kind of the

65

1 shape of that demand, because ultimately systems are
2 planned, not relating to average throughput or daily
3 throughput, but on hourly and instantaneous throughput and
4 the shape of demand from our customers. We have to be able
5 to meet that. So next slide, please.

6 So what we've done is we've developed a new
7 Integrated Modeling Framework that takes our Gas Hydraulic
8 Model that looks at the shape and the demand from our
9 customers and applies to it modules that include a
10 Production Cost Model -- Module on the electric side so
11 that we can get an understanding of how our largest
12 customer's electric generators use our system, as well as a
13 Gas Market Fundamental Model so -- module so that we can
14 better kind of play through the economics of when we would
15 expect various users to want to, or need to use gas, and
16 when it would be economic. So we talked a little bit
17 earlier about interdependencies between the Gas and
18 Electric System. In order for us to plan going forward, we
19 need to understand those interdependencies and we need to
20 be able to design and plan our system in order to meet
21 those needs. Next slide, please.

22 So what we've developed with this framework is
23 this Integrated Infrastructure Planning Tool that looks at
24 various interactions that will implicate and essentially
25 dictate how we need to focus our system and operate our

1 system. And what we're doing with this integrated model is
2 we're taking the different scenarios. So for example,
3 Jonah discussed the CEC study on deep decarbonization that
4 E3 did. What we're doing is we're taking those scenarios
5 and we're applying them into this Model that we -- this
6 enhanced Model that we've developed so that we can get a
7 perspective, not just on what an end-state will look like,
8 as most of those models focus on end-state, but also, on a
9 going forward basis how we get from where we are today, to
10 what that end-state model is projecting is the pathway
11 towards decarbonization. So it's really important that as
12 we think about our other public interest, you know, the
13 other public interest objectives that we must meet,
14 reliability, safety, just and reasonable rates, that we
15 understand not just what the system will look like in 2045,
16 but we understand and layer on top of that from today going
17 forward. And so by taking this Integrated Planning
18 Framework, we can sort of get granularity as between the
19 end-state and the current-state, in terms of planning how
20 we move forward. Next slide, please.

21 So one aspect, of course, that's critical to this
22 planning and moving forward, is when we look at 2045, we
23 know that there'll be a significant amount of the building
24 electrification, electric vehicle charging, and that we'll
25 see, you know, different patterns of use on our system. So

67

1 we've been projecting forward what that might look like at,
2 you know, numerous end-state studies have expressed the
3 need to understand what that might look like. And we see,
4 in general, this this pattern where there will tend to be
5 peak year use of molecules on the system, particularly by
6 natural gas fired dispatchable generation, which will need
7 to be able to support those peak hour and ramping needs
8 during the morning and late afternoon, and particularly
9 during periods when renewable energy may not be sufficient
10 or available, which are relatively predictable within the
11 system. So we're using these tools to better understand
12 how frequently those may arise and how we can best plan our
13 system around them. So next slide, please.

14 So for example, when we -- when we've looked at
15 the amount of incremental gas capacity that's needed to
16 support resiliency and reliability, we've modeled different
17 scenarios. So and I think as everyone's aware, virtually
18 all of the decarbonization scenarios maintain a significant
19 portion, if not all of the current thermal generation
20 capacity in order to ensure resiliency and reliability
21 during periods when there is -- when there are these larger
22 swings or there is insufficient storage or renewable
23 capacity. So this is just an example of some of the
24 modeling that we've done to be able to project forward and
25 understand that better. And you can see that in 2020

1 there's about 35 gigawatts of gas operating at a 40%
2 average capacity factor. And you can see, going forward
3 under different scenarios, how that might change. But the
4 point is that while capacity factors remain low, the models
5 are consistently maintaining, and in fact adding, this sort
6 of resiliency, reliability capacity. And so we're really
7 focused on how that will play out in the future and
8 basically how we can decarbonize that capability. Next
9 slide, please.

10 And this is just a very quick example that shows
11 that when we -- when we model the different decarb
12 scenarios through our Integrated Model, what -- the greater
13 the more severe the deep decarbonization scenario actually,
14 the greater the periodic peak day gas use becomes. And
15 this supports a number of models that have also been run by
16 CPUC staff, E3, and others. So if you look at the 2045
17 Deep Decarbonization Scenarios you see that California wide
18 you're talking about almost five Bcf, and this is MMBTU but
19 they align very closely, of gas being used by EGs on a peak
20 day. Notwithstanding that over the course of the year
21 demand, and throughput, and load are much lower. Next
22 slide, please.

23 So just I wanted to mention a couple of other
24 topics. Our Gas Transformation Study that we're working
25 with UCI on has been funded as part of our R&D budget. And

1 basically what that study is trying to do is develop sort
2 of the Least Cost Highest Benefits approach for the various
3 clean molecule uses that are necessary in order to achieve
4 economy wide decarbonization. So we know that, and it has
5 been discussed, those are likely to include that resiliency
6 capability that I just spoke to, and industrial usage,
7 which is a significant portion of that, quote unquote, hard
8 to evade, but really the engine of prosperity of the State
9 of California and heavy-duty transportation. So I
10 just -- and we are in the process of developing what we
11 call a Clean Fuels Asset Capacity Model that looks at how
12 that system might need to be designed in the future. Next
13 slide, please.

14 And lastly, I wanted to speak to some of the
15 research that Qing and Jonah spoke to relating to Strategic
16 Electrification. We know that the various end-use studies
17 speak to a substantial amount of electrification of the
18 distribution system, but what we really lack collectively
19 is a -- is a understanding of the feasibility and potential
20 cost considerations starting in the present, in terms of
21 how we get from the present to some of those end-states.
22 So as has been mentioned, we have developed a consortium
23 with RAND, GTI, and others in order to move forward with a
24 project that will identify pilots and functionally it'll
25 put the SoCalGas system with our data, our hydraulic system

1 data, you know, on the operating table and give the scalpel
2 to other people and let people start focusing on what it
3 will require, what it will entail, understanding both from
4 a feasibility cost and rate of penetration standpoint, what
5 electrification might mean to our system. And we expect
6 that as we get into planning, we will be able to use this
7 data, you know, to better, going forward, plan the system
8 so that we continue to meet what we need to be while also
9 focusing on a decarbonized end-state. Next slide, please.

10 And this is my last substantive slide, and it
11 gets to some of the work that Jonah spoke to regarding Site
12 Selection Criteria for Decommissioning. And so we've put a
13 work group together and we're undertaking this research to
14 basically, better understand what some of those criteria
15 might be. And this is really qualitative. It's not meant
16 to be quantitative. It's the beginning of a conversation.
17 We've shared this with the R&D team, and we'll continue to
18 work with them on this. But if you start at the bottom,
19 obviously, where you've got a high pipeline O&M cost, that
20 creates a bias towards electrification or full gas
21 commissioning, full gas decommissioning.

22 On the flip side where, for example, you've got a
23 diversity of end-uses where you might have some heavy
24 industry closely aligned or sighted with our distribution
25 system, that would tend to bias towards maintaining gas

1 infrastructure. So this is illustrative. It just kind of
2 shows the type of research and qualitative analytics that
3 we're doing internally in order to work with Jonah and the
4 R&D team and in order to advance the State's climate goals.
5 So that really is the end of my substantive presentation.
6 If you go to the next slide.

7 I just wanted to point out the two folks, myself
8 and my colleague Despina Niehaus, who are implementing our
9 Strategic Business Transformation Works Group. So with
10 that, I'm available for any questions and thank you for the
11 opportunity.

12 COMMISSIONER GUNDA: Yeah. Thank you, Jonathan,
13 so much for your presentation and Francois for your
14 presentation as well. I do want to kick off with a couple
15 of comments and maybe questions and then see if any of my
16 colleagues on the dais have any questions before I hand it
17 back to Heather. So I just, at a very high level I think,
18 and I just want to make sure I take a moment again to thank
19 everybody for putting this workshop together. And I think,
20 you know, what comes together today is the acknowledgement
21 and continued coordination between the utilities and CEC,
22 CUPC staff. And I think it's paramount and that we do that
23 adequately to ensure that we have a robust conversation.

24 A few things I'm taking away from this are kind
25 of like really highlighting the interdependencies between

1 the natural gas and the electric system as we continue to
2 think through the transformation of the entire energy
3 system to ensure our clean energy goals of decarbonization,
4 reliability, affordability and equity. I definitely want
5 to emphasize the need for transparency. And this is not
6 going to be an easy conversation. We have a diverse set of
7 ideas and points of view. And I think to the extent that
8 we ensure that this conversation is happening in a
9 productive manner, that's objective, robust and data
10 driven, and transparent, I think we all will benefit in
11 ensuring that we get to the end goals that we all are
12 seeking here.

13 As Commissioner Monahan pointed out, there is an
14 absolute importance that we need to put the emphasis on
15 equity, not just, you know, in terms of the carbon
16 emissions, but also the air quality, but also as the
17 agencies begin to put these workshops and work in groups
18 together, ensuring procedural equity for all participants
19 to ensure that they have access to share their voice and
20 share their point of view as a part of this broader
21 thinking. So those are kind of my high level comments. I
22 think this was a really helpful start-up conversation. I
23 would imagine this natural gas evolution, and planning, and
24 thinking will probably happen over two to three years, and
25 I think, you know, we'll probably span multiple IEPRs. And

1 I'm again thankful to Francois, Jonathan, my colleagues
2 from CPUC and CEC for your wonderful presentations today.

3 With that, I do want to ask one question. If all
4 the panelists, whoever are here, can turn on your video so
5 we know, Jonah. And so just at a high level, you know, as
6 we think through the broader, you know I think specifically
7 to Jonah's presentation, the decommissioning of certain
8 areas of the system. I would kind of like, you know, if
9 the -- if the panelists can react to how do we ensure
10 equity as we do that and how do we -- what are the
11 opportunities, what are the key drivers of opportunities
12 and some of the barriers that you see in a collective
13 understanding of going through that process. Jonah, if you
14 want to kick off.

15 MR. STEINBUCK: Yeah. Yeah, sure. So I think
16 you know, part of it is around thinking about how do we
17 minimize the costs of transition. So that's part of what
18 we're seeking to achieve in this Data Driven Tool, is to
19 look at what are the promising sites. Part of that
20 analysis will consider, you know, what would be the
21 additional investment needed to modify both on the natural
22 gas side and also on the electric side to enable that
23 transformation, and electrification and decommissioning.
24 So by kind of targeting the kind of ripest opportunities
25 early on, that's one way of keeping down the overall cost

74

1 and, you know, minimizing the impacts on kind of the
2 pressure on rates. Tying back to that feedback loop that I
3 was talking about. So I think that's one key way.

4 The other way that we're talking, I think I
5 mentioned doing some specific analysis for under-resourced
6 communities because you know, we all understand that it's
7 more challenging for some of those communities to engage in
8 some of these planning activities. So if we can conduct
9 some of the underlying analysis, create more of a platform
10 for under-resourced communities to engage in the planning
11 process, I think that's another way that we can address the
12 equity in the process of our planning.

13 COMMISSIONER GUNDA: Thank you, Jonah.

14 MR. TIAN: Yeah, this is Qing.

15 COMMISSIONER GUNDA: Go ahead, Qing.

16 MR. TIAN: Yeah. I can share a little bit of
17 information about these two decommissioning projects we are
18 working on right now. So we, you know the, one of the
19 requirements for these two projects, you know, they have to
20 identify at least one side out of the low income and
21 disadvantaged communities so we can take a close look at,
22 you know, what are the priorities from the community.
23 Another thing is, you know, we did a little bit different
24 than what we did in the past, you know. We hired -- the
25 project hired a dedicated funding for community based

1 organization. So by, you know, this is a, I felt in my
2 opinion, I think it's a good approach because, you know,
3 they need to have a role in the project and especially, you
4 know, during the Planning Phase. And we need to hear their
5 voice. You know, what are the priorities?

6 Speaking of the barriers. I think, you know
7 the -- at the end of the day is the cost. So while the
8 idea -- one of the elements from our project, you know, we
9 want to look into the economics. You know, what are
10 the -- are there any existing funding or incentives we can
11 leverage so we can, you know, help with those communities
12 when we are trying to do these kind of decommissioning
13 projects. So we are also trying to look into that also.

14 COMMISSIONER GUNDA: Thank you, Qing. Any other
15 comments you might want to add?

16 MR. PERESS: If it's okay, Commissioner Gunda?

17 COMMISSIONER GUNDA: Absolutely, Jonathan.

18 MR. PERESS: I think Qing raises a very important
19 point about cost allocation and the need for looking at the
20 equities of cost allocation it, you know as we -- as we do
21 this, undertake this planning, it's clear that there is a
22 set of capabilities and services that are going to need to
23 be provided by molecule's, including an order to facilitate
24 decarbonization of the electric grid and electrification.
25 And so we have to be careful as we move forward in doing so

1 that by -- as people are pulled off of the gas system, that
2 there are costs that are being imposed on those that remain
3 on the gas system in order for the system to decarbonize
4 and to electrify. So we have to give a great deal of
5 consideration to what the Equitable Cost Allocation
6 Approaches will be, as that -- as that sort of trend line
7 moves forward.

8 COMMISSIONER GUNDA: Thank you, Jonathan.
9 Actually, I have another question that I would actually
10 start with you and then maybe other panelists might want to
11 chime in. So specifically, I think Melissa kind of showed
12 a chart earlier, Jonathan, about the declining the demand.
13 But I think you also showed in your presentation, I think
14 that the -- kind of the volatility of need, for lack of a
15 better word, or high frequency, I mean narrow. I think
16 lower number of times but higher volume, I would imagine.
17 Just wanted to get your sense on, as we -- as we are
18 trending towards the decarbonization goals, how are you
19 seeing in terms of both the changes in the peak, but also
20 the times, as you know there has been conversations
21 specifically on the electric side, that we might be having,
22 you know, certain peaks happening in the future in the off
23 peak times that are typically, you know, in the late night
24 hours in winter. And how is SoCalGas thinking about
25 planning for those elements? Any kind of consideration

1 there? Just your perspective on the changing nature of
2 demand and how you are thinking about planning for that.

3 MR. PERESS: So let me -- let me start in the
4 present, Commissioner Gunda. So we actually know that over
5 time with the decarbonization of the electric system, that
6 kind of the means by which the peak demand on our system is
7 manifesting itself has been evolving. So if we look at
8 2020, for example, there were 77 days, excuse me, 77 hours
9 where we shipped more than 100,000 dekatherms per hour, 2.4
10 billion cubic feet equivalent per day. The vast majority
11 of those were to serve electric generators, not to serve
12 our core customers. So that evolution is already at play.
13 We're seeing it at play. When CPUC staff in the SB 380
14 proceedings started modeling what the system will look like
15 in the future, they showed that that peak-day gas tanks
16 from the electric sector will dramatically increase as we
17 move towards a more electrified system, not decrease. So
18 we've been modeling that out. We've been working on
19 different structural models from a cost allocation
20 standpoint. We've been starting to convene our planners on
21 the, you know, on the transmission and distribution side to
22 come up with what are going to be the best set of options
23 and scenarios for addressing these needs. I think what,
24 where we are right now is we're getting our hands -- a
25 handle on and being able to start quantifying the

78

1 trend-line that's already underway and how that might
2 evolve into future.

3 COMMISSIONER GUNDA: Thank you, Jonathan. I
4 don't know if Eileen, or Kristina, or anybody else might
5 want to chime in. Eileen, please go ahead.

6 MS. HLAVKA: I'm not sure if I'm prepared to add
7 about Jonathan's particular comments, but certainly maybe
8 this is a time to note that we do have a variety of
9 proceedings that are related to this topic. The Aliso
10 Proceeding that we spoke about, so it's I1702002. And the
11 Long Term Gas Planning Proceeding that has been brought up
12 a little, but wasn't really a focus for today, it's
13 2001007. And we certainly look forward to discussions on
14 the variety of these matters and appreciate the
15 collaboration with CPUC.

16 COMMISSIONER GUNDA: Thank you. I think before I
17 hand -- pass it onto Commission --

18 MS. HLAVKA: In collaboration with you, of
19 course. Energy Commission.

20 COMMISSIONER GUNDA: Absolutely. I took the
21 spirit. So before I hand it over to Commissioner
22 McAllister, I just want to reiterate my thanks to all of
23 you who are participating on the Gas Working Group.
24 Jonathan, I know you've been a regular participant in those
25 and advancing the conversations there. I think the more

1 robust conversations we have and then have like a venue
2 where we're exchanging this diverse points of view, it
3 is -- it is better for the State. And then the last thing
4 we want to do is act without all the information in hand.
5 So I applaud all of you for your continued engagement,
6 including my CPUC colleagues, and then I'll pass it on to
7 Commissioner McAllister.

8 COMMISSIONER MCALLISTER: Great. Thank you,
9 Commissioner Gunda. Let's see, I had a kind of related
10 question, and I think several people could take a shot at
11 it, but so appreciate Jonathan's point about the sort of
12 the sum total of the core plus the noncore and kind of the
13 peakiness [ph.] of that, largely, as I understood it,
14 largely driven by the noncore. I wanted to ask about the
15 core, though, customer. And you know obviously, that is I
16 mean, you know that is the center of attention in terms of
17 like the obligation to serve and some pretty key parameters
18 here. And you know, we've talked about sort of the
19 declining demand, declining retail demand.

20 We just came out with a report, the AB 3032
21 Report, that the legislature asked the Commission to put
22 together. It's out in draft form, and it looks at what the
23 scenarios are for, you know, assertive decarbonization of
24 our building stock in the State. And the scenarios that
25 kind of get us to 40% below 1990 have a lot of

1 electrification of core customers just really inherent to
2 those scenarios. There's definitely gas efficiency,
3 there's some renewable gas, there's electric efficiency.
4 All of those contribute to decarbonizing, you know, at
5 least in the near term. And, but electrification really is
6 a core long-term strategy.

7 So I guess I'm wondering, and this could go to
8 Jason and to Jonathan, possibly to Francois, so that you
9 know the modeling, I guess the modeling of getting ahead of
10 like which system, which pieces of a system might be
11 decommissioned, that's absolutely necessary. I guess I'm
12 wanting to know a little bit about the flip side. As, you
13 know, if we're successful in driving electrification, you
14 know, noncore customers, you know how is the modeling able
15 to I mean, hydraulic modeling presumably would be able to
16 raise flags if, okay, you know we've -- the density of
17 electrified customers in, you know, in this area of the
18 grid makes -- reaches some kind of threshold that makes
19 that part of the grid unviable, or you know decreases
20 flows, affects pressure, whatever. And I guess I'm
21 wondering if the hydraulic modeling that we're doing, or
22 that the utilities already do, can kind of capture that.
23 The scenarios are actually able to capture that and kind of
24 back into the same issue that we've been talking about.

25 MR. ORTA: I'll start. I think one of the things

1 I wanted to reiterate in the previous line of questioning
2 from Commissioner Gunda that I bring up here is that
3 there's, especially on the transmission and local
4 transmission level, you'll see a lot of the infrastructure
5 serves the purpose of transporting gas to blocs of
6 customers along long distances. So that's going to be a
7 challenge there. But you can -- what you can do, and this
8 is one of the things I mentioned in my presentation, is
9 look at different demand scenarios on these models for core
10 and noncore customers. You know, and that's one of
11 the -- it's one of the other related tools we're trying to
12 develop is, are -- is developing those scenarios. And we
13 can put that in the model, and you can see differences in
14 flows, differences in pressures and how infrastructure is
15 used.

16 But I do want to reiterate that even though you
17 might have changes in demand, the way the system is set up
18 it, you also have the challenge of infrastructure going,
19 you know it's that example I brought up in my presentation
20 of the, you have a pipe that goes through, say a bunch of
21 residential communities that, you know, may be able to
22 electrify, but that pipe might go to a noncore customer or
23 another customer that may not be able to electrify or might
24 still need to get gas off of that system. So there is
25 those complexities. But yeah, I mean a model, we can look

1 at different demand scenarios in the future.

2 MR. PERESS: So if I may, Commissioner
3 McAllister. I think you're raising a really important need
4 going forward. You know to the point that Jason just made,
5 I mean we're using an enhanced Hydraulic Model that
6 primarily looks at our -- at our Transmission System more
7 so than our Distribution System. And in order for us to
8 really understand how much, at what cost, at what rate
9 we're going to be able to electrify and decommission. The
10 tools from a planning standpoint are going to need to get
11 significantly more granular and I'm not an engineer or a
12 system operator, but we understand that to be the case.
13 And that's an aspect that we're actively sort of trying to
14 advance, both from an internal standpoint as well as in
15 some of the conversations that we have with Jonah and his
16 team. So there is a -- there is a real need to get the
17 Operational Planning Tools to kind of go to this more
18 granular level. I mean, let's be frank about it, what
19 we're -- what we're really focused on at this point are
20 end-state models and sort of predictive models, right.
21 That's pretty much where we are.

22 COMMISSIONER MCALLISTER: So thanks for that.
23 That's where I was driving at. Is how, you know, can the
24 granule -- is the granularity there to be able to embrace
25 those kinds of questions and know kind of when you're at

1 the tipping point to be able to say, okay, now we need a
2 solution for this neighborhood because half of the houses
3 are now fully electric, right. And so anyway, I appreciate
4 that. And I guess I won't ask any more questions because I
5 want to leave time for public comment. But this seems like
6 a real meaty topic for the working group and for future,
7 you know, collaboration around as we all kind of co-evolve
8 our various models and hydraulic modeling tools. Go ahead,
9 Jason.

10 MR. ORTA: Just real quick. I just wanted to
11 raise something, that another collaboration that we are
12 working on with the gas utilities is that in March 2017
13 that the Commission adopted the IEPR Natural Gas Demand
14 Forms. And so those forms are due at the end of the month.
15 And you know, and we'll start, you know my colleagues, and
16 we'll start looking at those and you know, having the
17 discussions about, you know, improve our Demand Forecasts
18 and look at what's in those forms as well.

19 COMMISSIONER MCALLISTER: Great. Okay. Yeah.
20 We're collecting a lot more data and that opens up tons of
21 possibilities. You know, individual level, customer level
22 data. Opens up lots of possibilities, but obviously with
23 all that data we need to be judicious. So this is a great
24 conversation. I'm glad we're starting it today. And I
25 want to just echo Commissioner Gunda. Thanks for everyone

1 for being here and for your collaboration, generally. I
2 really am heartened by, just to see the level of engagement
3 and the level of expertise around the table here. So thank
4 you all for that great work and being here today.

5 So I think we go to public comment. Is that
6 right, Heather?

7 MS. RAITT: That's right. This is Heather.
8 Thank you so much to all our panelists and Commissioners.
9 And so it is -- we don't have -- we were going to do take
10 some Zoom Q&A, but we don't have any open questions. So we
11 will go on to public comment. And we have Dorothy Murimi
12 from the Energy Commission's Public Advisors Office to help
13 us with that. So go ahead, Dorothy.

14 MS. MURIMI: Thank you, Heather. Onto
15 instructions before we begin. So one person per
16 organization may comment and comments are limited to three
17 minutes per speaker. If there are several parties
18 interested in commenting, we will reduce the time to one
19 point -- one and a half minutes per speaker just to make
20 sure we can get everyone's comments in. For attendees that
21 are using the Zoom online platform, use the raise hand
22 feature to let us know you'd like to make a comment and
23 we'll call on you to open your line. For those on the
24 phone, dial *9 to raise your hand and after we unmute your
25 line, dial *6 to mute or unmute your end -- on your end.

85

1 I'll start with folks using the raise hand feature on Zoom.
2 Please state and spell your first and last name and state
3 your affiliation. Also, please don't use the speakerphone
4 feature as we may not be able to hear you properly.

5 So starting with folks on Zoom, I see Martine
6 Schmidt-Poolman. Martine, unmute on your end and begin
7 commenting. Well we'll move on to the V. John White, for
8 now. John White, please unmute and begin speaking.

9 MR. WHITE: Good afternoon. Can you hear me now?
10 Thank you very much.

11 MS. MURIMI: Yes, we can. Thank you, John.

12 MR. WHITE: Thank you very much for the
13 opportunity. And as is often the case, the CEC is
14 providing a holistic look at an important set of issues.
15 One of our problems in this space is the interconnectedness
16 of things. And yet it's -- we subdivide things into
17 specific proceedings. So these workshops are really
18 helpful because they have more of a big picture feel to
19 them. And so there's a lot of ground to cover. A couple
20 of points that I wanted to make in support of Melissa
21 Jones' observation about history of planning on the gas has
22 been limited, and it needs to be proactive and ongoing. We
23 need to think in terms of an orderly phase out, in my
24 opinion, the orderly transition. I think it's very
25 important that the load forecast be a live product and that

1 it be updated and scenarios and not just pick a single
2 number and let that drive everything.

3 Second, I think the price impacts on the electric
4 power sector speak to this volatility of demand, but it's
5 met with the volatility of prices and cost. \$900 million
6 of unexpected money in the -- in the Power Sector in 2018
7 tells me that we're paying too much money and that the gas
8 system, however reliable it has been in the past, is a
9 source of volatility and higher costs in addition to the
10 environmental consequences for disadvantaged communities
11 living with this electric sector demand. So if the
12 electric can turn to Aliso now and finally with the arrival
13 of Commissioner Guzman Aceves as the presiding Commissioner
14 on Aliso, we're seeing some linkages between that
15 proceeding and other PUC proceedings.

16 In particular, the demand forecast needs to be
17 reflected in the -- with the policies we have adopted on
18 building electrification, on GHG reduction. And then
19 specifically, you've got to take accountability of
20 [indiscernible] 100% plan, which is not just adopted, but
21 is operational. Right. They are pursuing and implementing
22 that plan. That's going to affect gas demand. That's
23 going to affect Aliso. If you look at what's left, the
24 size of the electric power sector, which we ought to be
25 able to diminish its gas demand because that's what our

1 policies tell us we need to do. The other place to look is
2 in the Industrial Sector, particularly the refineries. The
3 largest use of natural gas in the Industrial Sector in
4 Southern California is in the refineries. Okay. The
5 refineries make hydrogen. That's what that gas demand is
6 for. There are synergies, particularly say take LA, DUDP,
7 which has done a lot of thinking that is beginning to be
8 operational on green hydrogen, if you built in-base
9 electrolyzers down in the port area, there's pipelines the
10 existing system can deliver to the refineries, and they can
11 earn low carbon fuel standard credits for those emission
12 reductions if they use 100% green hydrogen. So this
13 is -- these are some things we'd like to Commission to
14 consider as we go forward. And I thank you for your
15 attention and your time and look forward to further
16 conversations.

17 MS. MURIMI: Thank you for your comment, John.
18 Just to reiterate for folks on the phone, you can press *9
19 to raise your hand, and then once we unmute you, *6 to mute
20 or unmute. We'll move on to Jeff Malin. And I apologize
21 if I've misstated your name. That's Jeff Malin. Go ahead
22 and unmute.

23 MR. MALIN: Can you guys hear me?

24 MS. MURIMI: Yes, we can.

25 MR. MALIN: Okay. It's Malin, and don't worry

1 about it. I get that all the time. Jeff Malin from
2 Applied Medical. We are a noncore industrial customer on
3 SoCalGas's network. And, you know, we've had the pleasure
4 of being invited to the Gas Working Group. And Jennifer, I
5 do look forward to talk to you about that polar vortex
6 issue.

7 Our issue, and one that I'd like to bring up to
8 the Commission here, is that -- is one of storage. We buy,
9 you know, on the wholesale market. We have to tell, you
10 know, our suppliers how much net, how much gas we think
11 we're going to need. And then we're really kind of, you
12 know, put in a lane where we can't, you know, take more or
13 take less until we get alerts. And we -- and we are
14 bombarded with alerts. We get alerts about now you can
15 have more, now you can have less. And those alerts really
16 frustrate our operations. And what we've noticed is that,
17 at least in our view, it's an issue of storage. We don't
18 have enough storage capacity. If we had abundant storage
19 capacity, we probably wouldn't be getting all those alerts.
20 And frankly, it's a little unfair for the customer to have
21 to help the network with its balancing needs. Our request
22 is to consider more storage.

23 And then secondly, and Jennifer, maybe I'll save
24 the polar vortex issues for the Gas Working Group and maybe
25 just leave my comments at the storage issue for now. But

1 thank you for taking our time.

2 MS. MURIMI: Thank you for your comment, Jeff.

3 Checking for hands again. For folks, you can use
4 the raised hand feature, looks like a high five and if
5 you're on the phone, *9 to raise your hand. Seeing none,
6 I'll hand the mic back to you, Heather.

7 MS. RAITT: All right, thank you. Actually
8 Commissioners, did you have any closing remarks you'd like
9 to make?

10 COMMISSIONER GUNDA: Heather, thank you so much.
11 I don't have anything else to add, but I just want to say
12 thank you again, everybody, for taking time to attend today
13 and specifically, John and Jeff, for your comments at the
14 end. Thank you so much.

15 MS. RAITT: All right. Super. Well shown on the
16 slide, this is Heather again. Written comments are due on
17 June 3rd and they're always welcome. And there's some
18 information there about how to submit written comments.
19 And also there is information on the Notice. But if
20 there's nothing else, then I think we can conclude this
21 workshop. Thank you.

22 (IEPR Commissioner Workshop on Natural Gas
23 Infrastructure adjourned at 12:26 p. m.)

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF,

I have hereunto set my hand this 15th day of April, 2020.



38
39
40
41
42


Jacqueline Denlinger
AAERT CERT # 747

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of August, 2021.




Myra Severtson
Certified Transcriber
AAERT No. CET**D-852

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of August, 2021.

A handwritten signature in cursive script, appearing to read "Barbara Little", is written over a horizontal line.

Barbara Little
Certified Transcriber
AAERT No. CET**D-520