

DOCKETED	
Docket Number:	21-IEPR-06
Project Title:	Building Decarbonization and Energy Efficiency
TN #:	239943-2
Document Title:	Transcript - 7-12-21 - SESSION 2 OF 3 Financing Decarbonization
Description:	IEPR COMMISSIONER WORKSHOP BUILDING DECARBONIZATION – CONSUMERS, FINANCING AND WORKFORCE MONDAY, JULY 12, 2021 - 1:30 P.M. SESSION 2 OF 3: Financing Decarbonization
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/1/2021 4:44:50 PM
Docketed Date:	10/1/2021

STATE of CALIFORNIA

CALIFORNIA ENERGY COMMISSION

In the matter of:

2021 Integrated Energy Policy) Docket No. 21-IEPR-06
Report(2021 IEPR))
) Re: Building
) Decarbonization
) Consumers, Financing
) Workforce
)
_____)

IEPR COMMISSIONER WORKSHOP

BUILDING DECARBONIZATION - CONSUMERS, FINANCING

AND WORKFORCE

REMOTE ACCESS ONLY

MONDAY, JULY 12, 2021

1:30 P.M.

SESSION 2 OF 3: Financing Decarbonization

Reported by:

Martha Nelson

APPEARANCES

WORKSHOP LEADERSHIP

J. Andrew McAllister, CEC Commissioner

Siva Gunda, CEC Commissioner

Patty Monahan, CEC Commissioner

Derek Chernow, Executive Director, California Alternative Energy and Advanced Transportation Financing Authority (CAEATFA) and the California Pollution Control Financing Authority (CPCFA)

CEC STAFF

Heather Raitt, IEPR Program Manager

Danuta Drozdowicz

Deana Carrillo

Kristy Chew

Dorothy Murimi

PRESENTERS

Andrew Brooks, Association for Energy Affordability

Ryan Gardner, Rincon Consultants

Scott Blunk, Sacramento Municipal Utility District

Ben Cooper, StopWaste

Meredith Fowlie, UC Berkeley

Dr. Holmes Hummel, Clean Energy Works

Diana Schrader, ThirdACT

Mark Shahinian, Gridium

APPEARANCES

PRESENTERS (Cont.)

Kaylee D'Amico, California Hub for Energy Efficiency
Financing

PUBLIC COMMENT

John Shipman

INDEX

	Page
Introduction Heather Raitt	5
Workshop Leadership Opening Remarks	6
3. Panel: Decarbonization Programs - Local Programs, Data, and Lessons Learned	11
Moderator: Danuta Drozdowicz, CEC	
A. Andrew Brooks, Association for Energy Affordability	
B. Ryan Gardner, Rincon Consultants	
C. Scott Blunk, Sacramento Municipal Utility District	
D. Ben Cooper, StopWaste	
4. Presentation: Designing Electricity Rates for an Equitable Energy Transition	84
Meredith Fowlie, U.C. Berkeley	
5. Panel: Financing Decarbonization	116
Moderator: Deana Carrillo, CEC	
A. Holmes Hummel, Clean Energy Works	
B. Diane Schrader, ThirdACT	
C. Mark Shahinian, Gridium	
D. Kaylee D'Amico, CAEATFA	
Public Comments	193
Closing Remarks	195
Adjourn	201

1 may ask questions or upvote questions submitted
2 by others through the Zoom Q&A feature. You may
3 also make comments during the public comment
4 period at the end of the afternoon. Please note:
5 We will not be responding to questions during the
6 public comment period.

7 Also, we welcome written comments. And
8 those would be due by July 27th. And the meeting
9 notice provides all the information of how to
10 submit written comments.

11 And with that, I'm pleased to turn it
12 over to Commissioner Andrew McAllister.

13 Thank you.

14 COMMISSIONER MCALLISTER: Okay. Heather,
15 thank you again for organizing, you and your
16 team, for organizing this day of workshops. This
17 morning was terrific. And this afternoon is
18 going to be terrific as well. We have some great
19 people on our two panels this afternoon regarding
20 financing decarbonization.

21 And I won't repeat my opening comments
22 from this morning but just really gratified to
23 have my colleagues on the dais here, Commissioner
24 Patty Monahan, Commissioner Siva Gunda.

25 And Derek Chernow from CAEATFA, the --

1 well, long acronym, but thank you, Derek, for
2 being here as well. Really appreciate your
3 participation in this. And actually, this
4 afternoon, I think, is right up your alley, so
5 looking forward to your input as well.

6 With that, I think I would invite my
7 colleagues, Commissioner Monahan, if you'd like
8 to make some comments, and then Derek.

9 COMMISSIONER MONAHAN: I'm actually most
10 interested in what Derek is going to say because,
11 I mean, this is such a seminal issue around how
12 do we make sure that we have the financing to
13 support this transition to a lower-carbon energy
14 system. And I know we, for transportation, we
15 struggle with this a lot around infrastructure
16 investments for zero-emission vehicle refueling.

17 And so, Derek, I want to pass the baton
18 over to you and hear what you have to say about
19 this topic.

20 MR. CHERNOW: Thank you. No, I
21 appreciate that. And I'm really interested to
22 hear what everybody has to say this afternoon and
23 excited about the lineup that's in store for
24 everybody.

25 You know, a couple of themes that we

1 heard about earlier today revolved around
2 transparency and an all-of-the-above approach.
3 And I think that's kind of where, you know,
4 CAEATFA comes in. And again, apologize for the
5 long acronym. Eventually we'll change that in
6 time. But really, I think that's kind of one of
7 the things that we're looking at, you know, in
8 that all-of-the-above approach there's incentives
9 and there's other funding mechanisms.

10 And then there's, you know, lending and
11 borrowing, which is kind of where we come in.
12 And I think it's just important to put out there
13 at the beginning as we start to hear from some of
14 the other panelists, that debt solutions are good
15 for some customers, indeed they are, who want to
16 pay privately for their building investment,
17 whether it's their homes or their business. But
18 debt is not a particularly great solution for all
19 customers. It depends on your particular need
20 and your particular means.

21 And you know, I think we're proud of the
22 program that we're operating here at CAEATFA in
23 driving down those costs, extending the length of
24 the terms and making it an affordable option in a
25 lot of respects. But it is not for everybody and

1 that should be kept in mind as we look at the
2 all-of-the-above approach. So it applies, just
3 not across the board in every circumstance.

4 So I think we're really excited about the
5 growth in this space. I think we're excited
6 about the increased investment from the lending
7 community in energy efficiency, again, whether
8 it's residential or small business. In our case,
9 we're just seeing an increased demand on the
10 consumer side, and we're seeing an increased
11 interest on the lending side. And you know,
12 we're happy to do that.

13 I think other part of this is the
14 transparency and being part of a government
15 agency, is that we do have to be transparent,
16 which is good for the consumers and good for
17 everybody involved. So people can see what the
18 lending rates are. They can see what the average
19 loan size is. They can see the growth of these
20 programs. So it's all out there to be evaluated
21 and looked at and, hopefully, spur additional
22 investment and an additional demand. And,
23 indeed, that's what we've seen.

24 So you know, again, I'm excited to hear
25 what folks have to say today. I know our shop

1 will be presenting later on and go into greater
2 detail. But you know, I think this is definitely
3 part of the solution, not the only part but
4 definitely a key part of the solution.

5 So thank you.

6 COMMISSIONER MCALLISTER: Great. Thank
7 you very much, Derek.

8 And, yeah, we live in a huge, complicated
9 state. And I think we didn't really explicitly
10 talk about it this morning, but we certainly
11 could have, the need to segment, you know, really
12 the need to focus on all the different market
13 sectors that have individualized needs. And you
14 know, we talked about different communities with
15 different needs. Well, we could actually slice
16 and dice across the building stock, as well, by
17 ownership, you know, by, you know, sector,
18 obviously. But you know, not all commercial is
19 the same. You know, we have commercial A, B, C.

20 So I think there are just a lot of ways
21 we can benefit from the knowledge and from the
22 people in our panels today and really, you know,
23 attack this problem in a multifaceted way, and
24 they're going to help us do that.

25 So with that, I think, in advance, I want

1 to thank Staff for helping to put this day
2 together. And Danuta and Deana for moderating
3 our two sessions this afternoon.

4 And with that, I'll pass it off to
5 Heather to kick us off on our next panel.

6 MS. RAITT: Great. Thank you,
7 Commissioner. As you mentioned, so our panel is
8 on decarbonizing programs, local programs, data,
9 and lessons learned. And Danuta Drozdowicz is
10 going to be our moderator. Thank you, Danuta.
11 And she is an Energy Specialist in the Energy
12 Commission's Building Standards Office.

13 Go ahead.

14 MS. DROZDOWICZ: Thank you so much,
15 Heather.

16 A quick reminder before the session
17 begins. Please type any questions that you have
18 for our presenters into the Q&A.

19 And with that, I would like to introduce
20 our first speaker, Andy Brooks from the
21 Association for Energy Affordability.

22 Good afternoon, Andy, and welcome.

23 MR. BROOKS: Hi. Thank you again.
24 Thanks. My name is Andy Brooks. I'm Senior
25 Director of AEA's west coast office. First off,

1 thanks to the Commissioners for the opportunity
2 to present.

3 You can actually go ahead and skip to
4 slide three.

5 So just by way of background, we, AEA, is
6 a nonprofit technical services and training
7 organization. And we are dedicated to bringing
8 the benefits of clean energy and energy
9 efficiency to underserved communities. We work
10 in a variety of different aspects of multifamily
11 affordable housing. But a lot of what we do is
12 implementing energy programs on behalf of state
13 and local government agencies, utilities,
14 community choice aggregators, and regional energy
15 networks.

16 And these are just some of the programs
17 that we're currently implementing, the first of
18 which, the Low-Income Weatherization Program was
19 really one of the first building electrification
20 programs in the state and, for quite a while, was
21 really where a lot of the multifamily existing
22 building electrification work was happening. Now
23 we're able to do electrification work in all of
24 these programs, some of which are focused purely
25 on electrification. So a lot has changed in a

1 very short period of time with relation to
2 programs and our ability to integrate
3 decarbonization measures.

4 But in all of these programs, our role is
5 pretty much the same, so we're, effectively, the
6 kind of the boots-on-the ground retrofit project
7 managers. We are out in buildings every day. We
8 do site assessments and determine what needs to
9 be done at a property and then figure out kind of
10 what the best approach is to get that work done.
11 And then help the owners, leveraging additional
12 financial resources as needed. So we basically
13 scope the projects for the property owners and
14 then work really closely with them and the
15 contractors and property managers, maintenance
16 staff, anyone who is needed to be involved to
17 make that project happen.

18 So you can go ahead to the next slide.

19 So my focus is just going to be on
20 sharing some data that has come out of these
21 projects and programs as a way of illustrating
22 kind of the current state of existing building
23 electrification work. So this data is coming
24 from a combination of LIWP, BAMBE, the Bay-run
25 program, MCE, and SMUD programs.

1 And I have to caveat this because, A, I
2 had to scramble to pull this data together pretty
3 quickly, so it's pretty high level. And then,
4 more importantly, it's really hard to parse a lot
5 of this data, and project cost data in
6 particular, because, for one thing, these are all
7 whole-building retrofit programs, so we're always
8 doing -- kind of treating the building
9 holistically. And very often, a lot of the
10 various components of the work get bid out as one
11 big package. And so bidding contractors tend to
12 kind of mash a lot of it together in a way that
13 makes it very difficult to pull those costs apart
14 in a perfectly accurate fashion.

15 And then, on top of that, there are just
16 a lot of factors that impact costs, so we're
17 looking at averages here, but the ranges can be
18 pretty huge depending on, you know, how much
19 electrical infrastructure work had to be done in
20 order to facilitate the project, what, you know,
21 what part of the state the project's in, whether
22 prevailing wage is required or not, what kind of
23 equipment was used, and just a whole host of
24 other factors.

25 But just, so looking at this, first off,

1 at the top you can see we've done 77 multifamily
2 electrification projects, 37 of those have
3 involved just heat-pump water heating, 19 have
4 heat-pump HVAC, and 21 have involved both. And
5 then we have the total installed cost, the total
6 number of units installed, the total cost per
7 unit for each of those categories, so in-unit
8 water heaters, central water heating, and in-unit
9 HVAC. And then, just as a point of comparison,
10 we have the equivalent for gas-based
11 replacements. And that data is just coming from
12 the LIWP Program. And really, the main data
13 point to focus on here is the cost per unit.

14 So if we go to the next slide, we can see
15 a better summary of that point.

16 So all of the subsequent graphs, by the
17 way, are based on a subset of those projects that
18 I just mentioned, not all 77, because we just --
19 we don't have all of that data for all of those
20 projects pulled together yet. That is an ongoing
21 project that we are actively working on right
22 now.

23 But so this first one just illustrates
24 what we've seen so far in the way of cost
25 comparisons between heat pumps and the equivalent

1 gas system upgrades. And again, there's quite a
2 bit of nuance to these comparisons.

3 So for example, in the case of the in-
4 unit HVAC comparison on the right, any time you
5 replace a gas heating system with a heat pump you
6 are getting the added benefit of air
7 conditioning. But that \$3,891 on the gas system
8 cost is inclusive of projects in which we just
9 upgraded the heating system and they didn't get
10 the additional added benefit of cooling. So not,
11 necessarily, a direct apples-to-apples
12 comparison. If we were to add air conditioning
13 to those projects that only upgraded the heating
14 systems we would get closer to parity on costs
15 there. But generally speaking, so far, what
16 we're seeing are higher costs on the electric
17 options, which is, I think, not a surprise.

18 Now, obviously, as heat pumps installs
19 become more commonplace we will see those costs
20 come down, particularly because it's really on
21 the labor side of the equation that we see the
22 bulk of the cost difference. So as contractors
23 become more familiar with the technologies and
24 have more of these installs under their belts, we
25 are going to see a decrease in labor costs there.

1 So you can go to the next slide.

2 So this graph shows just the average GHG
3 reductions per project type, so DHW and HVAC, DHW
4 only, and HVAC. So again, the pool of projects
5 that this slide is based on, in that pool there
6 were only three projects that had DHW and space
7 heating, whereas with the DHW alone we had 13 or
8 14 projects in that pool. So you know, those two
9 projects both had around, you know -- or those
10 three projects that did both had around 30 to 40
11 percent savings, whereas in the larger pool of
12 DHW-only projects, some of those had savings
13 upwards of 60 percent. But this gives you a
14 general idea of the kind of GHG reduction that
15 we're seeing in those types of projects.

16 You can go to the next slide.

17 And this one is similar but it shows the
18 GHG reduction impact by project. That one giant
19 project in the middle kind of throws the scale
20 off on the graph a little bit. But you can see
21 that projects, like number four and number nine,
22 have GHG reductions in the 60s, down to Project
23 Number 10 which is currently as zero which is
24 because the project is back running on gas due a
25 problem with their central heat-pump water heater

1 plant. But the main takeaway here is that all of
2 the projects, with the exception of that one,
3 have seen very significant GHG reductions.

4 You can go to the next slide.

5 So this one is particularly important,
6 and a little unnerving to see it first, but it's
7 really important to understand. So this is pre
8 and post utility costs. And what you can see is,
9 while most projects have utility cost savings
10 and, in many cases, pretty steep savings, there
11 are some projects that are showing negative
12 savings at this point. So it's important to
13 understand why that is, where those projects are.

14 So first thing, a few things to note is
15 this does not account for any kind of standard
16 utility rate increases that have occurred over
17 time. So we know that some of these projects
18 have seen electricity rate increases that is kind
19 of standard outside of whatever work we're doing.

20 And then, most importantly, a lot of the
21 analyses periods that we're looking at here are
22 during COVID. So we have, undoubtedly, seen an
23 increase in, as you would all expect, in hot
24 water and HVAC use, and it can be pretty
25 significant. So in those cases, it's really hard

1 for us to know whether the increases in
2 consumption is a result of increased occupancy,
3 which is very likely the case, but it could also
4 be, you know, underperforming systems or some
5 other factor.

6 But for example, Projects 1, 2, and 10
7 there that show negative savings, those are
8 all -- they all have hybrid central water heating
9 plants, so those are heat-pump water heaters with
10 the existing gas system left in place as backup.
11 And these were kind of early stage central heat-
12 pump water heating projects while the technology,
13 in doing those projects, was still very new.

14 And one of the issues that we found is
15 that if you have hot water crossover issues in a
16 building, which is when you have faulty or failed
17 shower or sink mixing cartridges and you end up
18 getting hot water bleeding into the cold water
19 line and cold water bleeding into the hot water
20 line, that situation, if you have that, can
21 impact the heat-pump water heater's ability to
22 provide adequate hot water. And in those cases
23 what ended up happening was that during much of
24 the period of time that the analysis took place
25 the heat pumps ended up getting bypassed and the

1 gas system was really the primary driver there.

2 Project 8 is an example where they just
3 ran into funding issues throughout the course of
4 the project where -- that ended up delaying the
5 install of the PV, so the PV is still not
6 complete. It's being installed now but there was
7 no PV during that analysis period. Once that
8 gets installed, that -- those numbers will invert
9 there.

10 And then 16 and 17 are just not completed
11 projects yet. They still have some more energy
12 efficiency work that's being done and the PV is
13 not turn on yet. So I could have just deleted
14 those projects but it's important to show because
15 what we see most commonly is that the energy
16 efficiency and electrification work is being done
17 first and PV is usually the last step in the
18 process. And often that means there's, you know,
19 6 to 12 months in which the electrification has
20 occurred but the PV hasn't been turned on yet.

21 Now in these cases these are all master-
22 metered buildings, so it's the property owners
23 that are seeing the utility cost impact. But
24 this is -- this could just as easily happen in
25 direct-metered buildings in which the tenants

1 could see the increase. So we have to take all
2 of the precautions to make sure that these types
3 of issues are, you know, avoided or addressed
4 immediately as they arise. And that is one of
5 the reasons why utility monitoring, and I heard
6 this mentioned in the last presentation, but
7 utility data monitoring really is so critical
8 with this type of -- these types of projects.

9 You can go on to the next slide.

10 So just general project characteristics.
11 One thing is, you know, very few projects can, at
12 this point, fully electrify all end uses. That's
13 typically a function of just cost and funding
14 issues but, also, a function of building-level
15 and apartment-level electrical capacity-related
16 issues.

17 And then as far as savings go, all
18 projects have significant GHG reductions, and all
19 have energy reductions on a kind of net kBtu
20 basis. But some projects, we are seeing larger
21 increases in electricity use than the models are
22 predicting. And we're seeing some, like I just
23 showed, that don't yet have utility cost savings.
24 And there are a variety of things that play into
25 that. You know, actual operational performance

1 being lower than what the model calculates is one
2 potential issue. Installation issues can play
3 into that. And then the big one that we're
4 seeing right now is just the COVID-related
5 occupancy schedules that we're -- will hopefully
6 not be an issue in the future.

7 So you can go on to the next slide.

8 So just in terms of barriers, I'm sure
9 everyone is quite familiar with a lot of these,
10 and it's been covered in some other sessions, but
11 cost and financing challenges, obviously, this is
12 still very kind of time intensive and
13 logistically challenging work that requires a lot
14 of expertise on the part of a lot of different
15 people, a lot of different stakeholders, so
16 there's that. Existing building conditions and
17 the age play a big role in kind of how
18 challenging the work is going to be, particularly
19 with relationship, again, to the electrical
20 infrastructure challenges. And then contractor
21 familiarity. This is definitely still new work
22 to most contractors, so there's still a great
23 deal more education to be done on that front.

24 And then, again, building electrical
25 infrastructures -- you can do to the next

1 slide -- this really is a major technical and
2 cost barrier that we deal with kind of on a daily
3 basis. I'm not going to go into detail on this
4 slide because I'm running out of time here, and I
5 know that Ben is going to be talking about
6 infrastructure issues, too, but we can definitely
7 cover some more of that on the Q&A if it comes up
8 too.

9 So you can go to the next slide.

10 So just factors to consider specifically
11 when we're dealing with multifamily affordable
12 housing electrification.

13 So I did hear this mentioned earlier
14 today, too, electrification has to be part of a
15 comprehensive retrofit approach. It's got to
16 include deep energy efficiency. And this is
17 primarily to mitigate against the potential for
18 utility bill increases. It also has to include
19 solar. And, ideally, we need to be able to shift
20 those project schedules to that the PV gets
21 installed either first or at least in parallel
22 with or immediately following the electrification
23 work to avoid any potential further short-term
24 cost increases.

25 And the inclusion of solar also means

1 that we need to make sure that VNEM systems can
2 be installed in all situations, and that's
3 currently not the case.

4 And it's also worth mentioning that, you
5 know, there is NEM reform coming down the pike,
6 net-energy metering, that could also impact solar
7 feasibility and will have cost implications there
8 as well.

9 But these technologies are still new to a
10 lot of contractors, as I mentioned, so
11 installation issues are more likely than in kind
12 of a standard like-for-like replacement. And
13 because the margins are tighter, you know,
14 there's just -- the savings potential is smaller,
15 essentially, then the risk associated with
16 installation issues becomes larger. So we have
17 to be very careful and really do a lot of kind of
18 detailed oversight and QA, more so than with kind
19 of standard energy efficiency projects.

20 And then, like I said earlier,
21 benchmarking and ongoing utility tracking is more
22 important than ever. You know, with energy
23 efficiency retrofits you know utility costs are
24 going to go down or, in the worst case scenario,
25 they'll remain neutral. But you know, when you

1 introduce the risk of increased utility costs,
2 ongoing tracking really becomes that much more
3 important.

4 And then, finally, rate reform is going
5 to be critical, I heard it mentioned, also, in
6 the last session, and it's certainly not my area
7 of expertise but it's going to be key.

8 So my time is up so I will end it there
9 and pass it back to Heather.

10 Thank you.

11 MS. DROZDOWICZ: Thank you so much, Andy.
12 That was a great presentation.

13 And now I'm pleased to introduce our
14 second speaker, Ryan Gardner, Climate Action
15 Program Manager from Rincon Consultants.

16 MR. GARDNER: Welcome Ryan.

17 MR. GARDNER: Thank you so much. Yeah,
18 I'm Ryan. I'm with Rincon Consultants. And I'm
19 going to be talking a little bit today about our
20 Existing Building Electrification Strategy that
21 we developed for the City of Berkeley.

22 Next slide.

23 So the scope of this project, we teamed
24 up with Rocky Mountain Institute and the Ecology
25 Center, who is a really great local nonprofit

1 whose been working in energy efficiency and waste
2 and all kinds of stuff in the city for a long
3 time. And the goal was to build off of
4 Berkeley's new construction electrification
5 ordinance, and also their fossil fuel-free goal,
6 and help support their carbon neutrality targets.

7 The big focus of this project was how to
8 equitably electrify the City of Berkeley, so all
9 existing buildings, as quickly as possible. And
10 for this project, we really ended up focusing on
11 low-rise residential, so a little bit easier than
12 the bigger multifamily units. But we looked at
13 low-rise multifamily, and single-family and
14 really tried to figure out, when was the fastest
15 we could get this work done? The city is pretty
16 progressive on that point and really looking for
17 trying to get as much work done as quickly as
18 possible. And then provide a set of short- and
19 long-term policy recommendations to help the city
20 move in this direction.

21 So we started off with a building stock
22 analysis. Luckily, the city already had quite a
23 bit of data on the buildings that are existing in
24 the city right now, when they were built, and
25 where they are. And then we moved into doing a

1 cost of savings model analysis using the Radiant
2 Lab School, which is able to do geospatial
3 analysis and build an energy model out for each
4 of the buildings based on the square footage and
5 the data that we had. And then a huge portion of
6 this work scope was looking at -- doing community
7 engagement and really hearing from the community
8 on what their concerns were and how we can avoid
9 equity impacts.

10 So next slide.

11 So the first part that any city really
12 needs to do is understand what their building
13 stock looks like because there's going to be a
14 huge variable in the costs and the overall
15 process that they're going to need to follow in
16 order to electrify their building stock.

17 If we go to the next slide?

18 Berkeley is probably one of the harder
19 places in California, I think, to do
20 electrification work. Most of the buildings are
21 really old. So we have, just looking at this
22 histogram, almost all the buildings built before
23 like 1963. We've got really poor envelopes,
24 really low rate of heating and cooling currently,
25 knob-and-tube wiring, asbestos, leaky ducts and,

1 again, that really mild climate, just not a ton
2 of energy use for heating and cooling in general
3 anyway.

4 So all of these are really challenging
5 for the city. And I think it's, when we look at
6 these numbers, it's a good caveat to say that
7 this is probably one of the harder places to do
8 this work.

9 Next slide.

10 So once we had all of our building
11 segmentation analysis done, we were able to put
12 the square footages and our energy consumption
13 data into the Radiant Lab's model. We were then
14 able to run a few different analyses.

15 So if we can go to the next slide?

16 We originally started this project off
17 working at -- looking at whole building
18 electrification packages. So we had six
19 different electrification packages that we looked
20 at. The first package was economy products only,
21 so this is kind of forced -- or excuse me, it's
22 just the basic electric floorboards using
23 resistance heating for water and for HVAC.
24 Package 2 bumped up to mid-tier products, so
25 using nicer heat pumps and heat-pump hot water

1 heaters for both air conditioning and what water
2 heating. And then Package 3 looked at mid-tier
3 projects and envelope improvements so we could
4 kind of try to figure out what the difference in
5 payback would be between doing windows and shell
6 and air sealing, on top of electrification.

7 And then for each one of those packages,
8 we also modeled a solar package, with Package X.1
9 being no solar, and Package X.2 being offset
10 solar, so just offsetting the new electrical load
11 from the electrification. And then Package X.3
12 being net-zero energy solar array, so a larger
13 array that would take up all of the new
14 electricity and the prior electricity.

15 Next slide.

16 So this is a breakdown or a summary of
17 all of the costs that we came up with. So, and
18 again, this is for kind of the average building
19 in the City of Berkeley. The first column,
20 energy buildings, is the on-bill savings that we
21 would expect from each of these packages. So you
22 can kind of see right off the bat, economy
23 appliances alone actually increase bills. But
24 once you get into any other package you are
25 seeing a bill savings, with substantial savings

1 around the economy appliances and zero-net energy
2 solar.

3 One thing that we did try to keep in mind
4 is that there -- with the potential changes to
5 NEM, we tried not to use the net-zero energy
6 solar in our kind of decision-making approach and
7 stick with that offset solar, so kind of the 1.2,
8 2.2, and 3.2 packages, to try to come up with our
9 suggested pathways based off of those.

10 You also see that, in our modeling,
11 weatherization and efficiency upgrades did not
12 really move the needle that much as far as costs
13 or savings, or they increased costs substantially
14 and the savings were pretty difficult, so they
15 didn't increase payback very well. And I think
16 that's primarily an artifact of just where
17 Berkeley is situated. And we did get a lot of
18 feedback that there's a lot of other things to
19 take into account as far as like the ability of
20 heat pumps to heat a home, and comfort, and that
21 efficiency is still super important but, again,
22 just wasn't super reflected in our costs.

23 And then getting into our gross costs is
24 kind of the costs that we modeled to just go into
25 a home and electrify everything. A lot of these

1 costs are kind of fixed costs around panel
2 upgrades. We have seen that, after talking with
3 contractors, almost every home in Berkeley is
4 going to need a full panel upgrade. There's a
5 lot of old-style fuse boxes, a lot of knob-and-
6 tube wiring. So this includes panel upgrades, as
7 well as new wiring for most appliances.

8 Once we get into the incremental costs
9 we're able to kind of knock those costs down a
10 little bit more. And then we add in some
11 incentives and we get a little bit closer to
12 parity. And then finally, once we start looking
13 at incremental costs plus incentives, and then
14 accessible funding and financing, we start
15 getting down to some costs that are a little bit
16 more reasonable but, again, pretty significant
17 up-front costs.

18 And I think this was really -- once we
19 started talking with the community about these
20 and kind of daylighting these up-front costs,
21 there was a real change in our approach overall
22 to this project and to how aggressive we could be
23 as far as our policies and ordinances and things
24 like that.

25 Next slide.

1 So, yeah, some of the key takeaways, like
2 I said, covered a lot of these already. Mild
3 climate makes it really challenging. High labor
4 costs in the Bay Area is also pretty difficult.
5 And as the speaker before me was mentioning, this
6 is pretty highly skilled labor. It is pretty
7 expensive. High electricity rates overall. And
8 again, these kind of upgrade costs around
9 electric panels and wiring are pretty substantial
10 with the older building stock, adding, you know,
11 \$5,000, \$6,000, \$7,000 to the overall cost.

12 Modeling trends, there's kind of not
13 great payback on the envelope. Solar is a huge
14 help but we're cautious on how long it will be
15 that way with changes to NEM. And we did see,
16 just in general, fairly long payback times,
17 especially in multifamily.

18 And then some of the interesting things
19 we saw doing this as a geospatial analysis, home
20 size, home type, neighborhood, education, and
21 race all had statistical correlations to payback
22 with larger, more affluent houses having faster
23 paybacks and better economics overall than some
24 of the lower-income areas, which just adds to
25 kind of the equity concerns we had going in.

1 Next slide.

2 So like I said in the beginning,
3 community engagement was a huge piece of this
4 project. And equity was really baked into the
5 process from the beginning. So even while we
6 were doing the building segmentation analysis and
7 the modeling, we were going out and having
8 conversations with disadvantaged and minority
9 communities within Berkeley, we really focused on
10 those communities, disabled communities and
11 others. So it was a really long process but the
12 feedback we got really ended up tailoring our
13 approach.

14 So if you could go to the next slide?

15 So this is an interesting match kind of
16 checkout. These are areas that were originally
17 redlined in the City of Berkeley, one of the kind
18 of birthplaces of redlining. So those areas
19 within the red squares are areas were really not
20 able to get funding or financing to do anything
21 with homes. It's difficult to buy and sell homes
22 there.

23 And when we skip over to the next slide
24 and look at conditions today, we really see the
25 same map. So Berkeley has lost, I think, 50

1 percent of its African American community to
2 displacement. Gentrification is an ongoing
3 concern. A lot of illegal units being rented.
4 And we just heard over and over again that loss
5 of their homes is a big concern when doing
6 upgrades. Really high rental rates. And really,
7 like I said, disincentives for retrofitting rent
8 control buildings. That's another big issue.

9 So we kind of just see these same areas
10 in Berkeley still having kind of disproportionate
11 effects of substandard housing, and then seeing
12 effects of displacement as costs continue to rise
13 in the Bay Area for housing. So this really just
14 added another concern to most of the community,
15 even those who saw real value in it.

16 Next slide please.

17 And when we were out talking with the
18 community and disabled community, to Spanish
19 communities, kind of folks throughout Berkeley,
20 they saw a lot of really great benefits to health
21 and safety and comfort. The disabled community
22 saw huge benefits for more resilience during
23 power outages, like adding battery storage,
24 making the grid more robust. But there is a lot
25 of concerns, a lot of concern about up-front and

1 long-term costs, which is reflected in the
2 modeling that we did. A lot of concern about
3 displacement, education in general.

4 And then knowing that there needs to be
5 more accessible funding and financing options.
6 So it was interesting to hear that they're --
7 it's really hard to -- for those communities to
8 apply for the funding and financing that's
9 available right now.

10 And then a lot of just feedback,
11 generally, about meeting with the health and
12 safety side of things, not just the energy
13 efficiency side.

14 So next slide.

15 So what we did was take this kind of big
16 world of feedback we got from the community and
17 distilled it down into our equity guardrails,
18 which is to maximize our access to health and
19 safety benefits, equitable access to economic
20 benefits, equitable -- I'm sorry, maximizing the
21 ease of installation, so making sure this work
22 can be done efficiently and effectively. And
23 then really being cognizant of promoting housing
24 affordability and anti-displacement, and making
25 sure the policies we put in place don't increase

1 that, those issues.

2 Next slide, please.

3 So through all of that, we pulled
4 together our overall strategy which is really
5 four key areas, and this kind of goes into our
6 all-of-the-above approach that we've been
7 hearing.

8 So time of replacement. Renovation is a
9 key time to leverage those marginal costs.

10 Time of sale is a key time to leverage
11 funding and financing terms -- or financing
12 terms, like on your mortgage, kind of tricky in
13 the Bay Area in the current housing market there
14 but some good opportunities.

15 Looking at performance building -- or
16 building performance standards for commercial
17 buildings and larger buildings and kind of
18 ramping down to smaller buildings over time.

19 And then neighborhood electrification and
20 natural gas burning which, I think, has some
21 really excellent opportunities for funding
22 electrification but some kind of key hurdles we
23 need to overcome before we get there.

24 And these are all supported by the kind
25 of major pillars, which is education, accessible

1 funding and financing, and then regulatory
2 changes, and then supported by the equity
3 guardrails. And essentially, every action that
4 we do underneath these have to support -- have to
5 pass through the equity guardrails and be
6 consistent.

7 So next slide.

8 So some of the key things that we found
9 that needs to get addressed to make this cost
10 effective in the City of Berkeley, panel
11 upgrades, getting those costs down since they're
12 kind of a fixed cost, policy changes around
13 obligation to serve, and the ability to allocate
14 a natural gas retrofit funds, so electrification,
15 and then utility rates that reflect our
16 priorities, and then funding and financing and
17 keeping that equitable, like a tariffed on Bill
18 Financing Program, are all super key.

19 So I will leave it there as my time is up
20 but thank you for the opportunity.

21 MS. DROZDOWICZ: Thank you so much, Ryan.
22 Another great presentation.

23 And now I'm pleased to introduce our
24 third speaker, Scott Blunk, Strategic Business
25 Planner at SMUD.

1 MR. BLUNK: Yeah. Okay. Thank you very
2 much for having me here today.

3 We can go to the next slide.

4 SMUD does have a zero-carbon in its
5 electricity supply by 2030. And I won't spend a
6 lot of time on it but we have a plan to get
7 there.

8 Go to the next slide.

9 There's a lot on this slide. But part of
10 our -- or maybe in addition to our zero-carbon
11 and our electricity supply is to electrify 100
12 percent of all our buildings by 2045, and to
13 electrify our low-income households, specifically
14 our EAPR is the program we call it, by 2040, so
15 five years ahead of schedule. We are starting--
16 and my presentation is solely focused on the
17 single-family, although we do have a multifamily
18 program, as well, which Andy touched on briefly.

19 But starting off, 18 percent of all of
20 our buildings in 2018 were all-electric. The
21 goal is to get to 34 percent by 2030 and 80
22 percent by 2040.

23 And, yeah, the next slide.

24 So our Low-Income Electrification Program
25 is a direct-install program. It's operated a lot

1 like a lot of other low-income programs out
2 there. It started in 2019. We started
3 electrifying in 2018. The Low-Income Program
4 started long before that. And we've got about
5 40,000 single-family homes that, in our program,
6 are qualified low-income. And about 8,000 of
7 those started out as all-electric.

8 So far, in the last couple years, we've
9 changed out about 1,000 gas appliances in low-
10 income. With every touchpoint the goal is to
11 electrify every single end use. Like I said,
12 that's the goal. It doesn't always happen that
13 way.

14 Next slide.

15 This shows the percent of those homes
16 that are -- that have gas that we plan to
17 electrify every year moving forward. So this is
18 both single-family and low-income. Low-income --
19 so these percentages are based off the percentage
20 of low-income versus non low-income. So really,
21 what this is showing is we're really trying. The
22 goal is really to -- for low-income to outpace
23 the market-rate homes.

24 And so total equipment, single-family
25 home equipment conversions over the years, is

1 that table that's listed on this slide, and kind
2 of what we're doing on an annual basis, but that
3 is both low-income and market-rate combined to
4 date.

5 Next slide.

6 I think this has been mentioned a lot but
7 panels are a big challenge. And our average cost
8 to change a panel is \$4,725 which when --
9 depending on the panel, it can be \$9,000 or more
10 per house, so that's an incredible barrier for us
11 to overcome. As a utility, really, we get
12 nothing for it other than the opportunity to
13 electrify, and electrify not just the building
14 but, also, the transportation, so vehicles.

15 And part of that -- part of those
16 challenges and what drives up the price is going
17 to be vegetation. There's going to be a lot of
18 vegetation management in some of these older
19 homes. And clearance requirements. At times it
20 requires moving the panel to a different wall of
21 the house so that there's proper clearance from
22 where the line would droop over the roof.

23 And in timing panel changes, there's just
24 a lot of coordination that has to happen
25 internally, SMUD vegetation management, and then

1 SMUD just turning on and off the power and moving
2 it, but also with the building officials. So
3 there's just an incredible amount of coordination
4 that is required on each of those.

5 One thing we have just started doing is
6 we've started installing a simple switch. So a
7 simple switch is -- it just allows you to wire
8 two devices together and giving one priority. So
9 for example, you can wire the induction cooking
10 to be the main one that's going to be on, and EV
11 would be the secondary. So if you turn on your
12 stove, it turns off the EV charging at that same
13 time. And they're really cheap, \$250. We've
14 installed about 25 of those so far, so not a ton
15 but we're getting going in there. But what we've
16 found is it can really just save thousands on a
17 panel replacement if we can either avoid the
18 panel replacement, number one, that's really the
19 main savings from that.

20 And then the other real challenging one
21 is induction, or cooking, electrifying cooking.
22 And that stems from the fact that just the
23 location of where it's at. Your water heater or
24 your space heater is often in a closet or the
25 garage or the attic where running another circuit

1 to it is less intrusive to the house, it destroys
2 less drywall, just you're not inside the house
3 quite as much. So that one has been a real, real
4 challenge, and certainly the one that we haven't
5 done as much as water heating and space heating
6 to date. And there's a lot of issues with that.

7 We were told a couple years ago that
8 induction prices would come down. We haven't
9 seen that yet. Part of that is COVID and the
10 supply shortage, we think, so availability,
11 wiring, and just kind of the overall project
12 costs. And when we can't electrify the gas
13 cooking, we do leave the tenants at least with a
14 portable induction unit. And from my own
15 experience, just one portable induction unit can
16 serve -- can replace about 75 percent of the gas
17 use on the stove top.

18 The next slide.

19 Very data heavy on this slide. So
20 there's kind of three things here, the market-
21 rate market, then there's just the -- the bluish
22 color is electrical efficiency, just for
23 comparison, and then low-income is at the bottom.
24 The SMUD incentive is listed there. For low-
25 income, that's not necessarily the incentive,

1 that's our average cost per household. And then
2 the next column there's lifetime carbon savings
3 in tons. And then just dividing those two is
4 kind of the cost to SMUD for that carbon savings
5 and cost per ton.

6 And then Super RIM, we developed a metric
7 with E3's help. This is the standard ratepayer
8 impact measure cost but also includes the cost of
9 the gas in that calculation, so it's really kind
10 of directed more toward what's the consumer going
11 to see. And so there's two RIMs there. There's
12 the Super RIM in 2021 and the Super RIM kind of
13 looking at holistically for what it's going to do
14 for SMUD's customers, so a lower number is
15 better. Negative numbers actually mean that it
16 will -- SMUD being a community-owned not-for-
17 profit utility, if it's negative that means there
18 will be downward pressure on rates. So we should
19 be able to lower rates and give that money back
20 to our customers in some form or another.

21 Yeah. And then I think we can go to the
22 next slide. Kind of -- yeah, and this is my last
23 slide.

24 So the outlook and challenges is we just
25 need the emphasis to be on the existing building

1 market, right, move the -- our emphasis. We've
2 talked so much about new construction at the CEC
3 and other places and we're making great strides
4 there. And that's where we should have been
5 working because it's the easiest. But we really
6 need to kind of do an about-change and really
7 look at what we can do to emphasize existing
8 buildings.

9 And part of that is going to be improved
10 code enforcement. At some point we're going to
11 want to know that these buildings have been
12 retrofitted or we're going to put some law in
13 place that's going to require it. Right now to
14 change a water heater, I think the estimate
15 statewide is about less than ten percent actually
16 pull the permits, and space heating and cooling
17 is not much better than that. And those have to
18 be changed dramatically. And there are
19 jurisdictions that are having good compliance
20 above 50, above 75 percent, so it can be done,
21 but it's going to take a change in mindset for
22 us.

23 We need to just create awareness, I would
24 say raise awareness but there's not a lot there
25 today, so really, it's creating that awareness to

1 both the consumers and the contractors. An
2 earlier panelist from this morning was talking
3 about, you know, really low-income, they were
4 left behind. And so they've, for decades, wanted
5 natural gas because that was always the solution
6 to them for the last several decades. So now we
7 have to change that mindset and help them
8 understand that, you know, the next leap should
9 be to electrification, and that we have the
10 technology to make that happen today.

11 We need moderate-income programs. Just
12 because you're not a qualified low-income
13 household doesn't mean you don't need help,
14 something we heard this morning, also. We
15 typically have two -- we serve the low-income and
16 then everyone else. And there's a portion of the
17 everyone else category that has the money that
18 can do this. But there's a humongous middle
19 ground there where they're going to need help,
20 and maybe that's a financing one. Certainly,
21 financing, I think, will help. We just have to
22 figure out what that is and get it going.

23 And I think we know what some of the
24 solutions are, tariffed on-bill financing, we're
25 going to hear about later on. I think that's a

1 good start. It may not be enough.

2 Of course, we need to balance the grid
3 decarbonization with rates and, of course,
4 reliability.

5 And then for our -- for just what we're
6 projecting, we have a \$300 million budget gap at
7 the current prices of what it costs to convert a
8 low-income household. Again, this is just low-
9 income, it doesn't include all those market --
10 middle income and the M and the LMI people. But
11 we've got a really huge gap that's going to grow
12 every year as we get closer and closer to
13 finishing this out because we're ramping up;
14 right?

15 We're going to be doing more and more of
16 these every year, so looking for solutions there.
17 I know the TECH Program does have items there
18 that can help but I think we're going to need a
19 lot more, and especially if you magnify this out
20 at a statewide level.

21 And that concludes my remarks. Thanks
22 for having me.

23 MS. DROZDOWICZ: Thank you so much,
24 Scott, for such a thoughtful presentation.

25 And now I'm pleased to present our final

1 speaker, Ben Cooper, the Program Manager at
2 StopWaste.

3 Welcome Ben.

4 MR. COOPER: Hey everybody. I want to
5 thank the CEC and the Commissioners for inviting
6 me to be a panelist. And I'm excited to be here
7 today. So, yeah, Ben Cooper, Program Manager at
8 StopWaste based in Oakland. We're a public agency
9 that helps Alameda County's residents, schools,
10 and businesses waste less, recycle properly, and
11 use water, energy, and other resources
12 efficiently.

13 I'd like to note that I'm a bit old
14 school and I have some paper notes that I'll be
15 flipping through, so you may hear that ruffling
16 during my presentation.

17 I managed the CEC Local Government
18 Challenge Grant that began in late 2017 and
19 concluded at the end of 2020. That produced four
20 main deliverables, the Multifamily
21 Electrification Readiness Report, and the Energy
22 Pro Lite which is a modeling tool. I'll address
23 those later in my presentation.

24 I also want to mention that we produced a
25 Multifamily Benchmarking Report which was

1 published in March 2020 and was based on
2 benchmarking technical assistance provided by the
3 Association for Energy Affordability to over 70
4 multifamily properties of various vintages,
5 sizes, and meter configurations. It identified
6 challenges to complete accurate benchmarking data
7 and provided recommendations for improvements and
8 areas of further research.

9 A Rental Housing Potential Study surveyed
10 and interviewed local jurisdiction rental housing
11 inspection staff across the state to better
12 understand their programs and to assess how
13 energy efficiency assessments could be layered
14 on. We also looked at out-of-state programs in
15 Boulder, New York City, and Austin where energy
16 efficiency programs have been integrated into
17 their rental housing inspection programs.

18 My colleague, Emily Alvarez, also
19 produced a white paper with, BAYREN funding, or
20 the Bay Area Regional Energy Network, which was
21 released in December 2020 and explores energy-
22 related policies leveraged by cities, new
23 concepts being pursued, and the impacts such
24 policies could have on the residential single-
25 family that are here in the East Bay.

1 And I want to note, too, that StopWaste,
2 and myself included, administers the Bay Area
3 Multifamily Building Enhancement Program, the
4 flagship energy program for BAYREN. The
5 Association for Energy Affordability and the SF
6 Department of the Environment implement the
7 successful program which was recognized by the
8 American Council for an Energy Efficient Economy,
9 or ACEEE, with an Exemplary Program Award as one
10 of America's outstanding energy efficiency
11 programs.

12 Next slide please.

13 Here's an overview of statistics for the
14 BAMBE Program since its inception in 2014, so it
15 has seven full program years of being
16 implemented. And over those seven full program
17 years the numbers equate to roughly 80 projects
18 per year, or 5,800 units per year throughout the
19 nine-county Bay Area. We've achieved roughly a
20 5.5 percent penetration rate for all multifamily
21 units in the Bay Area, which is pretty
22 impressive.

23 Relating these numbers to the SB 350 goal
24 of doubling energy efficiency by 2030, it shows
25 that there is a lot of room for growth and

1 improvement. But the average site energy savings
2 for a traditional pathway project, on that first
3 row, is 20 percent. Savings numbers for the
4 clean heating pathway, or the electrification
5 pathway of the program, which has only been in
6 place for one full program year, are not yet
7 available.

8 It's worth noting that a relatively
9 modest increase in incentive or rebate funds for
10 a project made electrification possible, as
11 you'll note in the right two cells, where a
12 traditional pathway project averaged \$52,000 per
13 project, and electrification or heat pathway
14 project averaged roughly \$60,000 per project. It
15 should be noted that these early participants in
16 the CHP pathway were cherrypicked a bit based on
17 their viability for electrification.

18 Next slide please.

19 So recommendations to scale
20 electrification programs, attractive incentives,
21 we all know it, more money; right?

22 To overcome up-front material, labor, and
23 electrical infrastructure costs, and to augment
24 the limited reserves typically available to
25 multifamily property owners.

1 Existing or planned programs to implement
2 electrification, adder or kicker incentives for
3 electrification measures, like heat pumps, but
4 also definitely including necessary electrical
5 infrastructure upgrades as those can be a
6 significant part of the overall electrification
7 project costs.

8 Robust technical assistance is critical
9 to working with property owners, maintenance
10 staff, contractors, and occupants to explain the
11 benefits of electrification, assess the potential
12 of electrification, develop scope of work
13 options, including pros and cons of various
14 approaches, and assist the owner and contractor
15 in material procurement, construction management
16 support, and post-installation quality assurance
17 verifications.

18 I, myself, am going through
19 electrification at my household, as is -- as are
20 many of my colleagues. And we are energy
21 professionals and the process is not easy.
22 Robust technical assistance is really needed.

23 Increase education across the board.
24 It's worth noting that some owners in technical
25 assistance had issues getting bids from

1 knowledgeable contractors. It's a pervasive
2 issue and highlights the need for extensive
3 contractor training across the state.

4 Standardize and streamline permitting.
5 Educating building departments and encouraging
6 collaboration and coordination to reduce one-off
7 interpretation or enforcement decisions. It's
8 also on the project team for the electrification
9 project to engage the building departments early
10 and often through the permitting process to avoid
11 costly electrifications later on. Where
12 possible, departments should endeavor to work
13 with projects to develop compromise solutions,
14 especially when alternatives would result in
15 electrification retrofits becoming infeasible,
16 and the solution to be shared across the
17 departments -- across building departments across
18 the state.

19 And we should bring back PV incentives
20 because they currently, generally, only exist in
21 the multifamily sector for deed-restricted
22 affordable housing and not the market rate or
23 naturally occurring affordable housing.

24 And I also want to emphasize health and
25 safety comfort advantages which include markedly

1 improved indoor air quality and lower rates of
2 childhood asthma, and potentially lowered
3 insurance costs, just to name a few. Buildings
4 with older, poorly ventilated gas equipment
5 should be targeted.

6 Next slide please.

7 So the Electrification Report which,
8 again, was funded by a Local Government Challenge
9 Grant from the CEC, was released in May of this
10 year. And Part 1, it's a two-part report, Part 1
11 provides context with policy recommendations,
12 while Part 2 is a functional technical deep dive
13 into the nitty gritty of how to electrify
14 existing multifamily buildings.

15 I want to give a quick shoutout to the
16 Association for Energy Affordability,
17 specifically Jack Aitchison, Aubrey Dority, and
18 Nick Dirr, as well as my colleague at StopWaste,
19 Heather Larson, who are all instrumental in
20 producing this very useful report.

21 As mentioned, Part 1 is more relevant to
22 local governments, regional organizations, and
23 programs in development and design of ordinances
24 or programs specific to existing multifamily
25 electrification.

1 Part 2 is for implementers, technical
2 assistance staff, consultants, contractors, both
3 general contractors and electrical contractors,
4 building departments looking for a deep dive on
5 electrification, or as a glossary to look at
6 specific parts of electrification, like heat-pump
7 water heaters or mini-splits, to name a couple.

8 The specific policy recommendations we
9 made were, one, electrical infrastructure
10 upgrades are often crucial and costly parts of
11 electrification projects. Though they don't save
12 energy, per se, they make electrification-
13 associated energy and greenhouse gas reduction
14 possible, so it should be heavily incentivized.

15 Two, increase panel capacity demands can
16 and should be offset by significant energy
17 efficiency gains, measures, such as LED lighting,
18 efficient electric appliances, and the heat pumps
19 that are more efficient than existing AC systems.

20 And three, take into account non-energy
21 benefits, like utility -- potential utility bill
22 reduction for both owners and residents or
23 renters, improve indoor air quality, increase
24 resilience and effectiveness of PV and batteries,
25 a thermal comfort in the air conditioning

1 installation where it was not previously
2 existing, more accessible electric vehicle
3 charging, and increased safety by removing gas.

4 Number four, in-unit spaces in a whole --
5 in-unit spaces in whole building electrification
6 projects inherently address in-unit spaces, which
7 address equity by providing the benefits of
8 electrification to renters.

9 And five, coordinate incentive programs
10 across incentive programs by coordinating on
11 things like intake paperwork and rebate process.
12 And in fact, a good example of this in the report
13 is -- in the report is provided between the Bay
14 Area Multifamily Building Enhancement Program, or
15 BAMBE, and Marin Clean Energy's Multifamily
16 Program.

17 Next slide please.

18 Part 2 of the report, Recommendations for
19 Program Implementers. This is the nitty gritty,
20 as I was mentioning before, of assessing and
21 installing multifamily electrification projects.

22 I should note, before you start squinting
23 at this slide, that I don't expect people to be
24 able to read this decision tree. It provides
25 guidance through the four essential steps of

1 multifamily electrification. If you're
2 interested in seeing it later, the slide will be
3 provided. One being evaluate existing
4 conditions. Step two being analyze electrical
5 load. Step three being select efficiency
6 measures and appliances. And step four, evaluate
7 infrastructure upgrade costs.

8 I should mention that the report
9 generally follows the 80/20 rule where 80 percent
10 of building types or scenarios, you know,
11 vintages or construction types in the multifamily
12 sector are addressed. And the other 20 percent
13 or so, we reference other materials that may be
14 helpful in assessing those buildings if we
15 weren't able to provide detailed information.

16 Next slide please.

17 So regarding step four, evaluate upgrade
18 costs and consider emerging alternatives, this
19 table and its cost ranges were gleaned from
20 completed projects and knowledgeable contractors
21 for the report. This can be used on a project or
22 a program basis for individual projects or
23 program costs for multiple projects or buildings
24 across the program. Electrification programs, as
25 Andy noted earlier from AEA, to track of these

1 costs granularly and in a standardized fashion so
2 that the ranges can be narrowed and become more
3 usable and accurate over time. The higher ends
4 of these cost ranges often correlate to red flags
5 addressed on the next slide.

6 Next slide please.

7 Appendix C in the report flagged
8 electrical infrastructure, including existing
9 building conditions that directly impact
10 electrification, with the icon showing the
11 difficulty of each solution, explanation of each
12 condition and why it matters, and actions to
13 address. This section can be used to help
14 prioritize or group multifamily buildings in
15 order of need or likely incentive amounts needed
16 to complete, and can aid in timeline planning as
17 well.

18 Next slide please.

19 Emerging technology alternatives. The
20 technologies listed above are ways of controlling
21 load, not capacity, and other panelists have
22 addressed measures that do this as well. Smart
23 panels control load in residential applications
24 that incorporate battery backup and solar,
25 whereas splitters, or the simple twist that I

1 believe Scott referred to, limit the amount of
2 energy that downstream loads can draw at any one
3 time

4 One common splitter application is
5 plugging both an electric dryer and an EV charger
6 into the same high-capacity socket, but they
7 can't be operated simultaneously. It reduces the
8 need for far more expensive infrastructure
9 upgrades and is a simple and effective solution.

10 Dialogue, as always, with local code
11 enforcement is crucial, as mentioned before,
12 early and often in collaborating on common sense
13 solutions.

14 Next slide please.

15 Equity and workforce development.
16 Electrification, and I want to stress this, does
17 not mean lower energy bills. While well planned
18 electrification, paired with deep energy
19 efficiency, can very well reduce utility bill
20 costs, utility bill reduction can not be assumed.
21 There are case studies in the electrification
22 report detailing projects that reduce overall
23 energy utility bill costs. And I know that Andy
24 highlighted a lot in his slides as well.

25 Policymakers should address the

1 possibility of negative effects on low-income
2 renters, especially if owners are able to pass
3 through electrification upgrade costs to renters
4 in the form of higher rents, as lower-income
5 Californians bear a very high energy burden, as
6 you can see, over four times the state average,
7 while also shouldering a significant housing
8 burden.

9 Regarding workforce, we should
10 incentivize contractors to participate in
11 equitable workforce development. Andy touched on
12 this as well, but Marin Clean Energy and the
13 Association for Energy Affordability and the
14 Workforce Education and Training Program, or WET,
15 we could support and develop more programs like
16 this and fund them with things like the
17 Governor's \$1.1 billion jobs package which comes
18 from the May revision to the current budget.

19 Next slide please.

20 Energy Pro Lite is a paired down version
21 of the state's Energy Pro Full compliance
22 software specifically made for the existing
23 multifamily sector and implemented with the BAMBE
24 program. Recent CEC grant-funded updates,
25 development updates, include the ability to model

1 electrification, estimate project costs, and
2 produce utility bill savings estimates with
3 automatically updated utility rates, as well as
4 produce an owner-facing report that lists
5 projects, that list project measures, estimated
6 costs, and estimated utility savings.

7 I should also mention that I and my
8 colleagues at StopWaste are working on pilot
9 projects with Bay Area counties to identify
10 naturally occurring affordable housing in the Bay
11 Area through maps and data, and to qualitatively
12 engage owners and renters to address their need
13 and figure out how energy programs and equity
14 programs may be able to address those needs.

15 Next slide please. Yeah.

16 And that leads us to the Q&A. I want to
17 thank everybody for their time. And I've
18 provided links to the grant deliverables,
19 including the Multifamily Electrification Report
20 (indiscernible) which will be provided.

21 Thank you.

22 COMMISSIONER MCALLISTER: Danuta, did you
23 want to manage some Q&A? Do you have any
24 questions of your own?

25 MS. DROZDOWICZ: I don't have any

1 questions.

2 COMMISSIONER MCALLISTER: Okay.

3 MS. DROZDOWICZ: I would appreciate it if
4 the panelists would respond to the questions that
5 are going to be presented. Thank you.

6 COMMISSIONER MCALLISTER: Okay. Well, I
7 just want to say thank you, first of all, to you,
8 Danuta, for ably moderating.

9 And to our four panelists, Andy, Ryan,
10 Scott, and Ben, really lots to chew on there.
11 And you're all just leading, I think really, you
12 know, nitty gritty is the word, I think, that Ben
13 used. And I think, you know, in a state as large
14 and diverse as ours, your experience, really, on
15 the ground is invaluable from all your different
16 perches, so thank you very much.

17 I'm just going to ask a couple questions,
18 and then ask my colleagues on the dais for their
19 comments and questions.

20 I wanted to -- I really appreciate the
21 calling out of kind of the unknowns around COVID.
22 You know, I think we're, in the Building Code
23 Update and in all of our various efforts on
24 existing buildings and efficiency, this fuel
25 substitution and its impacts on utility rates is,

1 you know, an ongoing question. And I think, you
2 know, it's complex and we want to really get it
3 right and sort of guide this ship forward in a
4 way that's going to get the best for consumers
5 and, also, reach our decarbonization goals, so I
6 really appreciate that.

7 I'd invite any of you to comment on -- I
8 think, Ben, you suggested in the report -- and I
9 really appreciate that report. The Local
10 Government Challenge, I think, is producing some
11 really great results, and you are just a shining
12 example of that. I would really like to get more
13 resources into that program to work with many,
14 many more local governments.

15 And I think that's -- the local
16 governments are really a key linchpin here in
17 moving the building stock for the existing
18 buildings. And I guess I'd invite anyone to
19 comment on how -- what local governments kind of
20 need or can do to continue to lead this and get
21 to their existing buildings? Acknowledging,
22 Scott, you know, you're a publicly-owned utility
23 and have -- you know, you are, basically, a local
24 government, independent of the City of
25 Sacramento, but you know, all of you have your

1 own perspectives here.

2 So how can -- what would be the most
3 high-value thing the state could do to support
4 local governments to reap, you know, do what they
5 can to leverage all of their local jurisdictions
6 to get this done?

7 MR. COOPER: I can jump in here. And one
8 thing that I highlighted in my presentation that
9 I think is relevant is the need for funding of
10 education across the Board, both for building
11 departments, the inspection staff, the permitting
12 staff. Even though, as Scott noted, a lot of
13 those don't have high compliance rates, we want
14 to get those up. And they're going to need the
15 education to review these electrification
16 projects.

17 And then on the contractor side, there
18 are a lot of contractors out there that still are
19 not well acquainted with electrification and may
20 be expected to do this work, so they need a lot
21 of education as well.

22 And then on the building owner side, you
23 know, I think we can highlight a lot of the
24 successful projects that folks like AEA and his
25 colleagues at AEA have successfully implemented

1 and get the owners of those projects that are
2 bearing the fruits of the labor to share with the
3 owner community, and also the renter or the
4 residents of those buildings, to share in the
5 benefits of electrification, so it's not just
6 coming from the city or the people implementing
7 or advocating for these programs, it's coming
8 from the people who actually experience the
9 install of these projects.

10 MR. BLUNK: And I'd just in there and
11 just say that high-level leadership, right, like
12 we have for EVs, we have a target for no new --
13 the sale of no new gas-powered vehicles, we
14 should have that for buildings, but not only new
15 construction buildings but also existing. We
16 need the visibility in the contractors and the
17 consumers. And if we had, maybe, the Governor
18 setting a date or multiple dates based on the
19 type of building, I think that could really help
20 everyone understand that this is not some fringe
21 thing but that we're really doing it and going
22 there, and set a mandate to get there, a target
23 date mandate.

24 MR. BROOKS: Yeah. And I'll just add
25 that as implementers, you know, we see a lot of

1 the kind of innovation and nimbleness come from
2 the local governments. That's where a lot of the
3 stuff starts and moves quickly and then gets
4 adopted elsewhere, so continuing to support in
5 that way.

6 I mean, I think one of the things that
7 clearly came up in all of our presentations is
8 this infrastructure challenge. And I think
9 there's a real opportunity there to address
10 building decarbonization at scale by focusing in
11 on that issue and addressing the panel upgrade,
12 you know, issue head on by, you know, maybe a
13 creation of local government programs that focus
14 just on electrification readiness. Like we know
15 we have to electrify all of these buildings, so
16 we need to get them all ready for
17 electrification, whether they're electrifying at
18 this moment in time or not.

19 So we often joke about the creation of an
20 electrification readiness army, just creating
21 like a workforce development program that is
22 focused on electricians scaling up panel upgrades
23 in buildings that are, you know, going to be the
24 tough ones. Like it's not too hard to identify
25 those buildings but we would need funding at the

1 local level to support that type of program. It
2 would be a combination of workforce development
3 and implementation.

4 COMMISSIONER MCALLISTER: Is there an
5 opportunity to pair that with distribution grid
6 investments? Maybe this is more for Scott. But
7 if we're going to really be investing in, you
8 know, doubling, you know, and sort of meeting
9 that capacity challenge, let's say doubling
10 electric loads as we electrify transportation and
11 building, is there -- you know, can that -- could
12 that possibly be part of utility distribution
13 planning and make it kind of systematic and sort
14 of a handshake with that process?

15 MR. BLUNK: Yeah. I think that's
16 possible. And, certainly, you know, if someone
17 upgrades a panel, that goes into the calculation
18 for, you know, all the upstream sizing. So the
19 more panels that get changed out the more
20 upstream infrastructure that's going to be
21 updated.

22 But yeah, I mean, I want to second kind
23 of what Andy said, like having -- you know, doing
24 a block-by-block or house-by-house and just the
25 electricians go from one house to the next house

1 and the next house and just upgrade panels, would
2 really help. And that would also just kind of
3 naturally trigger the utilities to also -- they
4 have to up-size everything upstream from there as
5 appropriate.

6 COMMISSIONER MCALLISTER: Great.

7 Ryan, did you want to jump in? I'm sorry
8 to cut you off.

9 MR. GARDNER: Yeah. No. I agree with
10 what everyone's been saying. There was one
11 question in the Q&A about -- I made a comment
12 about natural gas infrastructure pruning. And I
13 think all of this plays into that. And I think
14 there are opportunities to stop investing in
15 infrastructure that we know we don't necessarily
16 need or it doesn't meet our long-term goals, and
17 prioritizing some of that money that would have
18 gone there into, whether it's neighborhood
19 electrification or, you know, just a spur of a
20 natural gas line and there's constantly
21 maintenance being done. And there's just no --
22 there's legislative hurdles to do that now that I
23 think we need to get cleared out to open up that
24 big source of potential funding or reallocate
25 that funding.

1 COMMISSIONER MCALLISTER: Great. Thanks
2 for those answers.

3 I wanted to just, maybe, get a reaction
4 from this morning's panel, really. I don't know
5 if you were all on for this morning's panel but
6 there was, I think, really a consensus that
7 getting into communities, particularly
8 communities that are under-resourced,
9 historically disadvantaged and the like, are in
10 need of local organization from community-based
11 organizations to help kind of move the needle in
12 each place, and that that is a very highly
13 specialized role that, you know, the state isn't
14 that great at doing and really needs
15 intermediaries.

16 I mean, yourselves are all in that kind
17 of intermediary role, as well, as advocates who
18 are kind of organizing on the project level. I
19 guess I'd be interested in your take on the
20 community-based partners that are needed to kind
21 of carry the message and mobilize demand and
22 whether -- and how, you know, how those could be
23 best supported by the state?

24 MR. GARDNER: I'll just say, from our
25 project in Berkeley, like it would not have been

1 possible to get the level of feedback we got
2 without Ecology Center who is just so plugged
3 into that community and knows what people have
4 gone through, knows what people are thinking,
5 knows who to talk to, and has the trust to get
6 people to come to the table and kind of talk
7 openly and provide that feedback.

8 So I would just second that I think it's
9 got to be critical. And all the projects that
10 we're proposing on and moving forward on, we're
11 looking more and more to bring in more just local
12 NGOs and community-based organizations to provide
13 that connectivity. Yeah, I think it just makes a
14 huge difference, and it's the difference between
15 just saying the word equity in your report or in
16 your plan and saying you're going to think about
17 it and then like actually institutionalizing it
18 and having a mechanism to deal with it in the
19 policies you're developing.

20 MR. BROOKS: Yeah. I mean, this just has
21 to be an all-hands-on-deck effort and can't just
22 be top down. It's got to be top down and bottom
23 up at the same time. And that's really the way I
24 kind of look at it is, you know, the local
25 governments have more connection to the

1 communities than the state. And the local CBOs
2 have more connection to the communities than the
3 local governments. So all of these people need to
4 be engaged in order to get the consumers, you
5 know, onboard and moving in the right direction.

6 So, definitely, the community-based
7 organizations are going to play a key role and
8 need more support moving forward. And
9 particularly, what they mentioned in the morning
10 session with regard to more rural communities
11 that are further from resources, that's
12 definitely something that we've seen as well, in
13 terms of finding workforce to be able to do this
14 work has been a challenge. And that's where the
15 community-based organizations can really play a
16 key role.

17 COMMISSIONER MCALLISTER: Great. Thanks.

18 MR. COOPER: Commissioner?

19 COMMISSIONER MCALLISTER: Does anybody
20 else want to jump in?

21 MR. COOPER: Commissioner?

22 COMMISSIONER MCALLISTER: Oh, go ahead.

23 MR. COOPER: I just want to add, you
24 know, the NOAH Identification work that I brought
25 up at the end of my presentation has a plan to

1 work with city departments to connect with CBOs.
2 Because, honestly, we don't really know who the
3 CBOs are that we need to connect with right now.
4 This is kind of a new space for us. And then
5 it's a matter of building trust with them and,
6 also, not being extractive. I think a lot of
7 these organizations have been hit up for data or
8 one-off engagements in the past and that doesn't
9 build a long-term trusting relationship. These
10 folks need to be integrated in the program design
11 and development. And they need to be compensated
12 for their efforts for us to get real results.

13 COMMISSIONER MCALLISTER: Um-hmm. Great.
14 Thanks for that. That's very much in line, I
15 think, with what we heard this morning. And I
16 guess I'm thinking a model is emerging here that
17 we really need to define and sell, you know, to
18 be able to work with the legislature and others
19 to sort of see the importance of this
20 facilitative role on the community organization
21 side, paired with the technical assistance that
22 you all provide, you know, the Andys and Bens and
23 Ryans and Scotts and Nicks kind of provide, that
24 glue at the project level and the technical front
25 but, really, the pairing is what's going to be

1 most powerful, it seems like. So maybe there's a
2 further discussion to kind of define that.

3 I wanted to just see if any of my
4 colleagues on the dais want to jump in,
5 Commissioner Monahan or Mr. Chernow, if you have
6 any questions for our panelists?

7 And we are getting some public -- some
8 comment on the Q&A, as well, and I think we're
9 probably going to have some public comment as
10 well.

11 So anyway, wanted to just see if
12 Commissioner Monahan or Mr. Chernow had anything
13 to add?

14 COMMISSIONER MONAHAN: Well, I am really
15 struck by how the economics only work when you're
16 marrying it with solar. And the big concern
17 there, as we heard, when there was what's called
18 an En Banc between energy agencies on the issue
19 of rates about how the CPUC is looking at net-
20 energy metering. And I think, was it Andrew or
21 Ryan, I can't remember, somebody referred to the
22 fact that there's going to be changes afoot
23 because of this concern that the cost of rooftop
24 solar is being born by the lowest income families
25 and that's causing an increase in rates across

1 the state.

2 I mean, so there are these big issues
3 that the state is struggling with in terms of,
4 you know, changes that will have to happen in
5 order to make sure that our rate system is fair
6 to low-income families. And I don't think we can
7 count on rooftop solar always being the driver
8 for energy efficiency investments.

9 And I'm wondering if any of the panelists
10 can respond to that bigger issue around that
11 energy metering, maybe it's Scott, maybe it's
12 others, that's looming in terms of change,
13 potential change in rate structure and what
14 implications that would have then for being able
15 to finance these investments?

16 MR. GARDNER: I'll say, and I'm sure
17 Scott and some others have some feedback, as
18 well, but I don't think it's an all or nothing.
19 Like I think that there are ways. Like in our
20 analysis we looked at just adding pretty moderate
21 solar which maybe wouldn't even need NEM, or very
22 little amounts of it, to pencil out.

23 So I think that there's, likely, a middle
24 ground where NEM can be more fair to everyone in
25 California, you know, low-income and those in

1 multifamily without solar, without completing
2 ruining the economics of electrification. And I
3 think batteries are going to play a big part in
4 there, as well. So kind of how the economics all
5 play out with that is going to have a big impact.

6 But yeah, even with just moderate amounts
7 of solar, we did get to some pretty reasonable
8 paybacks in Berkeley which, again, is not the
9 best place. And once you start adding in -- I
10 think Andrew mentioned, once you start looking at
11 replacing air conditioners or adding air
12 conditioners and during the heat-pump HVAC, the
13 economics can actually look pretty great. And
14 we're seeing more and more hot days and more and
15 more AC being added. So I think there's some
16 really great short-term opportunities there as
17 well.

18 MR. BROOKS: And I should just clarify, I
19 did definitely emphasize the need to pair it with
20 solar, and that is definitely the case, but there
21 are some projects. It really is project-by-
22 project dependent. We have some projects that
23 were neutral, you know, utility-bill neutral,
24 even without the solar. It really depends on how
25 atrociously inefficient the existing systems are

1 that you're replacing with heat pumps, and how
2 much electrification work you're doing, so it's
3 not always 100 percent required. But if we
4 really want to play it safe, it generally is.

5 MR. BLUNK: Yeah. And I'll just jump on
6 there. It also depends on what utility the
7 building is located in. You know, I have to --

8 COMMISSIONER MCALLISTER: That's a good
9 point.

10 MR. BLUNK: -- I have to throw that in
11 there. Some utilities have lower rates, like
12 SMUD. But, also, the rates discussion is an
13 interesting one and I hear it all the time. And
14 I know, at least for SMUD, it's a zero-sum game.
15 We're not paying shareholders. So if we lower
16 rates on some households, we have to raise rates
17 on other households or buildings to make that
18 pencil out; right? Any cost savings that SMUD
19 gets goes to our customers. And rate or any cost
20 increases are going to come out of rates and
21 raise rates.

22 So SMUD's tried really hard to make it
23 equitable. And I know we've been going through a
24 VNEM process that's going to change some of the
25 dynamics of solar, and I'll leave it at that.

1 COMMISSIONER MCALLISTER: Great. Let's
2 see, I want to create -- well, we do need to move
3 on from questions from attendees, and we have a
4 few of those.

5 I wanted to give Derek a chance to ask
6 any questions you might have, as well, just so we
7 can -- if Heather and team can bear with us?

8 MR. CHERNOW: Yeah. Thank you. Just
9 briefly, I appreciate the comments from the
10 panelists and pointing out the success of some of
11 the programs, and also some of the impediments
12 and true costs associated with doing a lot of
13 these measures. So I think it was really eye
14 opening for everybody. And I think this is part
15 of our program that we offer throughout CAEATFA
16 is the financing does include costs beyond the
17 energy efficiency measures. And I think that's a
18 key component and one of the critical factors of
19 our financing program. So I just want to add
20 that in there because I know that was the topic
21 of conversation for some of the panelists, and I
22 appreciate that, so thank you.

23 COMMISSIONER MCALLISTER: Thanks very
24 much.

25 Let's see. I guess I wanted to just ask,

1 you know, we talked a lot about rates with the
2 assumption that a lot of these costs have to be
3 borne by rates. And I guess, you know, that's
4 not necessarily the case.

5 And I know, you know, Severin Borenstein
6 from UC Berkeley and a member of the ISO Board,
7 you know, brings this up, as well. If we have
8 social goals that we're pursuing around -- that
9 sort of dovetail with our decarbonization goals
10 but really kind of aren't inherently related to
11 energy but they are kind of necessary to reach
12 our carbon goals, and we talked about a lot of
13 those this morning in the low-income context and
14 here today, and this afternoon, as well, so far,
15 you know, I wonder there are any ideas about, you
16 know, how -- you know, your thoughts about that;
17 right?

18 Why do we always assume that this sort of
19 payback has to be somehow borne by ratepayers
20 when, really, we're talking about a broader set
21 of societal goals that kind of have an energy
22 component but are not completely related to
23 energy and carbon?

24 Like has that conversation happened, you
25 know, in the Sacramento context, for example,

1 Scott? Sorry to sort of finger-point you.

2 MR. BLUNK: Yeah. I mean, the problem is
3 the non-energy benefits are so challenging to
4 quantify, and especially at a building level is
5 impossible; right? So there are these other
6 benefits and I think everyone knows that and,
7 otherwise, they wouldn't be pushing it through.
8 Like in local jurisdictions, because even though
9 it does save money, especially for SMUD customers
10 and builders inside SMUD territory, they're not
11 doing it. Like why did it -- why is it going to
12 take a mandate for them to do it if it's cheaper
13 to do it? And it's just -- that's not what they
14 have been doing and/or they think their customers
15 want, or various other reasons.

16 So, yeah, I -- yeah, it's just
17 challenging.

18 MR. BROOKS: I heard some of the
19 conversation this morning about that, as well.
20 And we are involved in one project at the Bay
21 Area Air Quality Management District that is
22 focused on trying to quantify some of those non-
23 energy benefits, the health benefits associated
24 with electrification by targeting homes where
25 they have children with a high preponderance of

1 asthma or severe asthma issues, and then doing
2 electrification-related measures in those
3 buildings, and then tracking hospital visits and
4 nurse visits and other health parameters.

5 I think it's going to be really hard but
6 I think that's just one of a variety of different
7 projects that I think are focused on trying to do
8 that. So I think it's going to take a long time
9 to get some of those benefits quantified. But I
10 think as soon as we start to have some data that
11 we can point to, it will allow us to add those
12 social goals more easily.

13 COMMISSIONER MCALLISTER: Great. Thanks
14 a lot. So we're going to move on to questions
15 from the audience, the attendees. We're just a
16 couple minutes over, so apologies for that.

17 But why don't, Kristy, you take it away?

18 MS. CHEW: Hi. Yes, there's a question
19 from Mohid (phonetic).

20 "As you noted, very few projects aim for full
21 electrification due to costs. With this in
22 mind, how do we solve for or even quantify
23 the shift in cost for gas system users since
24 the gas distribution system will still have
25 to be operated, yet the costs would be spread

1 over fewer therms?"

2 That might be a question that we take up
3 in the next panel, but in case anybody wants to
4 respond to that in this panel?

5 MR. BROOKS: I mean, I think, again, it
6 comes back to the infrastructure issues. If we
7 can address those electrical -- building-level
8 electrical infrastructure issues it will make it
9 much easier for us to fully disconnect the gas
10 lines there. And right now, for the most part,
11 the capacity issue really comes into play, like
12 Scott mentioned earlier, with the cooking
13 appliances, that's generally. We can almost
14 always manage to make the water heating done and,
15 very often, can actually do water heating and
16 HVAC. But it's the cooking appliance that really
17 kicks us over the capacity issue.

18 And you know, so if that's the only
19 appliance that we leave in the building, if,
20 worst case scenario, we don't disconnect the gas
21 and we only have the cooking, fortunately, it is
22 a relatively small, you know, the smallest of all
23 gas loads in a home and the least cost impact.
24 So, of course, we don't want that to be the
25 scenario. But in the worst case scenario where

1 gas costs go up but we're able to electrify
2 everything except for cooking, maybe it's not the
3 end of the world.

4 MR. BLUNK: And it's the smallest load
5 but it's also the most harmful to the occupants.
6 So it's --

7 MR. BROOKS: True.

8 MR. BLUNK: -- not like we want to leave
9 that one either.

10 But, yeah, I completely agree with Andy.
11 If we had the infrastructure in the building
12 ready at the time of the retrofit, I think most
13 of these would be fairly easily done, you know,
14 100 percent converted over. That's usually the
15 stumbling block.

16 COMMISSIONER MCALLISTER: I'd actually
17 also point out that -- we may get some of this in
18 the next panel, but also the PUC, obviously, does
19 rates and manages the transition of both the
20 electric system and the gas system in terms of
21 what the investor-owned utilities do, which is a
22 big chunk of the state. So I'm not -- we may not
23 be the best forum for that long-term
24 infrastructure discussion but I appreciate the
25 question for sure.

1 Maybe we can do one more question with
2 respect to the permitting and streamlining
3 permitting processes that Jeanne asks.

4 "Are there any successful examples of how two
5 educate and streamline -- education building
6 officials and streamline permit processes,
7 for example, with PV?"

8 And maybe some of you, any of you, who
9 have some insight on how to improve the
10 permitting process?

11 MR. BLUNK: I don't -- being a contractor
12 myself and having done that, there's -- I don't
13 know that there's a lot we can do to improve the
14 permitting process. I think, however, if we
15 improve the enforcement, people would wrap the
16 permitting into the job. So it would just be,
17 oh, I have to do it, instead of now. Since
18 there's very little enforcement it's -- the
19 contractor, I've seen it where they'll come and
20 say, well, oh, if you want a permit, I'm going to
21 charge you extra.

22 I mean, why isn't that just included in
23 the permit? It's not included because, frankly,
24 you don't have to pull it because there's very
25 little compliance, at least in single-family.

1 COMMISSIONER MCALLISTER: Great. Thanks.

2 I think we have to wrap up this segment.

3 We're a few minutes over, so let's just -- I'll
4 thank our panelists, unless Commissioner Monahan
5 or Derek, you have any other questions? None?
6 Okay. Great. All right.

7 Thanks a lot to all of you.

8 MR. BROOKS: Thank you.

9 COMMISSIONER MCALLISTER: This was super
10 enlightening. And you know, I definitely want to
11 make sure that folks build on this in their
12 comments to the record and the IEPR docket, the
13 building decarbonization docket, a lot of great
14 stuff to help us vet and help us work through as
15 we move forward through this track in the IEPR
16 and beyond. So really appreciate all your
17 expertise, all four of you. Thanks very much.

18 And thank you, Danuta, for moderating.

19 MR. BLUNK: Yeah. Thank you.

20 COMMISSIONER MCALLISTER: Great.

21 MR. GARDNER: Thank you.

22 COMMISSIONER MCALLISTER: Perfect. All
23 right.

24 So let's move on to our next speaker --

25 MS. RAITT: All right.

1 COMMISSIONER MCALLISTER: -- Meredith
2 Fowlie from UC Berkeley.

3 You want to kick us off, Heather?

4 MS. RAITT: Sure. Thanks.

5 So, yes, so next we have Meredith Fowlie
6 from -- she's an Associate Professor in the
7 Department of Agricultural and Resource Economics
8 at UC Berkeley. She's also a Faculty Director at
9 the Energy Institute at Haas, and a Research
10 Associate at the National Bureau of Economic
11 Research.

12 So thank you for being here, Meredith.
13 Go ahead.

14 MS. FOWLIE: Great. Thank you. And can
15 you hear me okay?

16 MS. RAITT: Perfect.

17 MS. FOWLIE: Perfect. Okay. Thank you.
18 Thanks for inviting me to be part of this panel.
19 It's a real honor to be part of this important
20 discussion. I wanted to be sure to mention that
21 the work I'll be presenting today is joint with
22 Severin Borenstein, who was just mentioned, and
23 Jim Sallee. We're all faculty at UC Berkeley and
24 affiliates at the Energy Institute at Haas.

25 And I also wanted to draw attention to

1 the fact that Next 10 has generously supported
2 this work, not only the report that we presented,
3 released in the spring, which I'm going to be
4 focusing on primarily today, that content, but
5 also continues to support our work on this longer
6 project which is looking at both the efficiency
7 and equity implications of how we pay for
8 electricity in California, which was just brought
9 up in recent comments. And I'm going to try and
10 dig in to some of the really good questions that
11 were raised.

12 And this is a work in progress, so really
13 appreciate being able to present to this crowd.
14 And we would love to get comments, both in the
15 Q&A, but also afterwards from this group.

16 Okay. Next slide please.

17 So I think with this crowd I don't need
18 to state this explicitly, but it seems like
19 there's growing consensus that the most promising
20 path to decarbonization is to green the grid and
21 electrify as much as we can from buildings,
22 transportation, to some industrial applications.
23 And when you think about the policies and
24 programs and tools that we'll need to accelerate
25 progress along this path, and that's been the

1 focus of the whole day, electricity rate
2 structure may not be the first thing to come to
3 mind. But in this paper, we're arguing that rate
4 reform is going to be a critical consideration as
5 we move forward.

6 So as several people have recently
7 mentioned and everyone is aware, retail prices in
8 California are high and increasingly out of line
9 with the rest of the country. And these high
10 costs may well be justified by conditions in the
11 state, so we're not going to be commenting on the
12 appropriateness of the costs. But we are -- have
13 been arguing in this work, and in subsequent
14 papers we'll make the same argument, that these
15 prices are high to the point of being really
16 inefficient.

17 And so bringing it back to the topic that
18 we're talking about here today, these high prices
19 are going to be a barrier on our path to
20 electrification. And it's going to be really
21 hard to convince customers into electric cars or
22 to adopt an electric water heater if prices,
23 electricity prices, are high and rising.

24 And so I thought the recent discussion --
25 the whole day has been interesting, but those

1 last questions that were raised, including by
2 Commissioners Monahan and McAllister, those teed
3 up the work I'm going to present today.

4 Next slide.

5 So I have a short period of time so I
6 figured I would be -- I'm just going to get all
7 my points on this early slide while I, hopefully,
8 have your attention. And then if we don't get to
9 them, at least they're in your mind.

10 So the work we've done so far makes some
11 basic points. And the point of departure is that
12 residential electricity prices in California are
13 too high. And a primary reason why they're so
14 high is because we choose to recover a lot of
15 fixed costs through our per kilowatt hour rates.
16 And what this amounts to is an electricity tax.
17 It's a tax on electricity to raise revenues, to
18 pay for all sorts of things from investments in
19 grid modernization, to investments in adaptation
20 to increasing wildfire risks, to public programs,
21 but it's a really regressive tax.

22 And so we could foster decarbonization by
23 lowering our per kilowatt hour prices and
24 recovering the fixed costs we can't recover in
25 more efficient prices through fixed charges. If

1 those fixed chargers were the same across
2 household, they would be equally or more
3 regressive.

4 Instead, what we've been suggesting is to
5 either, building on Commissioner McAllister's
6 point, ask why or whether we can't pay for some
7 of these costs by state revenues and put them on
8 the state budget, or if we are constrained to
9 covering all these costs with electricity rates
10 or bills, using an income-based fix charge that
11 scales with income to relieve some of the
12 pressures on the households who can least afford
13 to pay? So either of the approach -- those two
14 approaches would improve both efficiency and
15 foster equity. So that's what I'm going to be
16 working through in my short time with you today.

17 Next slide please.

18 So this slide makes a point that I think
19 everyone is aware of, and that is residential
20 retail electricity prices are high in California.
21 So we've just summarized data from the utilities
22 that report to FERC Form 1, so that's over 80
23 percent of retail sales in the country. And
24 we've called out the three investor-owned
25 utilities in green, yellow, and red. And you can

1 see that California prices have always been
2 higher than the national average but they're
3 increasingly out of line. And again, we're not
4 commenting on the appropriateness of the costs
5 we're recovering here. We just want to really
6 bring top of mind of just how much higher our
7 rates have become.

8 Next slide please.

9 So if economists called the shots, and we
10 don't, really, but if we did we would set retail
11 electricity prices at social marginal costs of
12 electricity consumption. And that's kind of
13 jargon.

14 So if you think about what the social
15 marginal cost is capturing, if my dishwasher uses
16 about a kilowatt-hour to run, when I turn on that
17 dishwasher, what is the social cost of that
18 dishwasher load? It's the value of the fuel that
19 we burn to generate the electricity that runs my
20 dishwasher. It includes the environmental
21 impacts of any emissions that are released in
22 generating that electricity. If I'm doing my
23 dishwasher load on peak, which I should not be,
24 but suppose I do, it includes the marginal
25 capacity investment costs required to make sure

1 that there was enough transmission, distribution,
2 generation infrastructure to provide the
3 electricity I need.

4 So the social marginal cost is capturing
5 all of these incremental costs, the full
6 incremental cost to society, per kilowatt hour.

7 And so what we did in this report, and we
8 continue to refine this going forward, is we
9 estimate this efficiency benchmark for the three
10 major investor-owned utilities over the last
11 decade.

12 Next slide please.

13 So I'm going to show you PG&E as our sort
14 of representative utility but, in the report, we
15 do it for all three. So this picture is just
16 showing us -- you our annual average social
17 marginal cost, so averaging across the 8,760
18 hours per year. So, of course, an efficient
19 price would vary across hours to signal temporal
20 variation, but we're not focusing on that in this
21 paper. We're just showing you annual average
22 efficient prices as a benchmark.

23 So as you can see from PG&E, these have
24 been coming down a little bit over time. And
25 partly that's because our grid is getting

1 greener, so the marginal emissions impact is
2 declining. But you can see, it was around ten
3 cents, and now we're estimating it at about eight
4 cents per kilowatt hour.

5 Next slide please.

6 So then what we're going to do -- what we
7 do in the report, and sweeping a lot of details
8 under the rug in the interest of time but happy
9 to answer questions, either after the
10 presentation or come find me later, is we say,
11 okay, this is our estimate of the social marginal
12 cost, our, you know, efficient price per kilowatt
13 hour. Let's compare that to the retail prices
14 that California households are actually paying,
15 and that's what this picture does. And it's
16 showing again for PG&E. The red is our social
17 marginal cost estimate. The yellow is the non-
18 CARE price. And the green is the CARE price.

19 So one thing that's jumps out for me,
20 looking at this graph, is the gap between our
21 estimate of the efficient electricity price and
22 what people are actually paying is widening and
23 large. So if you look at that non-CARE price,
24 it's three times our estimate of the efficient
25 social marginal cost price.

1 And the other thing that really struck me
2 that I didn't expect going into this is that the
3 CARE price, so this is the price paid by the
4 lowest income households in California who
5 receive a subsidy on their electricity rates, is
6 still double that social marginal cost. So these
7 rates are inefficiently high.

8 Next slide please.

9 This slide is just quickly showing you,
10 we did it for the other two utilities. And you
11 can see, PG&E is sort of the middle utility. The
12 gap for SCE is smaller. The gap for SDG&E is
13 higher for reasons we can talk about, but they're
14 all significant. All retail prices are
15 significantly higher than our estimate of the
16 social marginal costs.

17 Next slide please.

18 So this is a colorful graph with way too
19 many things going on. I'm not going to be able
20 to unpack all the boxes in this short
21 presentation but I do want to -- I did want to
22 show you this picture because it summarizes, I
23 think, some important insights and information.

24 So, basically, the purpose of this, we
25 call this the waterfall graph, but this graph is

1 to sort of explain why our retail prices are, you
2 know, in this case, PG&E, 2019, the average
3 retail price was over 25 cents. So we've already
4 talked about the social marginal cost. You can
5 see that benchmark around eight cents. And the
6 staircase below is just a breaking down that
7 social marginal cost into different pieces.

8 But it's the staircase above the social
9 marginal cost that we're trying to explain, why
10 are prices so much higher than our efficient
11 benchmark? And the short answer is there's a
12 number of reasons. So the blue, purple, and pink
13 boxes are basically showing you in the fixed non-
14 incremental costs associated with generation,
15 think, you know, power plant investments that
16 we've made, transmission and distribution, grid
17 modernization, wildfire grid hardening going
18 forward, those fixed costs that we recover on a
19 per kilowatt hour basis.

20 And then to the far right, that brown box
21 and green lines, are different public purpose
22 programs. There was mention about subsidies for
23 rooftop solar. All of these programs, when we
24 recover those costs in rates, drive up
25 electricity prices for California households.

1 Next slide please.

2 So why worry about high electricity
3 prices? For this crowd, it's probably obvious,
4 but I want to elucidate two things I worry about,
5 one is efficiency, so burdening retail
6 electricity prices with costs that are not going
7 forward, incremental costs of supplying and
8 consuming electricity, is going to discourage
9 efficient substitution from other energy sources
10 towards electricity.

11 So our household just bought an electric
12 water heater and it wasn't an easy decision given
13 high electricity prices and knowing that those
14 prices are projected to get even higher.

15 So these high prices are going to be a
16 barrier to building electrification.

17 And the other concern related but, also,
18 really a burden is that higher electricity prices
19 can impose a large economic burden on low-income
20 households in an increasingly and unequal
21 economy.

22 And I know it's late in the day -- next
23 slide, please -- but I'm going to throw one more
24 sort of multicolored graph to really elucidate
25 this point because I think it's an important one.

1 So what this is showing you is responses
2 to the consumer expenditure survey. So there's a
3 random sample of households that answer questions
4 about income and expenditures every year. And so
5 all we've done is summarize the approximately
6 2,500 California respondents to that survey in
7 2017 and 2018. And we're reporting in this graph
8 average responses by income quintile. And we're
9 sort of relating everything or normalizing
10 everything to the lowest category. So, for
11 example, a value of two implies that the average
12 income reported in the second quintile would be
13 twice that of the first category.

14 So the first thing you see is that blue
15 which is telling you what you already know which
16 is income is unequally distributed, very
17 unequally distributed across households in
18 California.

19 But the line I want you to look at and
20 what was surprising somewhat to us is that green
21 line, which is showing you electricity
22 expenditures by income quintile, it's pretty
23 flat; right? So you can see that electricity
24 expenditures don't rise very steeply with income.
25 And put differently, that means that lower-income

1 households are spending a much larger share of
2 their income on electricity.

3 Next slide please.

4 So what does that mean? It means that
5 we're taxing electricity consumption to pay for
6 infrastructure and needed climate change
7 adaptation investments and public purpose
8 programs. At this point, because wealthier
9 households consume only slightly more of their
10 electricity from their grid than poor households,
11 this means that this is a really regressive way
12 to raise revenues to pay for needed programs and
13 investments. And I will say that that
14 relationship between income and grid electricity
15 consumption, it's almost, you know, as more and
16 more wealthier households adopt solar, it's
17 getting flatter and flatter.

18 Next slide please. Okay.

19 So what do we do about this? And this
20 was sort of a question that was teed up by
21 Commissioner McAllister, you know, do we need to
22 keep paying for these programs on electricity
23 rates? So one solution would be to pay for some
24 of the state policy priorities, such as building
25 electrification, put it on the state budget.

1 I'll give you an example from climate
2 adaptation. If you cut down a tree in the spirit
3 of vegetation management that's far from the
4 grid, far from the power lines, that's on the
5 state budget. But if you're cutting down that
6 tree, if you're a utility managing vegetation
7 close to your electricity infrastructure, that
8 shows up in electricity rates. So I think we
9 need to, you know, think about what costs we
10 could move onto the state budget.

11 But alternatively, if we need to continue
12 to recover the revenues that we're recovering
13 today from electricity consumers, we could do it
14 differently.

15 And so what we propose in this, in our
16 work, and I really invite all sorts of, yeah,
17 comments and critiques, is a system that we set
18 the electricity price efficiently or closer to
19 our efficient benchmark. That's not going to
20 recover as much revenues, although it will send
21 efficient price signals to consumers. And we'd
22 make up the difference with an income-based fixed
23 charge.

24 So our report goes into all sorts of
25 nitty-gritty details, which I'm not going to bore

1 you with.

2 But if you can go to the next slide?

3 I'm going to show you sort of some for-
4 example alternative rate structures to generate
5 some conversation and discussion, I hope.

6 So there's no universal agreement about
7 what fairness looks like or how progressive we
8 should make this fixed charge schedule. So what
9 we do in this picture is sort of provide three-
10 four-examples.

11 So to put this in perspective, we're
12 looking at PG&E 2019, just to make this more
13 concrete. In 2019, the cost recovery gap, sort
14 of the revenues that we'd still need to recover
15 if we priced electricity at our social marginal
16 cost estimate exceed \$4 billion. And there are
17 almost 5 million residential PG&E accounts. So
18 it works out to about \$75 per month in terms of
19 the fixed charge we would need to charge to make
20 up that revenue recovery gap if everyone was
21 paying our social marginal cost lower price per
22 kilowatt hour.

23 So one thing you could do is you could
24 charge that uniformly across customers, but that
25 wouldn't really improve the equity properties of

1 the situation. So against that uniform charge,
2 we consider two alternative structures, one
3 that's as progressive as the sales tax, and the
4 other that's as progressive as income. So you
5 can see those green and yellow staircases.

6 So for example, if you look at the yellow
7 staircase that says, "Progressive as Sales Tax,"
8 we're suggesting that the lowest income class
9 would pay no fixed charge and only the volumetric
10 rate. In contrast, the highest income group
11 would pay a monthly fixed charge of \$150.

12 Next slide please.

13 Before people get really anxious about
14 that big increase in fixed charge, I want to just
15 remind you that, whereas our proposal raises
16 fixed charges, it significantly lowers the per
17 kilowatt hour rate. So many households would see
18 bill decreases, even as fixed charges increase.

19 So this is a super coarse calculation
20 using, you know, coarse averages that illustrates
21 how lower-income customers on balance would
22 benefit on average, seeing lower monthly bills.
23 There are some households who have low incomes
24 and yet don't qualify for CARE, so they might see
25 an increase in their annual bill -- in their

1 monthly bills. But the real increase in monthly
2 bills, as a consequence of moving to this income-
3 based fixed-charge structure would be in the
4 higher income categories.

5 Next slide please.

6 So in conclusion, California electricity
7 rates are being used to raise revenues for all
8 sorts of important investments. And I haven't
9 mentioned this yet but I've heard a couple of
10 references to the En Banc. The PUC is
11 forecasting that rates will continue to rise as
12 we need to recover investments in grid
13 modernization and wildfire risk mitigation, et
14 cetera. This amounts to a regressive tax with
15 negative implications for both efficiency and
16 equity. So changing the way electricity-related
17 costs are recovered can make it easier for us to
18 convince households to electrify. And this is
19 important as the state looks to rapidly increase
20 usage on this promising path to decarbonization.

21 And the income fixed based charges that
22 we're proposing here could also lighten the
23 burden of cost recovery on households that can
24 least afford to pay. But other alternatives,
25 such as moving some of these cost onto the state

1 budget, could achieve the same ends.

2 So I'll stop there and invite questions
3 and comments and reactions from the audience.

4 COMMISSIONER MCALLISTER: Great. Thank
5 you so much, Meredith. That was super. Sorry to
6 partially steal your thunder.

7 MS. FOWLIE: No, not at all. You helped
8 tee up our presentation. It was perfect. Thank
9 you.

10 COMMISSIONER MCALLISTER: Yeah. No. So
11 thanks of that. And really, really thought
12 provoking and interesting.

13 I guess I do have one question, just to
14 kick it off. We've got about, not quite, ten
15 minutes, probably, to ask questions. So I want
16 to invite, also, if Commissioner Monahan is still
17 on, and Derek also. I see she is. That's great.

18 But let's see, so if I'm understanding,
19 this would require sort of, you know, across the
20 board means testing in order to implement this.
21 And I guess I'm wondering if you have any models
22 or how you envision that actually happening?

23 MS. FOWLIE: Yeah.

24 COMMISSIONER MCALLISTER: You know, we do
25 means testing to a certain extent for low-income

1 and et cetera, but not sort of comprehensively in
2 this area, at least. I wonder if you have any
3 models in mind?

4 MS. FOWLIE: Yeah. So that is a great
5 question. And we start to scratch the surface in
6 the report. And I thought it might be too wonky
7 for this crowd, but I should have known better.
8 These are really important details to dive into.
9 So we have some suggestions, and we've been
10 talking to a couple of the utilities, about what
11 might be able to work and what couldn't.

12 So for example, one proposal, but I would
13 love a reality check from this crowd, is to have
14 the Franchise Tax Board transfer information on
15 income categories of households to utilities.
16 And then utilities wouldn't be getting the
17 sensitive information about income but would know
18 the category and would be able to assign you to
19 that category for the purpose of the fixed charge
20 assessment.

21 Another option that we've talked about
22 but it's imperfect, of course, would be a
23 presumptive fixed charge by location.

24 So those are two of the for-example ideas
25 that we've been thinking about as in terms of how

1 you could actually implement this kind of fixed
2 charge.

3 COMMISSIONER MCALLISTER: Interesting.
4 Interesting. So, yeah, thanks for that.

5 And then I did have a question about the
6 waterfall.

7 MS. FOWLIE: Yes.

8 COMMISSIONER MCALLISTER: Maybe we could
9 go back to the waterfall slide, just to make sure
10 I was --

11 MS. FOWLIE: Um-hmm.

12 COMMISSIONER MCALLISTER: --
13 understanding it properly. But whoever is
14 managing the slides, maybe they can show that one
15 again?

16 But the big blue box at the left that's,
17 let's see, was on --

18 MS. FOWLIE: Yeah.

19 COMMISSIONER MCALLISTER: -- was, I
20 think, generation or --

21 MS. FOWLIE: Yeah.

22 COMMISSIONER MCALLISTER: Yeah. So there
23 was part of that that was below, you know, sort
24 of within the cost of service, and the other was
25 well above it. And I guess I'm wondering --

1 MS. FOWLIE: Yeah.

2 COMMISSIONER MCALLISTER: -- I wasn't
3 quite clear what you were trying to say with that
4 box. Was that sort of arguing for some kind of a
5 binomial tariff or something, or what?

6 MS. FOWLIE: Okay. Let me be clear. So
7 if -- I don't know if it's possible to get to the
8 waterfall but (indiscernible).

9 COMMISSIONER MCALLISTER: Yeah. So let
10 me --

11 MS. FOWLIE: So there's -- so generation
12 had three pieces. Two are below, like the lower
13 case here --

14 COMMISSIONER MCALLISTER: Yeah.

15 MS. FOWLIE: -- because one was about --
16 so the two below. One was just the fuel cost,
17 like the cost of generating the energy.

18 And I think for whoever is like -- slide
19 six, I think, is the slide.

20 There is a little -- there's a small bar
21 --

22 COMMISSIONER MCALLISTER: Yeah, right
23 there.

24 MS. FOWLIE: Got it.

25 COMMISSIONER MCALLISTER: Excellent.

1 MS. FOWLIE: Next one. It's kind of
2 like --

3 COMMISSIONER MCALLISTER: There it is.

4 MS. FOWLIE: -- a greenish color. And so
5 what that is, is we are using a methodology
6 that's very similar to the E3 Avoided Cost
7 Calculator where we look at utility rate filings.
8 And in those rate filings, you know far better
9 than I, utilities point to investments that could
10 be avoided or deferred if peak was reduced. So
11 those -- that bar --

12 COMMISSIONER MCALLISTER: Um-hmm.

13 MS. FOWLIE: -- is our marginal
14 investment -- generation investment cost, if that
15 makes sense? So that's like --

16 COMMISSIONER MCALLISTER: Yeah. Right.

17 MS. FOWLIE: -- the demand sensitive, the
18 value. You know, when you -- when I'm running my
19 dishwasher --

20 COMMISSIONER MCALLISTER: Yeah. Got you.

21 MS. FOWLIE: -- on peak there, you know,
22 if I hadn't done that, there is some investment
23 that could have been (indiscernible). So that's
24 what that think green bar is.

25 And then the blue bar --

1 COMMISSIONER MCALLISTER: Yeah. So the
2 big blue one?

3 MS. FOWLIE: Yeah. Does that make sense?

4 COMMISSIONER MCALLISTER: Yeah. The big
5 blue one, though, what's that?

6 MS. FOWLIE: The big blue one is like --

7 COMMISSIONER MCALLISTER: Is it cost
8 that --

9 MS. FOWLIE: -- all the generation,
10 what's classified as generation by utilities,
11 infrastructure, investments in power plants,
12 contracts, et cetera, that are non marginal, so
13 like all those fixed --

14 COMMISSIONER MCALLISTER: Oh, okay.

15 MS. FOWLIE: -- (indiscernible).

16 COMMISSIONER MCALLISTER: But you're not
17 arguing that those -- you're not arguing that
18 those don't need to be recovered by virtue of --

19 MS. FOWLIE: No, no, no.

20 COMMISSIONER MCALLISTER: --

21 (indiscernible)?

22 MS. FOWLIE: We're just showing you
23 like --

24 COMMISSIONER MCALLISTER: Okay. I was
25 just --

1 MS. FOWLIE: -- here are all --

2 COMMISSIONER MCALLISTER: --

3 (indiscernible).

4 MS. FOWLIE: -- the pieces.

5 COMMISSIONER MCALLISTER: I got you.

6 MS. FOWLIE: Yes. Sorry. This is just

7 like --

8 COMMISSIONER MCALLISTER: Okay. Got it.

9 MS. FOWLIE: -- a decomposition, like why
10 am I --

11 COMMISSIONER MCALLISTER: Yeah. Okay

12 MS. FOWLIE: -- you know, 25 cents, eight
13 cents, that's a piece of the puzzle.

14 COMMISSIONER MCALLISTER: Okay. So
15 generation, transmission, distribution, and then
16 pollution, externalities. And then the ones over
17 on the right are really the ones that you're
18 focusing on --

19 MS. FOWLIE: Well --

20 COMMISSIONER MCALLISTER: -- or perhaps
21 finding other sources for?

22 MS. FOWLIE: -- the other, well, the
23 other one, and this is again a question for you,
24 is like the purple box is about to get bigger,
25 same with distribution, to the extent --

1 COMMISSIONER MCALLISTER: Yeah.

2 MS. FOWLIE: -- that wildfire mitigation
3 and grid hardening is -- are in those. We found
4 it really hard to disentangle. And I think that
5 they're --

6 COMMISSIONER MCALLISTER: Okay.

7 MS. FOWLIE: -- this is going to change,
8 but to pull out of those boxes what's wildfire
9 mitigation and what is, you know, power system
10 infrastructure investment and maintenance. And I
11 think you could argue that some of that is
12 wildfire --

13 COMMISSIONER MCALLISTER: Yeah.

14 MS. FOWLIE: -- because it's expected to
15 get high, to get bigger. That's also --

16 COMMISSIONER MCALLISTER: Okay. Great.
17 So I --

18 MS. FOWLIE: -- (indiscernible).

19 COMMISSIONER MCALLISTER: -- so I got my
20 sort of context questions answered. Sorry for
21 making you go into the weeds a little bit --

22 MS. FOWLIE: No, it was great.

23 COMMISSIONER MCALLISTER: -- but I kind
24 of thought --

25 MS. FOWLIE: That's great.

1 COMMISSIONER MCALLISTER: -- it was
2 important. So --

3 MS. FOWLIE: I appreciate the
4 clarification.

5 COMMISSIONER MCALLISTER: -- so, great.
6 Commissioner Monahan or Mr. Chernow, do
7 you have any questions?

8 COMMISSIONER MONAHAN: Well, I have
9 probably a related question. But the social
10 marginal cost, I mean, that's like really setting
11 everything. And, yet, I was a little confused
12 about how you calculate that accurately. It
13 seemed like there's going to be a lot of --

14 MS. FOWLIE: Absolutely. Yeah.

15 COMMISSIONER MONAHAN: --

16 MS. FOWLIE: There's (indiscernible).

17 COMMISSIONER MONAHAN: -- hand wavy

18 MS. FOWLIE: Yeah. So I mean, I think in
19 the -- no, it's right. And I think we were just
20 trying to get a benchmark. And then in the
21 appendix we show like how it moves around with
22 different assumptions. I mean, some of it is not
23 very hand-wavy in terms of like we know the
24 wholesale electricity price in a given hour, and
25 so we can get a sense of what the marginal fuel

1 cost was and we can get a sense of what the
2 marginal emissions rates are. So some of those
3 pieces are not that hand-wavy when we've got the
4 hourly data and we're working with it. So I
5 think some of those, I think, I'm fairly
6 confident and I'm willing to stand behind.

7 Where there's way more -- where there's
8 more uncertainties, exactly what I was just
9 talking about with Commissioner McAllister, what
10 share of the transmission, distribution,
11 generation costs are deferrable if we reduce
12 peak? I mean, it's the front and center issue;
13 right? If we reduce peak, how much of that could
14 be deferred and how much of it is like that's non
15 incremental and we're going to have to -- so in
16 the appendix, we play around with that under
17 different assumptions because very smart people
18 disagree as to what those numbers should look
19 like.

20 And then the other one is the social --
21 like the social cost of carbon that we -- right?
22 So we can -- if we move that around. The grid is
23 getting so much greener that the, you know,
24 different assumptions about the social cost of
25 carbon don't move the social cost of electricity

1 around as much as you might expect because our
2 marginal emissions rate is getting lower.

3 But, yeah, point well taken. And in this
4 short presentation, I gave you a colorful graph
5 that, you know, that swept aside, these important
6 questions about how sensitive these are to
7 different assumptions. But I you look at the key
8 drivers, some of those you can pin down with some
9 degree of certainty.

10 COMMISSIONER MONAHAN: And this is
11 outside of the scope of what you presented. I'm
12 just curious as to if you've considered ways to
13 evaluate sort of beneficial electrification
14 versus other forms of electrification, and
15 whether there's any lead thinking out there in
16 terms of how rates could be reflective of
17 beneficial electrification, like heat pumps and
18 electric vehicles and, you know, just where we
19 want to electrify versus just buying another, I
20 don't know, big screen TV or something?

21 MS. FOWLIE: Yeah. I'm not --

22 COMMISSIONER MONAHAN: Are you aware of
23 any thinking around that?

24 MS. FOWLIE: I'm not sure if I understand
25 your question. I'm sorry. So I guess --

1 COMMISSIONER MONAHAN: Um-hmm.

2 MS. FOWLIE: -- one thing I will say is,
3 and this is, you know, a thrust of the paper, is
4 you want to send -- and I'm telling you what you
5 already know -- you want to send these consumers
6 a really good estimate or signal, like what it
7 costs to consume electricity. And right now
8 we're sending the signal that it's way too high.
9 You ask a really good question --

10 COMMISSIONER MONAHAN: Um-hmm.

11 MS. FOWLIE: -- about social marginal
12 cost. Maybe it's a little bit higher, maybe it's
13 a little lower, but it's not 25 cents. So
14 electricity looks more expensive to consumers
15 than it actually is. And so that means consumers
16 will be underinvesting in electrification because
17 electricity looks more costly. And Severin
18 Borenstein --

19 COMMISSIONER MONAHAN: Yeah.

20 MS. FOWLIE: -- has done related work.
21 Because then you might say, well, but they're
22 comparing it to gas and natural gas and what
23 happens if those fuels are more expensive than
24 they actually are? And Severin and Jim have done
25 some really interesting work to show that this

1 mispricing, this retail price above true price,
2 is much more amplified in the electricity context
3 versus other fuels that consumers would be
4 substituting between.

5 So I don't know if that answers your
6 question. It sort of glosses over. But I do
7 think that sending these really high price
8 signals is discouraging good electrification
9 insofar as, you know, consumers see a higher cost
10 of electricity than is actually being accrued.

11 COMMISSIONER MONAHAN: Yeah. I think --

12 COMMISSIONER MCALLISTER: Great.

13 COMMISSIONER MONAHAN: -- my question is
14 a little distinct but I don't -- it's not part of
15 your research, so I don't think that --

16 MS. FOWLIE: Okay.

17 COMMISSIONER MONAHAN: -- it's relevant.
18 But that is, you know, in terms of we want to
19 send these signals that you want to increase
20 electrification for certain end uses, but not
21 necessarily for all end uses.

22 MS. FOWLIE: I see. I see.

23 COMMISSIONER MONAHAN: In fact, we want
24 to discourage it for -- I mean, not -- discourage
25 is the wrong word, but we want to just make sure

1 that rates send a signal that, on the one hand,
2 yes, electrify your car. On the other hand,
3 maybe, you know, don't willy-nilly buy a bunch of
4 electronics that are really going to be costly.
5 Like we want to send different signals --

6 MS. FOWLIE: Yeah.

7 COMMISSIONER MONAHAN: -- depending on
8 the end use.

9 MS. FOWLIE: Yeah. Yeah. I mean, I
10 think the only -- one thing I will say which,
11 again, is tangential but relevant is my
12 colleague, Lucas Davis, you may have seen his
13 work on what determines building electrification
14 choices, and the most important factor that
15 explains electrification patterns across the
16 country is electricity rates; right? You drive
17 the electricity rates up, you're less likely to
18 electrify.

19 COMMISSIONER MONAHAN: Yeah.

20 MS. FOWLIE: So, yeah, I guess I can't
21 speak to the bad electrification. But I think
22 some of the good electrification we have in mind,
23 empirical evidence is coming in and it's
24 suggesting a result that's not surprising, which
25 is electricity rates too high, electrification

1 rates lower.

2 COMMISSIONER MONAHAN: Yeah. Thank you.

3 COMMISSIONER MCALLISTER: Great.

4 Mr. Chernow, did you have any questions
5 you wanted to ask? Otherwise, we will move on to
6 the next panel.

7 MR. CHERNOW: No. I think I'll stay on
8 Heather's good side and move it along.

9 COMMISSIONER MCALLISTER: Oh, yeah.
10 Sorry. Yeah.

11 MR. CHERNOW: Thank you.

12 COMMISSIONER MCALLISTER: You're a better
13 man than I. So, Professor Fowlie, thank you so,
14 so much.

15 MS. FOWLIE: All right.

16 COMMISSIONER MCALLISTER: This was really
17 nice. I'm looking forward to reading the paper
18 in more depth. And this conversation is not
19 going away, obviously, because we really do have
20 to figure out how we're going to balance cost,
21 not only within the electric sector and across
22 electric customers, but also, you know, between
23 electric and natural gas infrastructures, as
24 well, so very relevant going forward. So --

25 MS. FOWLIE: Well, thanks for having me.

1 COMMISSIONER MCALLISTER: -- all right.

2 Great.

3 MS. FOWLIE: And I'll just reiterate the
4 invitation to email me with questions or comments
5 that occurred for the audience because we are
6 inviting all feedback any time we can receive it.

7 COMMISSIONER MCALLISTER: Great.

8 MS. FOWLIE: Thanks.

9 COMMISSIONER MCALLISTER: Great. Thanks
10 so much.

11 All right, Heather, let's move on to the
12 next panel.

13 MS. RAITT: Awesome. Thank you,
14 Commissioner.

15 And thank you, Meredith. That was
16 terrific.

17 So next panel is on Financing
18 Decarbonization. And Deana Carrillo from the
19 Energy Commission's Local Assistance and
20 Financing Office where she's the Manager will
21 be -- she'll be moderating this panel for us.

22 So go ahead, Deana.

23 MS. CARRILLO: Thanks so much, Heather.
24 I'm happy to be part of this conversation on
25 financing today and join this amazing panel of

1 colleagues who are deploying innovative financing
2 approaches targeted to those hard-to-reach and
3 underserved markets that we've been talking about
4 in both the residential and commercial sectors.

5 And I really appreciate the point that
6 Scott from SMUD made, mentioned earlier. As we
7 work toward decarbonization, there are segments
8 of our population where direct installation and
9 deep assistance is the most effective. And
10 there's these other segments of the population
11 where financing with a repayment stream may be a
12 more viable option. And so as we look at this
13 with an equity lamp lens, I think that
14 distinction between funding and financing is
15 really important to call out.

16 I'd also like to just quickly mention, a
17 quick friendly reminder, that if anyone has any
18 questions, please type them into the Zoom Q&A.

19 And with that, I'm going to introduce
20 Holmes Hummel from Clean Energy Works.

21 And Holmes, you're muted. That won't be
22 the last time.

23 DR. HUMMEL: Great. I may be double
24 muted there. So can you hear me now, Deana?

25 MS. CARRILLO: Yes, we can hear you now.

1 DR. HUMMEL: Okay. Terrific. Well,
2 thank you so much. It's always lovely to be at a
3 California Energy Commission event with you in
4 particular. And I know that we have last been
5 invited to participate in workshops on similar
6 topics but maybe not for a few years.

7 My name is Holmes Hummel and I'm the
8 founding Executive Director of Clean Energy
9 Works, a public interest-oriented nonprofit
10 founded after my years of service as an appointee
11 to the Department of Energy as the Senior Policy
12 Advisor in the Policy Office during the last slug
13 of federal financial deployment funding for clean
14 energy technologies during the Recovery Act from
15 2009 through 2013.

16 I'm here today because there's unfinished
17 business in my career related to that body of
18 work, now almost more than ten years ago.
19 Financing decarbonization at scale remains an
20 unsolved problem, not just in California but
21 nationwide, and it grows more urgent by the year.
22 And the equity implications of not resolving it
23 also make it more urgent.

24 I'm contributing to the workshop today a
25 growing body of literature that's based on

1 evidence moving out of the field where there's
2 experience to show that utility investments
3 offered on inclusive terms can actually produce a
4 pathway to ownership for site owners while
5 protecting owners that need the protection most,
6 and allow all (indiscernible) forward in a clean
7 energy economy on equitable terms.

8 I'll use a few visual aids to offer a
9 frame of reference. While some of this will be
10 familiar to Commissioner Monahan, Commissioner
11 Gunda, Commissioner McAllister, I hope it will be
12 a contribution to the record and serve further
13 discussion.

14 Please go right ahead to the next slide.

15 One thing that we know is that for almost
16 20 years utilities in various states, and I'll
17 show you a map momentarily, have been
18 capitalizing site-specific upgrades on terms of
19 service that assure full cost recovery with site-
20 specific terms for a fixed charge that's less
21 than the estimated savings for those upgrades.
22 The most common set of upgrades are around
23 building energy efficiency.

24 But if you tap forward one more time you
25 will see a whole host of possible distributed

1 energy resource solutions that can be capitalized
2 the same way.

3 And while you might say, well, wait a second,
4 not everything on the right side of this graph is
5 cost effective, so maybe it won't work, please
6 suspend your disbelief and walk with us through a
7 line of logic that shows how much unleashing is
8 possible when the utility is allowed to
9 capitalize what would be cost effective on the
10 customer side of the meter.

11 Before we leave this visual aid, I also
12 want to underscore, after a whole day of
13 listening to the workshop participants so far,
14 that we should, I think, be talking more about
15 transportation electrification as part of the
16 decarbonization puzzle, and that the integration
17 of the vehicle grid integration activities that
18 the California Energy Commission leads, with the
19 building electrification and building
20 decarbonization activities that the Commission
21 is, obviously, motivated by, might make both of
22 those problems easier to solve.

23 Let's go ahead to the next slide.

24 The basic status quo across the United
25 States today is that we have a whole set of clean

1 energy upgrades that presents us with an up-front
2 cost barrier. And then we use ratepayer funding
3 or taxpayer funding or polluter-payer funding,
4 any kind of funding, to help pay down that up-
5 front cost barrier. And then we try to entreat
6 the customers to jump over the pole vault despite
7 themselves, or whatever other competing
8 priorities their household may have.

9 And so households basically face the
10 multiple choice of paying cash, paying on their
11 credit lines, or just bypassing the credit -- the
12 option for the upgrades altogether, which is what
13 the vast majority of consumers do all over the
14 United States.

15 If you fast forward one more slide you'll
16 see that inclusive utility investment is
17 essentially adding another option to that
18 multiple choice. And where it's available it's
19 producing dramatic field results that show that
20 the majority of customers, when given the
21 opportunity to access a cost-effective upgrade
22 with no up-front cost to them and no debt
23 obligation that they have to bear personally on
24 their personal lines of credit, will accept the
25 utilities offer to capitalize those upgrades at

1 that site and recover their cost with a charge on
2 the bill that's less than what would be estimated
3 to be saved by those upgrades.

4 And the utility is able to draw in,
5 literally, billions of dollars from the wholesale
6 capital markets on competitive terms, deploy that
7 down to thousands of dollars worth of equipment,
8 like HVAC upgrades. And that is a ticket to
9 scale that we don't see through many other
10 mechanisms.

11 Let's go forward one more slide.

12 This familiar diagram shows the contours
13 of the major policy frames. With these upfront
14 costs, we use rebates or other types of buydowns
15 to try to entreat people to move forward. But I
16 want to move to the next slide that's an
17 iteration on this one to show that we have always
18 been combining funding and financing. It's just
19 that we've been using public forms of funding and
20 induced people to use their private forms of
21 finance, and that that actually is producing some
22 of the clean energy divide that we can observe in
23 everything from electric cars to electrification
24 of houses to rooftop solar.

25 But when we switch from using public

1 funding and personal lines of credit that some
2 people have and some people don't have and we
3 think about expansively inclusive options for
4 utilities to capitalize all cost-effective
5 upgrades and recover their costs within the
6 estimated life of those upgrades while producing
7 that net savings stream from the very beginning
8 that we see in green, that is a value proposition
9 that's widely accepted.

10 Let's go ahead to the next slide.

11 Here I want to show you three types of
12 classic sources for money for funding. And for
13 all of our experts today who have been pointing
14 out that building electrification doesn't pencil
15 out easily in California markets, that's so. And
16 for any source of capital that you have in these
17 categories, there are many reasons to make the
18 public policy argument to maximize the
19 availability of funding to low-income households
20 in particular, on equity grounds, no doubt.

21 And also, this cannot be our complete
22 picture because after we have calculated how much
23 would be needed for electrification in
24 California, there is not enough money through any
25 or all three of these streams to sustain the

1 level of investment that's required. Grants are
2 not scalable or sustainable, even if they are
3 popular and necessary at initial scales of market
4 transformation.

5 Let's go to the next slide.

6 So complementing those three categories
7 of funding broadly up top are your debt financing
8 and lease service agreements, both of which
9 require creditworthy counterparties. There are
10 many Californians that will not pass the tests
11 that are necessary to become creditworthy
12 counterparties, and that creates another hazard
13 to our aims to achieve an equitable clean energy
14 economy.

15 So I'm going to continue forward with the
16 last line here, the utility tariffed on-bill
17 investment option, tariffed on-bill investment
18 being a technical term for the inclusive utility
19 investments that we have seen introduced in all
20 of the places on the next map.

21 Go right ahead. There you go.

22 Dark blue on this map is a state where a
23 utility commission has already evaluated the
24 terms of a site-specific investment with site-
25 specific cost recovery under the terms of a

1 tariff and determined that those terms are just,
2 reasonable, and fair.

3 California is a shade of lighter blue,
4 along with a dozen other states on this map,
5 because there's an earlier stage of deliberation.
6 The California Public Utilities Commission hasn't
7 even had an opportunity to determine whether or
8 not it would consider a tariffed on-bill program
9 just, reasonable, and fair because it hasn't been
10 proposed to the utility commission yet. But it's
11 light blue on this map because more than one
12 investor-owned utility is now turning its
13 attention to whether or not that might be an
14 option for one of the instruments they could use
15 in the future.

16 It's a long conversation and it didn't
17 just start yesterday. So if you move forward, I
18 want to remind all of us who are part of today's
19 workshop how far we've come since SB 350 was
20 passed, mandating the California Energy
21 Commission in 2015 to complete within 18 months
22 the landmark Low-Income Barrier Study.

23 In December of 2016, the California
24 Energy Commission did conclude that financing
25 was, well, in fact, the barrier to low-income

1 customers in the clean energy economy. Now while
2 that was not surprising, I think it's important
3 to revisit the language of the California Energy
4 Commission's recommendations at that time,
5 directly advising the California Public Utilities
6 Commission to consider developing a tariffed on-
7 bill pilot for investments in energy efficiency
8 that target low-income customers regardless of
9 their credit score or renter status so that they,
10 too, would have that option without having to
11 take on a debt obligation.

12 It also recommended that the Energy
13 Commission itself should use its resources to
14 offer technical assistance to the publicly-owned
15 utilities. In other words, the ideas that I'm
16 representing today in the workshop for
17 decarbonizing buildings and electrification have
18 been talked about in California for half a decade
19 at this point.

20 Let's move forward to the next slide.

21 This is the only cashflow diagram that I
22 will present. And if you imagine starting at the
23 capital provider at the top and rotating around
24 clockwise, you will see that the capital provider
25 can deploy money through the utility's site-

1 specific investments while preserving open
2 competition and consumer choice, and also
3 allowing customers to come and go from the sites
4 where they live, work, and play without being
5 saddled with a personal debt obligation.
6 Tariffed on-bill investments have continued to
7 perform well in contrast, in terms of
8 scalability, to debt-based products. In the next
9 slide, we'll show you why, because they have
10 substantially different attributes.

11 Given that I just received the two-minute
12 warning, I want to hurry on, knowing that you can
13 revisit these slide and this grid diagram, to the
14 next slide to show you why there's a game changer
15 in moving from personal indebtedness to utility
16 site-specific investment. It's because expansive
17 inclusion can double the size of the addressable
18 market. And the acceptance rate is at least five
19 times higher than the close rate for loans.

20 Just here, these two factors are
21 multiplying, two times five is ten. That gets
22 you an order of magnitude more capital flow into
23 the areas where the underserved market segments
24 both for the California Public Utilities
25 Commission and the Disadvantaged Communities

1 Advisory Group for the California Energy
2 Commission know that money is really not flowing
3 at all.

4 Now let's move to the next slide because
5 that concern about inequity and access to capital
6 to overcome those upfront costs, especially in
7 the context of decarbonization, was the subject
8 of the equitable building electrification
9 framework championed by our keynote speaker
10 today, Carmelita Miller from Greenlining
11 Institute. Now while Carmelita did not hail her
12 own accomplishment in leading the stakeholder
13 process that led to this framework, I want to
14 underscore it as part of the record for the
15 workshop. And it includes a chapter on funding
16 and financing that calls on California
17 policymakers to find a way to support alternative
18 and more inclusive financing, such as tariffed
19 on-bill investments.

20 The following year, the Building
21 Decarbonization Coalition conducted a six-month
22 stakeholder process that not only came to the
23 same conclusion, it introduced a series of
24 recommendations.

25 And I'd like you to move to the next

1 slide.

2 This is a screenshot of the conclusion of
3 that report, which is still the top internet
4 search result for accessible financing today.
5 Anyone can find it with the two words, accessible
6 financing. And this slide and the next slide --
7 go ahead -- are the concluding pages of that
8 report. I want to conclude my remarks by
9 underscoring this point, time is a critical
10 factor. It won't work to wait to try to tariffed
11 on-bill investments sometime later in the decade.
12 It's already been discussed for half a decade so
13 far.

14 And my closing slide shows you that there
15 are validators and potential partners at the
16 federal level who are calling California's name.
17 In fact, at the Better Building Solutions Summit
18 that was held just about six weeks ago, the new
19 EPA administrator called for more utilities to
20 offer inclusive utility investment using pay-as-
21 you-save or other tariffed on-bill investment
22 approaches.

23 And the head of the DOE-loan program
24 addressing a keynote audience in VERGE Electrify
25 specifically called on California's name in

1 welcoming applications for tariffed on-bill
2 programs, offering the potential for federal
3 backing for any amount of risk up to, what I
4 suppose is in his portfolio, upwards of \$4
5 billion to provide risk mitigation for those who
6 may be having concern about inexperience in the
7 state for something that's been working in
8 Kansas, Kentucky, and Arkansas now for several
9 years.

10 I know I've exceeded my time. I
11 appreciate your patience. It's an honor to
12 participate in this process. And I'd be happy to
13 take any questions at the end of our panel.

14 Thank you.

15 MS. CARRILLO: Thanks Holmes. That was
16 very well articulated. And I appreciate you
17 making up a little bit of time there for
18 everybody.

19 Next, I'm going to introduce Diane
20 Schrader with ThirdACT.

21 Diane?

22 MS. SCHRADER: Let me say, it is so hard
23 to come after Holmes. That is brilliant. That's
24 amazing. And one of the things that I love about
25 it is that it is really looking through the lens,

1 also, of institutional investment which needs to
2 write large checks. And when you can write large
3 checks that then can be aggregated to finance
4 these smaller projects, I personally find that to
5 be a brilliant application of capital. And this
6 is kind of where we're coming from as well. So
7 anyway, so thank you. Thank you everyone for
8 having me today.

9 So my name is Diane Schrader. I am the
10 Founder and CEO of ThirdACT. And I'm speaking
11 here today primarily about a program that we
12 developed last year and that we just launched in
13 January that focuses on underserved communities
14 in major metros.

15 Next slide please.

16 So this is a bit about us. ThirdAct is
17 at the intersection of real estate and
18 institutional climate finance. The company was
19 founded in 2015 as a public benefit corporation.
20 And our public benefit statement is that we drive
21 resiliency in communities through better
22 buildings. I think what differentiates us from
23 some of the other presentations that we've seen
24 today is that we're looking at energy efficiency
25 and clean energy technologies through a real

1 estate perspective. And you'll see more about
2 that as we go.

3 Next slide please.

4 So what drives us kind of puts the rest
5 of my talk into context. The first is fair by
6 design. To us, this is about respect and
7 service. As a financier, we do not offer
8 predatory products, nor do we charge egregious
9 fees.

10 The next point is that we emphasize that
11 we're entrepreneurs. We do and learn and do and
12 learn. For us to get to scale and move quickly
13 we have to accept the fact that the risk up front
14 is that we don't always know where we're going or
15 what the outcomes are going to be, but we're
16 going to learn along the way. And this is
17 particularly important as we get towards our
18 climate goals.

19 And lastly, in all that we do we think
20 about what we do 100 times over, and that's how
21 we get to scale.

22 Next slide please.

23 And so our story starts here. California
24 is a leader when it comes to clean energy, yet
25 these programs that we've created mainly benefit

1 the rich. And now that there's public data and
2 research highlighting this, we can no longer
3 ignore those that have been left behind.

4 Next slide please. Let me see. Just a
5 second. I lost my slide. There we go. So I'm
6 so sorry. If you could back up one please?

7 And so we're here in the context today of
8 talking about why does decarbonization matter in
9 low-income communities?

10 Next slide please.

11 So I want to start with data. There are
12 roughly 9.2 million single-family homes in
13 California; thirty-two percent of these
14 homeowners live on income at \$40,000 per year.
15 And what's really interesting about this is in
16 every major metro in California the living wage
17 for a family starts at twice to three times that,
18 it's \$87,000 for Los Angeles, it's \$105,000 for
19 the Silicon Valley, and \$115,000 for San
20 Francisco.

21 Next slide please.

22 And so next we look at the ages of these
23 homes. About 40 percent of these homes were
24 built before there were Energy Standards in the
25 Building Code. And as a matter of fact, 100

1 percent of the communities that we're currently
2 targeting fall into this category. And most of
3 these homes will exist in 2030, many into 2050 as
4 well. They're a critical piece to our overall
5 climate strategy.

6 Next slide please.

7 So a lot of homeowners earn at or below
8 the living wage and also live in older homes. So
9 it's no surprise that our team learned that most
10 of these older homes also have outdated systems.
11 So when we think about decarbonization we take a
12 systematic view. We do not stop with electrified
13 appliances. We look at how these appliances will
14 perform in the context of a home. A home that
15 lacks insulation and has original windows means
16 that the heating and cooling systems will have to
17 work harder, and that's a waste of energy, even
18 if the technology is efficient. So we think
19 about the whole house.

20 We also know that deep retrofits cost a
21 lot of money, so we had to get creative. And,
22 again, we have to think about scale. As we
23 transform more and more homes, what impact will
24 this have on the grid, on cities, and on the
25 state at large?

1 Next slide please.

2 And this is where we come in. We remove
3 the barriers to clean energy. And rather than
4 take small steps or offer piecemeal solutions, we
5 boldly take these homes all the way to net-zero.

6 And I want to pause here because there's
7 been a lot of mention and such of the expense of
8 energy. From the conversations that we've had
9 with homeowners we've seen utility rates as low
10 as \$150 per month, but on average they're
11 averaging between \$200 and \$500 per month, just
12 to give you a sense.

13 And just this last week, we actually
14 talked with a homeowner who pays as much as
15 \$1,200 regularly per month. Some of these people
16 are saying that, look, in COVID, their homes have
17 turned into intergenerational homes which has
18 increased some of these costs.

19 But these are expensive costs and such,
20 certainly kitchen-table issues when it comes to
21 these homes.

22 So next slide please.

23 So when we look at what net-zero means,
24 quite simply, we want to make a home so efficient
25 that it can produce most, if not all, of the

1 energy that it consumes. So we start with energy
2 efficiency improvements and the home's basic
3 systems. We add solar, onsite energy storage,
4 and then we swap out natural gases -- or natural
5 gas applications for modern all-electric. And
6 then the cherry on top, which has been discussed
7 a number of times here, is EV charging to prepare
8 these homes for the next wave of transportation.

9 Next slide please.

10 So as we get into financing, I want to
11 share this quote from Darren Walker from last
12 summer. I heard Darren speak about the financing
13 gap for disadvantaged communities. And this
14 particular statement hit me like a brick, that is
15 that we cannot think about finance without
16 placing equity and asset-building at the center
17 when we're thinking about these disadvantaged
18 communities. And I've heard equity mentioned
19 today, a number of times, but I can't emphasize
20 enough that asset-building is also something that
21 has to be front and center. This has certainly
22 guided my team ever since.

23 Next slide please.

24 So here are the basic ingredients of how
25 we transform existing communities to net-zero

1 energy. And like I've heard many times today, we
2 start with community. We learn about their needs.
3 We meet with their leaders. And then we help
4 them, or let them help us, I should say, shape
5 the program, and that's what we do. We then
6 provide private capital to pay for all of the up-
7 front costs of those improvements. And then we
8 manage the projects and the contractors from
9 start to finish, then pay the contractors
10 directly.

11 When it comes to all the benefits and
12 such of these improvements, we let all of these
13 accrue to the homeowners. This means that they
14 get to keep all the energy savings, any of the
15 utility rebates -- and by the way, we love
16 utility rebates -- and any of the tax incentives.
17 And that's immediate asset-building. They don't
18 pay a dime back until they sell their home. And
19 we can adjust that repayment amount to suit the
20 community, often at a discount.

21 And then we add a little bit of magic,
22 and that is that if the families stay in their
23 home through the term, which is typically 20
24 years, the financing is forgiven and the
25 homeowner owes nothing. Again, more asset-

1 building.

2 All this helps the owners to afford to
3 stay in their communities, to age in place, and
4 to even pass on a net-zero home to their
5 children. We can do this because we anticipate
6 that many homes will sell. When we aggregate
7 these homes together at scale, investors get paid
8 along the way. And in some cases, we get to
9 recycle --

10 MS. CARRILLO: So was that loss impactful
11 to everybody?

12 MS. D'AMICO: Yeah. I lost her, Deana.

13 MS. CARRILLO: Okay.

14 COMMISSIONER GUNDA: Yeah, I can't hear
15 either.

16 COMMISSIONER MCALLISTER: It looks like,
17 Diane, you got cut off. I'm seeing her video
18 frozen as well.

19 MS. CARRILLO: Give it a minute. I think
20 the discussion of asset-building is so important
21 as we actually think about wealth creation and
22 not just paying rent, but actually growing a
23 family wealth. Give this a few more minutes.

24 COMMISSIONER MCALLISTER: Anyone from the
25 team in touch directly with Diane right now,

1 Heather? Just wanting to see whether we give her
2 a minute --

3 MS. RAITT: Yes.

4 COMMISSIONER MCALLISTER: -- or whether
5 we move on and come back to her later?

6 MS. RAITT: We can try. I suspect,
7 maybe, we need to move on.

8 MS. CARRILLO: Okay. Well, as Heather
9 mentioned and sent a note out to all panelists,
10 the slide decks are available to everyone. And
11 until Diane come back, maybe we'll pass the
12 virtual microphone to -- and I'll introduce Mark
13 -- oh, Mark, I had this earlier, Mark Shahinian
14 with Gridium.

15 Sorry about that. I was all excited.

16 MR. SHAHINIAN: Nicely done. Can you all
17 hear me?

18 MS. CARRILLO: Yeah.

19 MR. SHAHINIAN: Great. Super. Well, I'm
20 Mark Shahinian. I'm the Vice President here at
21 Gridium, helping run our project development arm
22 where we're doing physical retrofits in
23 commercial buildings. And I'll tell you all
24 about what we're doing.

25 I'm honored to be here. It's such a

1 thrill to be able to contribute to this group's
2 important thinking about how this is all going to
3 evolve in the future. And a lot of the
4 groundwork that's been laid by people here over
5 the last decade, we're now able to put into
6 motion and make real progress against real
7 projects. And that's what I want to share with
8 everybody here today. So thank you for all your
9 hard work over time.

10 Our perspective at Gridium is one of hope
11 that there's a way to serve classically
12 underserved markets in efficiency with some of
13 the innovative programs that we've pulled
14 together over the last decade or so.

15 I'll tell you about a sector today that
16 is the core of our customer base, not normally
17 thought of as classically underserved but, in
18 fact, that's what's happened to them. And this
19 is privately-owned commercial buildings, so think
20 office buildings, think hospitals even, think
21 biotech, that sort of thing. It's very hard.
22 And I'll go through why, despite their best
23 intentions and what they'd like to do, it's very
24 hard for these entities to normally go and do
25 energy efficiency. And because of financing on

1 the bill, it's become possible for that market to
2 really take off.

3 So what we're seeing is something that
4 can -- that is starting to scale with utility
5 capital now and can scale in an extraordinary --
6 to an extraordinary degree as private capital
7 starts to come in through some of the chief
8 programs and other programs you have and will
9 hear about.

10 So let's take a look at the pressure this
11 sector is facing.

12 And you can flip to the next slide
13 please.

14 So here's a customer of ours. This is
15 right across from the old Bank of America
16 building in San Francisco. And they are facing
17 the classic pressures that most of the building
18 owners and operators in this sector are facing.
19 Let me be clear, our customers are the building
20 owners and operators. Tenants are usually along
21 for the ride, with a couple of exceptions to do
22 with triple-net leases that we can talk about if
23 we have time.

24 But you know, there's real pressure to
25 cut costs now. Unlike in the last ten years,

1 commercial real estate is under a lot of pressure
2 and continues to be. I don't know if anybody's
3 been in downtown San Francisco recently. I
4 haven't. And the reason that these buildings are
5 under pressure is for that very reason. I'm
6 working from home, as are a lot of people.

7 And this building here, or buildings like
8 it, have, you know, three to five to ten percent
9 occupancy, and they're still incurring 80 to 90
10 percent of the energy costs they were before the
11 pandemic. You can't just shut the whole building
12 down because a few floors are empty or less
13 occupied. So they're really feeling pressure to
14 cut costs, both because of declining demand for
15 leases and because of the energy costs. They
16 talk about energy is the biggest costs and these
17 buildings.

18 And I can't remember who mentioned
19 earlier, yes, energy prices are going up. I
20 think our forecast is for five percent a year in
21 PG&E territory, and probably higher across the
22 other IOUs, at least San Diego, and they'll
23 continue to go up.

24 Another interesting trend we're seeing,
25 especially after November of 2020, is there's a

1 lot of pressure from the big capital partners
2 that own these buildings. So, classically,
3 there's an operator of a building, maybe it's a
4 minority partner, and they will own, you know,
5 something like five percent of the building.
6 They'll go and operate it and hire the JLLs or
7 the CBREs of the world to actually go run the
8 building.

9 And then there's a big capital partner
10 behind it. It's a pension fund, like STRS Ohio,
11 or it's JP Morgan, or it's, you know, name any
12 big bank or pension fund or investment fund,
13 these are the groups that own these buildings.
14 And they are putting a lot of pressure on their
15 assets and asset managers to reduce their carbon
16 emissions, and so we're seeing that a lot. And
17 it's a great tailwind for this industry because
18 it's really -- it is trickling down, if that's
19 the word, to what's happening on the ground.

20 And historically, because of the split
21 incentive problems that most of you know, but
22 just briefly, tenants pay for the energy in these
23 buildings, either directly or indirectly, and
24 landlords own the equipment that uses the energy,
25 in other words, the lights and the HVAC systems.

1 And so there's this split incentive where any
2 investment in efficiency in the equipment doesn't
3 accrue to the person or group that made the
4 investment, the landlord, it accrues to the
5 tenants. So there's not much incentive,
6 generally, for landlords to make those
7 investments. So that's left a lot of stranded
8 improvements that would otherwise be profitable
9 for building owners.

10 And you know, the tenants in these
11 buildings are everyone from nonprofit law firms
12 to investment funds to design shops to
13 architecture firms to processing operations. It
14 really runs the spectrum. So we're talking about
15 nearly every business in California, and not all
16 on the main corner here in San Francisco, but
17 nearly every business in California is exposed to
18 these issues because they're leasing space from
19 commercial buildings. So as we think about
20 equity, I think we want to think about how all
21 the small businesses that make up this economy
22 are treated within it.

23 And just to understand why these projects
24 haven't been done, given all these pressures in
25 these buildings, let's take a look at the next

1 slide. So it's really the financial structure of
2 these buildings that has not allowed them to take
3 advantage of the high electricity prices that
4 they would love to reduce; right?

5 So there are single-entity LLCs to
6 protect the parent investment funds from
7 bankruptcy at the building level. And this means
8 there's very small capital budgets. You know, the
9 engineers in these buildings do not have the
10 money to go and upgrade the systems as they would
11 like. And there are creditworthiness issues.
12 The previous building is something-something 43
13 LLP, you know, names that I can't remember. It's
14 not the parent company of that building. And so
15 no one is going to loan money to something-
16 something 43 LLP, and so it's hard for them to
17 get financing normally to do a project.

18 The second issue or set of issues is
19 around how leases are structured. They allow
20 passthrough of operating costs, or utility costs
21 or maintenance, but not generally and not very
22 completely of capital expenditures. And so if
23 you can change what would have been a capital
24 expenditure into an operating cost, you can pass
25 it through to the tenants sort of magically. And

1 so when you take an energy efficiency project and
2 put it on the bill, you're changing it into an
3 operating cost in a way that owners of these
4 buildings can then use to pass on the costs to
5 the people who benefit from them, the tenants.

6 And the third piece is that mortgages in
7 these buildings are sacrosanct. No one ever,
8 ever, ever, ever is going to touch a mortgage.
9 It's too much trouble. It's too much trouble.
10 It's not worth it. It's lots of lawyer costs.
11 And the banks will not allow it. And so it makes
12 commercial pace very impractical for these
13 buildings because that starts to get into the
14 actual underlining financial structure of the
15 building.

16 So biggest issues, creditworthiness and
17 small capital budgets. And then, also, you have
18 to be able to pass on the costs which is really
19 determined by the leases. You can go Google
20 commercial building office leases on the SEC's
21 website, or just through Google, and that will
22 give you the language that we're referring to.
23 It's pretty transparent.

24 Okay, and then let me show you what
25 happens in one of these projects that we've been

1 involved with in the next slide.

2 Here's a project we're about to start on
3 in Southern California. It's a five-building
4 campus. We're going to take about two gigawatt
5 hours out of this campus, two annual gigawatt
6 hours. That's a 20 percent IRR (phonetic) for
7 the building. It's a large reduction in load.
8 And about 8,000 tons of lifetime carbon savings.
9 And this is all accretive to the building owners,
10 as well, because they drop their costs. And,
11 eventually, accretive to the tenants after these
12 loans pay off and they see lower common-area
13 maintenance or CAM charges.

14 And in the long run, we really think the
15 way this goes is the place with the chief group
16 with David and Jonathan are pushing, which is the
17 ability to bring in outside private capital and
18 put it against these projects. There's clearly a
19 limit to how much ratepayers can and should and
20 will fund. But the wide availability of private
21 capital for these projects is apparent to us in
22 our discussions with lenders. And we're excited
23 to move in that direction.

24 We also have found to be super important
25 limiting how much exposure these projects have to

1 traditional energy efficiency regulatory
2 processes. They take a long time. They're very
3 expensive. They weigh down these projects. To
4 really make this market go, we will have to move
5 away from that sort of older paradigm about all
6 the checks and balances you see in one of these
7 giant projects. Because these are sophisticated
8 commercial entities, they make decisions with
9 lawyers and engineers and don't have quite the
10 same need for protection as some of the other
11 residential customers that we're, for sure,
12 concerned about.

13 And so let me talk you through kind of
14 how this looks at a broader scale for us in the
15 next slide. So here's a run of our projects. We
16 find we do about roughly \$4.00 a square foot in
17 these buildings in terms of the capital costs.
18 And we save 20 to 30 percent of the energy,
19 roughly. There's one in here, I think that
20 medical office in San Francisco, that's actually
21 a 45 percent savings of the energy use in that
22 building, but generally about 20 to 30 percent.

23 And you can see here that there's a wide
24 range of savings amounts, mostly, honestly, to do
25 with square footage here. Biotech labs will tend

1 to save a little bit more just because they're so
2 energy intensive and a pretty wide range of types
3 of buildings that we're going into and seeing
4 these opportunities.

5 And this a pretty big savings, so this is
6 28,000 tons over a lifetime. I just did a 15-
7 year lifetime on these projects. And that's
8 about 1,000 Teslas worth in California. In other
9 states, it would be a lot more, but we have a
10 pretty clean grid, so it's about 1,000 Teslas
11 worth -- or Tesla lifetimes.

12 And what we really want to say is this is
13 a small group of projects. Our pipeline is about
14 five times bigger than this coming up. And you
15 know, there's possibilities for dozens more
16 companies our size to go and do this. And this
17 will explode as OBR comes on and becomes a big
18 thing. And we're really excited to be a part of
19 that. And maybe we can talk about the CEC's role
20 could be here.

21 If we could go to the next slide.

22 It sounds like I'm done but let me flash
23 this. This is going to move, I think, things
24 away from the traditional CPUC IOU realm. And I
25 want to think as a group how this comes together

1 and how this starts to play out.

2 So thank you very much.

3 MS. CARRILLO: Thank you so much.

4 Apologies for my delayed response on that end. I
5 think bringing up those issues in the commercial
6 sector is really important.

7 So next, we're going to go ahead and go
8 to our fourth speaker, and then we'll loop back
9 because we've gotten reconnected. I'm going to
10 introduce Kaylee D'Amico. She is with the
11 California Hub for Energy Efficiency Financing.
12 And she also has a colleague with her, David
13 Gibbs, who might -- who will be available to
14 answer some questions as well.

15 Kaylee?

16 MS. D'AMICO: Thanks Deana. And hello
17 everybody. Before I get started I just want to
18 thank Mark for mentioning our forthcoming on-bill
19 repayment program. I won't be talking much about
20 that in our presentation today. But if anyone
21 has any questions about that, please feel free to
22 reach out to me.

23 So thanks for the opportunity to join you
24 for this panel discussion. As Deana said, my
25 name is Kaylee D'Amico and I'm the Marketing,

1 Education, and Outreach Specialist at the
2 California Hub for Energy Efficiency Financing,
3 of the CHEEF. And I'm excited to share some data
4 from our programs and talk with you all about how
5 we finance decarbonization.

6 It looks like the team is still pulling
7 up my slides, so I'll just pause for a second.
8 Let me know if you have any questions or want me
9 to pull it up on my end. Perfect. There they
10 are. And you can go ahead to the next slide
11 please.

12 So I want to start with some background
13 information about our programs and what we do at
14 the CHEEF. We were created to facilitate
15 attractive financing options using private
16 capital. And we do that using a ratepayer-funded
17 credit enhancement which I'll talk more about in
18 a few slides. We currently run three financing
19 programs in the residential, small business, and
20 affordable multifamily sectors. I'll be focusing
21 primarily on our residential program today which
22 is called the REEL Program. And all of this is
23 done in service of California's climate goals,
24 particularly the goal to reduce GHG emissions by
25 40 percent by 2030.

1 Next slide please.

2 So here's a little bit more context as to
3 where we sit among other state agencies. The
4 CHEEF was created by the CPUC with the goal of
5 bringing private capital into the energy
6 efficiency marketplace. And through the CHEEF,
7 we offer those three financing programs I
8 mentioned. The CHEEF, as a whole, is housed
9 under CAEATFA which was authorized as the CHEEF's
10 administrator by the CPUC when they developed the
11 programs. And CAEATFA is an authority of the
12 State Treasurer's Office and runs the two other
13 programs related to energy and finance, in
14 addition to the CHEEF.

15 And just to throw one other name into the
16 mix here, GoGreen Financing is our public
17 platform for the programs which we use so that
18 participants can easily access the financing
19 options without having to navigate through
20 multiple state agencies to get there.

21 Next slide please.

22 So as I mentioned, we use a ratepayer-
23 funded credit enhancement to leverage private
24 capital. And we offer it to lenders as a form of
25 risk mitigation in exchange for better rates and

1 terms for the loans that they offer through these
2 programs. So in the REEL Program, specifically,
3 the credit enhancement has led to a number of
4 customer benefits.

5 The minimum credit score to qualify for a
6 REEL loan is 580. Payback terms can be extended
7 out to 15 years which helps lower monthly
8 payments significantly. And interest rates range
9 from just under three percent to just over eight
10 percent, compared to the average rate for a
11 similar loan on the national market which is
12 around 12 percent, so we're significantly under
13 the national average.

14 I also want to mention that the financing
15 that we offer is unsecured, which means no
16 property liens and a very different operating
17 structure from (indiscernable). And, in
18 practice, contractors are able to present these
19 more appealing financing options to their
20 customers who are then able to take on and
21 complete deeper energy upgrades without any
22 upfront cost.

23 Next slide please.

24 So I want to preface the next few slides
25 with some context in our authorization and what

1 the CHEEF does and doesn't do.

2 So CHEEF was not designed to be a
3 decarbonization program. We were created to
4 leverage private capital for energy efficiency.
5 But we have adapted to try and support decarb
6 goals wherever we can within the current scope of
7 our authorization. We're currently funded by IOU
8 ratepayers and we must deliver benefits to those
9 customers specifically. And our financing source
10 is earmarked for efficiency purposes, so we're
11 unable to finance distributed generation or
12 battery storage which, thus, excludes
13 comprehensive decarb measures, like solar-thermal
14 water heating, from our programs.

15 We're also not connected to any specific
16 IOU program. We've found that the financing
17 itself doesn't generate its own demand.
18 Customers have motivations beyond efficiency for
19 completing these types of projects.

20 And I also just want to add some context
21 here that we recognize that financing is not
22 going to be the best option for all utility
23 customers. And other tools, like tariffed on-
24 bill financing, as Holmes mentioned, are going to
25 be needed to fill the gaps. All that being said,

1 we do see financing as an important tool for
2 reaching decarbonization goals.

3 Next slide.

4 So this slide includes some overall
5 program data from REEL. I won't go into detail
6 on all the data points here but I do want to
7 highlight a few of them.

8 As of June 25th, the program has enrolled
9 over 1,300 loans and financed more than \$22
10 million. For every \$1.00 of ratepayer-funded
11 credit enhancement that we receive, the program
12 leverages over \$6.00 in private capital. And as
13 you can see on the tables in the middle of the
14 slide, the average interest rate and interest
15 paid over time for a REEL loan is significantly
16 less than what a customer would pay if they
17 secured the same loan from the same lender
18 without using the program.

19 Finally, I want to highlight our
20 contractor network. There are over 500
21 contractors participating in REEL across the
22 state. And fun fact, over 99 percent of
23 Californians live in an area serviced by at least
24 one REEL contractor.

25 Next slide.

1 So dialing down a little bit more into
2 our heat-pump data specifically, you can see that
3 about 14 percent of all of the HVAC projects we
4 do through REEL include heat pumps. And 44
5 percent of those heat-pump projects were for
6 underserved customers.

7 We have noticed a few trends about heat-
8 pump HVAC projects compared with our overall
9 project pool. The project size tends to be
10 larger. And customers tend to apply rebates to
11 them more often.

12 The piece I want to focus on here,
13 though, is the table in the bottom right which
14 shows what this all looks like for a customer at
15 the end of the day. This calculation uses the
16 average loan amount, interest rate, and term
17 lengths for the 111 heat-pump HVAC projects we've
18 done through REEL so far.

19 And we found that the average monthly
20 payment for a customer seeking to complete this
21 type of project with REEL financing is \$228 a
22 month. Compare that with the same loan size but
23 using the average national interest rate for
24 unsecured loans which is 12 percent, and the
25 maximum term length for market-rate products

1 which is 5 years, the customer would be looking
2 at a payment of over \$400 a month. So the
3 program is helping them save significantly on
4 their financing for these projects.

5 Next slide please.

6 So let's talk now about what's working in
7 regards to financing decarbonization for our
8 programs. Heat-pump equipment has always been on
9 our list of eligible measures. And as Derek
10 mentioned earlier, our financing is flexible
11 enough to allow customers to include the legal
12 and practical costs commonly associated with heat
13 pump installs, including electric panel upgrades
14 and water heater relocation. That lower monthly
15 payment also helps make these projects more
16 accessible to customers while eliminating the
17 upfront cost barrier to getting their equipment
18 installed.

19 Next slide please.

20 I think another panelist mentioned
21 earlier that contractor education is needed in
22 this space. And we have been able to share
23 educational materials on decarbonization with our
24 network of contractors. The screenshot on the
25 left here is from a newsletter that we sent out a

1 few months back on decarb measures to our
2 contractors. So far, over 40 companies enrolled
3 in our program have installed heat pumps using
4 REEL. And there's also been consistent organic
5 growth in the number of heat pumps installed
6 through the program each year.

7 Next slide please.

8 So transitioning into challenges.
9 Complexity that arises from funding silos and
10 utility jurisdictions is the main obstacle to
11 more widespread financing of decarb measures
12 through our programs. We currently can't support
13 fuel switching if the customer's electricity is
14 provided by a POU, which creates some difficult
15 eligibility issues to navigate on the ground.

16 So for example, in the Sacramento area,
17 heat pumps are encouraged in West Sacramento, on
18 one side of the bridge, because PG&E provides
19 both gas and electricity to those customers. But
20 we can't install heat pumps in the City of
21 Sacramento because their electricity is provided
22 by SMUD. So this makes it difficult for the
23 programs to scale and makes them much more
24 complex for lenders and contractors to use
25 because they're not looking at these projects

1 through the lens of utility territory. They want
2 to install projects for eligible customers.

3 Right now there's more than 8 million
4 Californians who are unable to install decarb
5 measures through our programs for this reason.
6 But there is a possibility that this will change
7 in the near future thanks to a recent proposed
8 decision on this matter from the PUC.

9 Next slide please.

10 There are also some contextual challenges
11 to financing decarb through our programs, and
12 more generally. Comprehensive decarb projects
13 that include solar and battery storage are not
14 eligible for our programs at present. And there
15 are some broader challenges related to economics
16 and evaluation as well. But I want to talk
17 specifically about some of the program
18 coordination challenges we've experienced,
19 primarily due to the fact that most heat pumps
20 require electric panel upgrades, as others have
21 mentioned today.

22 Electricians don't necessarily see
23 themselves as efficiency contractors in the way
24 that HVAC contractors do. So we're thinking
25 about how we can get them in the fold as we

1 pursue more decarb projects in the future. And
2 there's also some complexity involved when
3 multiple contractors are working on the same
4 project, which is often needed for a heat pump
5 install.

6 Next slide.

7 There are some really exciting
8 opportunities on the horizon that I am really
9 excited to share with you today. The first of
10 which is the launch of a point-of-sale micro-
11 lending product through the online utility
12 marketplaces. So this product is going to allow
13 customers to finance efficiency equipment
14 purchases, including heat pumps and heat-pump
15 water heaters through the utility's online
16 marketplace using our program at the point of
17 sale.

18 The financing is expected to have the
19 broad credit approvals and low rates that have
20 been seen in our program to date in a format
21 that's super convenient for customers to access.
22 This financing is expected to launch first in
23 SoCalGas territory this month, with other
24 utilities to follow soon.

25 Next slide please.

1 And we also have some exciting
2 opportunities ahead for growth that may arise
3 from the CPUC's Clean Energy Financing
4 proceeding, which I alluded to earlier in the
5 presentation. A proposed decision related to our
6 programs was released a few weeks ago. And the
7 PD tentatively approved the incorporation of non-
8 IOU ratepayer funding which would allow us to
9 leverage new funding sources and then use them to
10 expand into POU territories. So if this gets
11 approved it would help immensely with some of the
12 challenges we're currently facing with territory
13 restrictions that impact our ability to scale
14 decarb measures financing programs.

15 We're also advocating for CPUC approval
16 to expand the program's eligibility to include
17 solar storage and EV charging, which is going to
18 be determined later on in the proceeding.

19 And we also have some opportunities to
20 integrate more deliberately with IOU and REN
21 programs and have been doing so through marketing
22 cross-promotion related to decarb.

23 All this to say, I think there's a real
24 opportunity here to have a truly statewide
25 program where we can finance comprehensive decarb

1 projects and support decarbonization on a broader
2 scale.

3 Next slide please.

4 So with that, I encourage you to visit
5 our website to learn more about our programs.
6 And thank you so much for your time today. And
7 please feel free to email me with any follow-up
8 questions.

9 MS. CARRILLO: Thank you so much, Kaylee.

10 And with that, we believe that Diane is
11 back online.

12 So Diane --

13 MS. SCHRADER: Hi.

14 MS. CARRILLO: -- great magic trick
15 there. We're glad you're back.

16 MS. SCHRADER: Thank you. Thank you.

17 MS. CARRILLO: And if you can --

18 MS. SCHRADER: Well, I'm back.

19 MS. CARRILLO: -- We'll pull up your
20 slides?

21 MS. SCHRADER: Sure. Sure. And I'm back
22 on the computer and on the phone. I think,
23 hopefully, we have all the bases covered. I'll
24 keep my camera off for now just to make sure.

25 So I think we were on slide 13, which is

1 labeled "Minimal grid impact."

2 MS. CARRILLO: Great. Give us a minute
3 to pull that up.

4 MS. SCHRADER: All right. So if we kind
5 of hop from that last slide back in and such, I'm
6 sure that there will be some additional questions
7 and such. But I think that I finished that one.
8 And I just wanted to kind of tie in some of the
9 questions that I think have come up throughout
10 the day as well, where we've been more focused
11 generally on, you know, on what's happening in
12 the home.

13 And I think it's also really important to
14 think about what's going to happen around the
15 grid, as well, and that is that -- and certainly
16 touched up on this but, you know, as we
17 decarbonize more appliances, this only shifts
18 reliance, you know, onto electricity. And, of
19 course, there are additional costs and such
20 related to that as well. So to ensure minimal
21 impact on the grid, we also provide onsite energy
22 renewables plus storage.

23 So keep going. Keep going down. A
24 little bit further. Let me see. I think you're
25 three or four more slides. There we go. Okay.

1 And now I get to say, next slide. Perfect.

2 So let me see, so the grid, then, is at
3 scale. So of course, when we do this at scale
4 the grid can rely less on peaker plants, so
5 there's certainly some interest. But also, these
6 homes can be leveraged in the future for demand
7 response, virtual power plants, and also for
8 microgrids, which makes this super interesting.
9 And then, lastly, this supports grid efforts in
10 decommissioning of natural gas, which is
11 something that's also been touched upon
12 throughout the day.

13 So the next slide please.

14 So it also leaves open a lot of questions
15 that I don't know that we're going to get to
16 necessarily inform. But at scale and in the
17 future, what is the home's relationship with the
18 grid? What are the utility and the public costs
19 of granting natural gas systems? And then
20 lastly, and this is more of a legislative
21 question, how might this change the regulatory
22 requirements for utilities to provide natural gas
23 as an energy source?

24 Next slide please.

25 And this touches upon some phenomenal

1 research that has just come out of Stanford on
2 the cost of building decarbonization. And so I'm
3 just going to kind of feature one specific here.

4 So if you look into the blue square what
5 you'll see is that while we're balancing the
6 goals of reducing carbon emissions with a clear
7 understanding that the costs in doing so have to
8 be borne by someone, according to their research
9 the most cost-effective strategy for achieving
10 carbon emission reductions is to limit the future
11 sale of natural gas appliances. And for us in
12 what we're doing, you could actually imagine this
13 is more so that homeowners are voluntarily giving
14 up their natural gas appliances.

15 But no matter, as parties electrify their
16 homes, ratepayers who cannot electrify will, of
17 course, bear a greater cost of energy. So this
18 goes back to one of my first slides. I
19 mentioned, you know, numerous times today that
20 the clean energy revolution has left out low-
21 income communities. And you know, from my
22 perspective, how on earth can they pay more when
23 some of their families are already paying 10
24 percent, even as much as 20 percent of their
25 income on energy?

1 So I think leave you with this thought
2 is, you know, when I hear the CEC, the CPUC, all
3 these Cs, the key word that comes to mind for me
4 is "complicated," and that is that all of these
5 are not, excuse me, easy issues to solve.

6 Next slide please.

7 And so I kind of leave us with this, and
8 that is that everything that everyone has talked
9 about today is tremendously important. And,
10 personally, I look forward to working with
11 everyone. And change is slow until it's not.
12 These are very important decisions and, you know,
13 conversations and such that we need to have.

14 Next slide please.

15 And I want to thank you for including me
16 today. At the end of this presentation, of
17 course, there's the link to the Stanford study,
18 as well as some additional article links, as
19 well.

20 Thank you.

21 MS. CARRILLO: Thanks Diane.

22 Heather, how are we doing on time?

23 MS. RAITT: We have some time for
24 Commissioner discussion remaining. We have about
25 ten minutes.

1 MS. CARRILLO: Great.

2 Oh, and Commissioner McAllister, it looks
3 like you're muted.

4 COMMISSIONER MCALLISTER: Yeah. Sorry
5 about that. Thanks a lot. Actually, double
6 mute.

7 So thanks to you, Deana, and our
8 speakers. Another great panel. And I want to
9 give much of the time here, I think, to Derek
10 just to -- you know, this is right up your alley,
11 Derek.

12 So I did have one question, just sort of
13 at a high level. I mean, all these models have
14 so much promise. We know that the tariffed on-
15 bill is ready for prime time and is happening.
16 And I guess maybe it's a two-part question.

17 One is just how -- so there are lots of
18 different flavors of capital. We know that we
19 need lots of sort of non-state capital to build
20 on the state program monies to really make this
21 happen at scale. And I guess each of you talked
22 about a different model. And I guess if you
23 could just help us understand, you know, the
24 stack or the kind of different flavors of
25 capital, you know, how much -- you know, the

1 hardcore Wall Street capital that's looking for a
2 certain rate of return, and more social capital
3 that maybe is a little more fuzzy around the
4 edges? You know, your models, what sort of is
5 your capital partner or partners so that -- just
6 to sort of help us understand that? I think that
7 if we see the first few there, that's
8 instructive.

9 And then the second part is specifically
10 for Holmes. Over the weekend, I was thinking
11 about this session and I'm like, you know, we had
12 almost the same conversation, you know, five
13 years ago. And so, you know, and here we are,
14 and you made that point. What is happening in
15 Kansas and Tennessee and other places that sort
16 of has spurred them to action? And what barriers
17 maybe don't exist there that have enabled us to
18 really be put in place in places that we think of
19 as more sort of hands off in terms of their
20 policy environment?

21 So number one, flavors of capital.
22 Number two, tariffed on-bill contexts around the
23 country.

24 MS. D'AMICO: I can kick things off by
25 summarizing where the CHEEF is drawing capital

1 from. So I mentioned we have the ratepayer-
2 funded credit enhancement which is supporting the
3 feature of the financing that makes the loans
4 possible. But in our residential program, we
5 currently have eight credit union lenders, so
6 they're all nonprofit credit unions, either
7 regionally based or statewide. We are expanding
8 into other models for that program.

9 So the point-of-sale financing that I
10 mentioned is launching soon. That is a-- a
11 FinTech company is the closest thing you could
12 call the capital provider for that. And then for
13 our small business program, we have four
14 participating finance companies. They are all a
15 bit larger, operating nationally, and some even
16 globally. And all of them have more traditional
17 FinTech models involved as well.

18 So it's kind of a broad range of where
19 we're pulling capital from. And interestingly,
20 you know, we have recruited the majority of them,
21 but there has been, you know, significant
22 interest in these specific types of finance
23 companies and participating in the programs.

24 MS. CARRILLO: And Diane, could you take
25 a crack at answering that question too? Because

1 that question came in through Q&A on capital
2 sources and their repayment stream.

3 MS. SCHRADER: Yeah. Yeah. You know,
4 what I can say is that it goes back to that first
5 comment that I made about the size of checks. So
6 when we're doing any of these smaller place space
7 initiatives where for us is looking at 100 or so
8 projects, those are funded by individuals and
9 corporations. And these are parties that have
10 pledges, particularly towards affordable housing,
11 so this notion of social capital is definitely in
12 line with that. But the other thing that the
13 institutions require is larger checks, which also
14 means, often times, more diversification.

15 So what we're doing now is we are
16 launching, not only our next community in Los
17 Angeles, but three other communities up here in
18 Northern California. And as we do that, then
19 we're meeting some of those prerequisites for
20 that institutional capital. And so what we see
21 kind of going forward as we scale is that it
22 takes, certainly, a blend, depending upon the
23 design of what we're doing for each community.

24 DR. HUMMEL: Commissioner McAllister,
25 I'll take your question about some of the current

1 events that are shaping our field, a couple
2 things of note.

3 In March of last year the Southeast
4 Energy Efficiency Alliance published a report
5 called The Utility Guide to Tariffed On-Bill
6 Programs. And it's kind of amazing how such a
7 very approachable summary guide opened up the
8 levels of attention that I think middle managers
9 and utilities in many states had not been able to
10 scale. And so in March, when that document came
11 out, we saw quite a stir among middle manager and
12 executive ranks, like, oh, I finally see the
13 onramp.

14 So that just goes to show how important
15 it is to provide technical assistance and to make
16 sure that people with experience are available to
17 utility executives who may actually, most deeply
18 have misgivings about their own inexperience, and
19 not about the business model but about their
20 ability to be a captain for that new business
21 model.

22 In California, I would say that we have
23 seen, very recently, the Utility Commission ask
24 all of the investor-owned utilities to disclose
25 all of the programs that they either offer

1 directly or coordinate with that have a financial
2 component. And I you haven't yourself yet seen
3 that report, for me, it's just staggering.

4 And what it shows is that California's
5 Underserved Market Segments Customer Working
6 Group at the PUC and the Disadvantaged
7 Communities Working Group to the California
8 Energy Commission are both telling each of the
9 Commissions that despite all of those programs,
10 in fact, those are the policies that are
11 producing the inequity in the distribution of
12 benefits from the publicly-funded programs,
13 whether the polluter payer, ratepayer, or
14 taxpayer funded programs.

15 And so the reconciliation with everything
16 that we have, producing what we've got, is
17 finally, I think, turning attention to the
18 reality that, by deduction and since 2014, the
19 Department of Energy has known that financing
20 insurance that require creditworthy
21 counterparties will systematically bifurcate the
22 market and disadvantage people who are already
23 disadvantaged. And that compounding inequity is
24 intolerable, even in red states, even in places
25 that are characterized by longstanding persons of

1 poverty without very many social programs to
2 support it because of the pragmatic and, I think,
3 very sober view that this is an unacceptable way
4 to mobilize capital into the renovation and
5 modernization of our country's most essential
6 infrastructure moving into the 21st Century.

7 COMMISSIONER MCALLISTER: Well, thanks
8 for that. I might follow up with you to talk
9 about sort of -- get a little bit more play by
10 play of how those programs sort of got traction
11 and came about in these relatively lightly
12 regulated states; right? I mean, that's, you
13 know -- our contexts are different, right, in
14 terms of the --

15 DR. HUMMEL: Yes.

16 COMMISSIONER MCALLISTER: -- the
17 assertiveness of policy in some of those places,
18 like they pick their battles very carefully.

19 DR. HUMMEL: Yes. Well, I do want to
20 say, it was a relatively simple line of logic.
21 It didn't involve --

22 COMMISSIONER MCALLISTER: Um-hmm.

23 DR. HUMMEL: -- you know, extravagant
24 head-locking maneuvers. In general, the consumer
25 advocates and utility commissioners agreed to

1 look at the data about the distribution of
2 benefits and burdens in the economic part, in a
3 part of the economy that they regulated, and they
4 were dissatisfied with the distribution. They
5 called for a financial analysis. The University
6 of Minnesota performed one in the Energy
7 Transition Lab for utilities in Minnesota.
8 (Indiscernible) performed those for all of the
9 for-profit utilities in Missouri. In every case
10 that I've ever seen the financial analysis shows
11 that it's actually a win-win for the utility and
12 the --

13 COMMISSIONER MCALLISTER: Yeah.

14 DR. HUMMEL: -- customers to make the
15 option available. And after that, it's just a
16 hop, skip, and a jump before the utility
17 regulators say, the next time you bring --

18 COMMISSIONER MCALLISTER: Yeah.

19 DR. HUMMEL: -- me something that asks --

20 COMMISSIONER MCALLISTER: Go for it.

21 DR. HUMMEL: -- us to give you a yes,
22 make sure it includes something that we already
23 know works.

24 COMMISSIONER MCALLISTER: Yeah. Right.
25 Okay. Great. Thanks a lot. I appreciate that.

1 And Diane, did you want to answer at all?

2 And then, Derek, I'll invite you to ask
3 any questions you have.

4 MS. SCHRADER: Yeah. I'm fine. Is there
5 any particular part of that question that you
6 wanted me to answer, Commissioner McAllister?

7 COMMISSIONER MCALLISTER: Well, yeah,
8 just, you know, we -- previously we had talked
9 about, you know, your different access, your
10 access to different kinds of capital that have,
11 you know, maybe not, you know, a Wall Street-
12 level need for a return on investment, and you
13 mentioned this a little bit in your presentation.
14 But I guess I was just wondering, you know, if
15 you could sort of let folks here know kind of
16 where you're finding your capital and what your
17 constraints are --

18 MS. SCHRADER: Yeah. So --

19 COMMISSIONER MCALLISTER: -- in broad
20 brush terms? Right.

21 MS. SCHRADER: Yeah. Yes. And for
22 generally speaking, everyone's looking for a
23 market rate return. That's the fascinating thing
24 about this. It's just that some parties are
25 certainly more forgiving and/or looking for the

1 ability to have a deeper impact and such. And so
2 that's one of the reasons why, you know, we can
3 build in some really interesting components, you
4 know, into what we do, such as the forgiveness
5 after 20 years.

6 If you look at the data and, you know,
7 the underlying performance of these properties
8 over time, you can begin to develop a product
9 that is actuarial by nature, which is something
10 that Wall Street is quite used to, and so that's
11 really what we're doing.

12 COMMISSIONER MCALLISTER: Great. Thanks
13 a lot. And that opening for impact investing, I
14 think, was an important point as well. So great.
15 Thanks a lot.

16 So Derek, I'll give the floor to you.

17 MR. CHERNOW: Thank you. I appreciate
18 that. And I would be remiss if I didn't
19 recognize and appreciate our Moderator, Deana
20 Carrillo, for her fantastic work at CAEATFA and
21 getting these programs off the ground, up and
22 running and poised for the growth that we're
23 starting to see today. So thank you very much to
24 today's moderator.

25 You know, I think what we just heard were

1 a number of innovative approaches to the same
2 goal, which is, you know, getting our energy
3 efficiency measures in place in decarbonization
4 and making it work for -- across the board for
5 all segments, from residential to multifamily to
6 commercial.

7 So you know, I'm really encouraged with
8 the creative approaches that are taken, and the
9 view of what's been working outside of California
10 and how that might be applied here. And you
11 know, frankly, I think we're doing our best to
12 try to kind of catch up in some places and lead
13 in others, and I think today's workshop
14 highlighted some of those. So I'm encouraged
15 and, you know, appreciate everybody's input and,
16 again, thinking outside the box in our approach
17 here.

18 So no major questions, I think, for some
19 of the folks here, just, you know, as we're
20 looking forward, and this question has kind of
21 come up a couple times today, but for this panel,
22 what can the state or what should the state be
23 doing as we are moving forward to move quicker,
24 faster with our state policies and directives?

25 MR. SHAHINIAN: I think to -- I can't

1 remember if it was Holmes or who made the point
2 that programs that depend on the creditworthiness
3 of the electricity customer tend to not go very
4 well. And so the corollary to that, of course,
5 is there's some need of credit support from some
6 source.

7 And so thinking through what that will
8 look like at scale, where the sources are from,
9 how much is needed, et cetera, I think that's
10 going to be a big deal. We see it with the banks
11 that we talk to, you know, what's my recourse?
12 First question out the gate because they're a
13 bank. And so I think that's going to be really
14 important.

15 MS. SCHRADER: I think, personally, we
16 love rebates. Rebates are fantastic. All of
17 those, the rebates, accrue, again, directly to
18 the property owners. But again, that goes back
19 to this asset-building component that I can't
20 emphasize more as a function of what we do,
21 particularly in these lower-income communities.
22 It's a fantastic driver.

23 COMMISSIONER MCALLISTER: Great. Thanks
24 for that, Derek.

25 And I neglected to see that Commissioner

1 Gunda has his hand up, and then -- or his hand
2 up. And then we'll move to Commissioner Monahan.

3 COMMISSIONER GUNDA: She, I believe,
4 raised her hand indirectly, so I'm going to give
5 her first and then --

6 COMMISSIONER MCALLISTER: Oh, okay.

7 COMMISSIONER MONAHAN: Oh. Oh. I didn't
8 do it the right way. You did it the right way,
9 though, because I was like, well --

10 COMMISSIONER MCALLISTER: You're both
11 telling the other to go first, so you've got to
12 just duke it out then.

13 COMMISSIONER MONAHAN: We don't fight.

14 COMMISSIONER MCALLISTER: Yeah, I know.
15 Go ahead.

16 COMMISSIONER MONAHAN: I will take that
17 door opening.

18 So on, on-bill financing, I'm curious,
19 like, Holmes, why isn't it happening? Like why
20 aren't we doing it in California? What's the
21 barrier?

22 DR. HUMMEL: Well, there is actually an
23 official explanation for that that's been
24 underway for several years. Remember that in
25 2013, the Public Utilities Commission made a

1 decision that involved \$70 million for seven
2 different pilot programs, and then came to a
3 decision that the residential versions of those
4 pilots needed to be ported over to the
5 Treasurer's Office for the reasons that relate to
6 consumer lending laws. And CAEATFA has done a
7 phenomenal job of standing up the Residential
8 Energy Efficiency Loan Program, but it had to run
9 for two years before it could be evaluated for
10 another year, before it could be read for another
11 year.

12 And before you know it, like five or six
13 years go by and \$20 million allocated to the
14 residential sectors, you know, evaporated into
15 all of the effort that went into the blood, sweat
16 and tears to put it out in the street.

17 But even today's data presented by Kaylee
18 shows that in all of that effort, the debt-based
19 product, the on-bill financing product that's
20 still not on-bill in California, reached less
21 than 0.1 percent of the population in more than
22 five years. And that's not the ticket to scale
23 that California needs. That doesn't mean that
24 the Residential Energy Efficiency Loan Program
25 doesn't belong in a suite of portfolio policies

1 for the state but that that's not going to be an
2 adequate response to what this workshop is really
3 facing in terms of the requirement to scale.

4 But the Public Utilities Commission acted
5 very swiftly. The moment that it received the
6 evaluation report that showed that the
7 Residential Energy Efficiency Loan Program didn't
8 have a high-growth scenario that was going to tip
9 past one percent, even if it was growing ten
10 times faster than it was expected to, they voted
11 five to nothing to have an order for a new rule
12 on clean energy financing. And that was on Labor
13 Day of 2020. We're almost up to the 12-month
14 mark.

15 And what I mentioned in a prior remark is
16 that we're still in the midst of the staging
17 sequence let out -- set forward by the scoping
18 memo. And Track 2 and Track 3 of that proceeding
19 are expected to be paced out over the next four
20 quarters.

21 Almost exactly at the same time, or
22 overlapping, I should say, is a new sweeping
23 proceeding called by the California Public
24 Utilities Commission and covered in Utility Dive
25 as "the mother of all proceedings" for all

1 distributed energy resources. And I think that
2 these two proceedings, though separate, actually
3 are implicating each other. And the new
4 proceeding on high deployment of distributed
5 energy resources names the clean energy finance
6 proceeding as one that could be affected. And
7 all of us on the service list received that new
8 proceeding.

9 I say this because the Integrated Energy
10 Policy Report for the State of California should
11 definitely behold these landmark proceedings that
12 are now finally underway at the Commission after
13 almost seven years of procedural delay.

14 MS. CARRILLO: Holmes, for providing that
15 context. I just want to tease out some issues,
16 just for folks that might be new to the subject,
17 because there's a lot of terms being used.

18 You know, Holmes's presentation was on
19 tariff billed -- tariff-based financing, which is
20 between the utility and the customer. There is
21 also on-bill financing, which the utilities are
22 carrying out today, where it's a loan only to the
23 commercial -- only to commercial properties from
24 the utility directly to the customer, and those
25 are zero percent loans that are going in the

1 commercial sector.

2 And then there's on-bill repayment which
3 is what was in that original -- not the original,
4 one of those prior decisions to actually come up
5 with a standardization between private capital
6 and the utility bill. And that is a challenge to
7 coordinate with all those utilities, with private
8 lending laws as well. And so it's really taking
9 those two most regulated entities or agencies and
10 trying to get them to coalesce.

11 So not sure if the question was on the
12 on-bill repayment, on-bill financing, or tariff-
13 based financing, which was one of those equity
14 focuses that Holmes has been focusing on for
15 several years.

16 Sorry to pause there, just wanted --
17 they're easy to conflate.

18 COMMISSIONER MONAHAN: (Indiscernible.)
19 Thank you.

20 DR. HUMMEL: I do think that the report
21 on accessible financing sets forward a pathway
22 for California that is worthy of revisiting.
23 It's about a year old. There have been plenty of
24 meetings, discussions, workshops, back channels
25 about the recommendations that are there. And

1 it's gratifying to see people pick them up.
2 There's more than one investor-owned utility that
3 is interested in making these types of
4 investments.

5 And the California Energy Commission may
6 be in an enviable place to address any of the
7 gaps that may be apparent to them in the path to
8 implementation, whether that's data access,
9 estimation software, best practices development,
10 or other types of integration that we've heard
11 about from many of the stakeholders in these
12 proceedings looking for stackable, streamlined,
13 one-stop-shop kind of coordination. All of that
14 would improve the user experience and the
15 prospects of success.

16 And if there's any doubt about the
17 competency of California executives to move
18 forward in a more inclusive way, I think that the
19 Department of Energy is an excellent partner, and
20 they are looking for partnership.

21 MS. D'AMICO: Holmes, I do just want to
22 complement what you said. You know, I think
23 tariffed on-bill and all of the other programs
24 that Deana mentioned are all ways in which these
25 gaps can be filled. And not one solution is

1 going to be the best solution for every customer.
2 And I think it's important to distinguish the
3 fact that, you know, what CAEATFA and the CHEEF
4 are doing in terms of our financing and what's
5 going to happen through tariffed on-bill
6 financing, what the OBR will do, with the IOUs
7 OBF will do, they are all meeting different needs
8 within the market. And I think, you know, it's
9 fair to say that all of them are welcome.

10 And you know, I think at CAEATFA,
11 specifically, you know, we champion all options
12 that increase accessibility of financing to
13 individual consumers.

14 DR. HUMMEL: Indeed.

15 COMMISSIONER MCALLISTER: Great. Thanks.

16 Commissioner Monahan, did you have any
17 other questions you want to ask?

18 COMMISSIONER MONAHAN: I think it's
19 Commissioner Gunda's turn. And I'm worried about
20 time because --

21 COMMISSIONER MCALLISTER: Okay.

22 COMMISSIONER MONAHAN: -- I do have one
23 more question for Mark, but only this.

24 COMMISSIONER MCALLISTER: Okay. Great.

25 COMMISSIONER GUNDA: Commissioner

1 Monahan?

2 COMMISSIONER MCALLISTER: Go ahead,
3 Commissioner Gunda. Thank you.

4 COMMISSIONER GUNDA: Commissioner
5 Monahan, please go forward. We can follow up
6 with a number of these. Okay. I will do that.
7 Okay.

8 So I think I'll just use this to first, I
9 think, say thank you to Deana, as well, and I
10 think Derek kind of raised her previous
11 contributions to this work. So Deana, just great
12 to have you on the team and help facilitating
13 this.

14 So I think, you know, I just want to
15 bring it a little bit back to the start of the
16 day today, just on equity and kind of the
17 important role that financing plays in this whole
18 paradigm. So in the morning, there was a couple
19 of areas that came up, specifically kind of de-
20 siloing the programs, you know, an opportunity to
21 kind of provide a more comprehensive one-stop-
22 shop. And I think a number of you just mentioned
23 those.

24 And there was also this discussion around
25 potentially having a rotating potential of money

1 available. And I think Kaylee's presentation was
2 probably the closest in trying to kind of, you
3 know, dial up that model too. I mean, some of
4 the things that Kaylee mentioned about advocating
5 for increasing the diversity of the pot of money
6 that, you know, organizations can work with, and
7 also bringing solar and storage and such into a
8 comprehensive kind of setting.

9 So I just wanted to ask, you know, as you
10 are all kind of looking at this as financing
11 experts, kind of how do we -- how do we -- I
12 mean, like I'm going to put this in the SB 100
13 context. For us to get to carbon neutrality SB
14 100 goals, we need to expand electrification
15 very, very rapidly, especially towards the tail
16 end of this decade, and then it's going to just
17 continue to grow. So to really unlock that level
18 of kind of aspiration, I feel like there is a
19 role that the public policy plays in this. But as
20 Commission McAllister kind of properly set this
21 up, it is a huge place for financing.

22 If you can just kind of talk about how we
23 can come with a pot of money that's accessible
24 equitably, and then kind of dial up the
25 integrated programs? Maybe start with Kaylee.

1 And then anybody else want to add to that?

2 MS. D'AMICO: Sure. And I'm happy to
3 defer to Derek on this one. But my personal
4 response, I think during the Commission, the PUC
5 specifically, excuse me, the clean energy
6 financing proceeding, there were a number of
7 suggestions in the prior comment periods leading
8 up to the proposed decision that was released a
9 few weeks back. And there were specific
10 suggestions from other agencies of other pots to
11 pull from.

12 I think there were some questions
13 about -- oh, gosh, I'm going to mess this up --
14 but there were other pots of money that were
15 suggested by commenters specifically used for
16 solar funding, so suggesting that part of the
17 funding for the CHEEF could come from a solar
18 fund, as well as an efficiency fund. I think
19 there was also discussion of a potential
20 pollution or carbon tax credit. There were a
21 couple other options listed. But I think the
22 goal, in general, was just to move away from and
23 beyond funds earmarked for efficiency if the
24 program was also to be approved to finance other
25 measures, like distributed generation.

1 But Derek, I'm sure, has a much more
2 eloquent response than that.

3 MR. CHERNOW: No. I'll just add to that.

4 As we move forward and we go through the
5 Public Utility Commission proceedings, we have
6 asked for and are looking to get the ability to
7 expand, not just geographically but, also, our
8 program into non-ratepayer funds. And with
9 everything that's going on at the federal level,
10 as Holmes had mentioned earlier, with the
11 Department of Energy and other potential partners
12 out there, it gives us a chance to scale up a lot
13 more rapidly, reach more people, and really run a
14 more effective statewide program.

15 MS. CARRILLO: On that note, if anyone
16 else has questions, feel free to put them in --
17 type them in the Q&A.

18 MS. SCHRADER: May I make a quick comment
19 on this? And that is that there's also ways to
20 blend capital that I think is quite fascinating
21 in that you can have first-class capital, you
22 know, be a higher risk, and then layer into that,
23 again, more institutional capital that, you know,
24 is relying upon predictable yield in such a way
25 that I think you can also achieve this.

1 And what I've seen over the last year-
2 and-a-half to two years is tremendous interest in
3 this space. And I think it's, again, going back
4 to aligning that capital with a source is
5 tremendously important.

6 COMMISSIONER MONAHAN: So --

7 COMMISSIONER MCALLISTER: Thanks. Thanks
8 to all of you.

9 Yeah, go ahead, Commissioner Monahan.

10 COMMISSIONER MONAHAN: Yeah. Well, I had
11 a question for Mark.

12 So Mark, I was really excited by the fact
13 that you're dealing with this major market
14 failure which is, you know, the owner of the
15 building is the one that has to invest but the
16 benefits accrues to the renter. And so are there
17 other spaces, besides big commercial buildings in
18 San Francisco, that this could apply to? Is
19 there any? I mean, of course, multifamily
20 dwellings is our hardest nut to crack. But are
21 there other buildings that this could apply to,
22 besides big commercial buildings?

23 MR. SHAHINIAN: Well, yeah. And just to
24 be clear, we do large commercial because that's
25 our existing customer base. This could work in

1 small commercial, as well, it just has to be
2 served differently.

3 But we do across large commercial. We do
4 everything from hospitals to medical office
5 buildings to biotech lab space to office
6 buildings, it kind of cuts across. We tend,
7 again, not to deal with government entities
8 because they're not our customer base. There are
9 a ton of other ESCOs that serve governments in
10 the same capacity. City of San Jose just pulled
11 down an OBF loan for, I don't know, \$20 million
12 or something from PG&E.

13 So I think it cuts across in that sense.
14 Does that answer your question?

15 COMMISSIONER MONAHAN: Yes. Thank you.

16 MR. SHAHINIAN: And I think what
17 everybody, just to reemphasize what I think you
18 already know, is what everyone is surprised by
19 is, oh, that's a \$2 billion office building, why
20 don't they have money to fix their systems? Why
21 don't they have a million or two lying around to
22 fix their systems? Well, they just don't the way
23 they're structured. And it surprises us every
24 time that they don't. And so -- but if you can
25 align all the incentives, it can go.

1 COMMISSIONER MCALLISTER: Yeah. I think
2 we've heard that in different forms throughout
3 the day where, you know, getting it off the
4 balance sheet and letting a professional who does
5 this for a living kind of do the project and make
6 sure they've got the right capital for the right
7 job is kind of what we need to let happen. We
8 need to encourage that to happen and create the
9 program structures, or get out of the way
10 sometimes; right? But assist that in happening.
11 And I really appreciate everyone's expertise on
12 this topic.

13 The last thing I think we want to do,
14 assuming no other folks on the dais have
15 questions? Let me just get a confirmation of
16 that. Okay. Great. Terrific

17 So I think we want to open the phone
18 lines. We don't have any public comment or hands
19 raised, I think, on the Zoom, but let's open the
20 phone lines just to make sure we don't have any
21 public comment -- or ask for public comment. Let
22 us know if they do so --

23 MS. RAITT: Go ahead, Dorothy, if you
24 want to?

25 Maybe Dorothy could give some

1 instructions for folks.

2 COMMISSIONER MCALLISTER: Oh, great.

3 Okay. We're going to run a couple minutes over,
4 it looks like.

5 MS. MURIMI: Yes.

6 COMMISSIONER MCALLISTER: So apologies
7 for that.

8 Go ahead, Dorothy.

9 MS. MURIMI: All right folks. Thank you.

10 And thanks Heather.

11 I'll go over the instructions. So one
12 person per organization may make a comment and
13 it's limited to three minutes per speaker. But
14 if there's a lot of folks who want to speak,
15 we'll reduce that to one-and-a-half minutes per
16 speaker. If you're using the Zoom, use the
17 raise-hand feature and let us know if you'd like
18 to make a comment. And if you're on the phone,
19 dial star nine to raise your hand and star six to
20 un-mute on your end, and we'll un-mute on our
21 end.

22 So just looking for folks on Zoom right
23 now. I don't see any. Again, that's the raise-
24 hand feature if you're on Zoom. Oh, I see one,
25 John Shipman. John Shipman.

1 And you can speak now, John Shipman.

2 Your lines been opened.

3 MR. SHIPMAN: Yes. No. Thank you very
4 much. Well, I just want to say I'm really -- was
5 really excited about the time-of-sale financing
6 option that's going to pilot in the SDG&E
7 territory. And so I want to -- I can't wait to
8 see what that looks like because that could have
9 a significant impact in helping to build asset
10 value in low-income family housing, especially
11 with homeowners in disadvantaged communities. So
12 just applaud your efforts there, the CHEEF
13 Program, and just looking forward to see how this
14 pans out in San Diego, and if it can become a
15 statewide program.

16 That was it, just a comment.

17 MS. MURIMI: Thank you, John.

18 Checking for more hands on Zoom. Again,
19 you can raise your hand using the raise-hand
20 feature. It looks like a high five. And if
21 you're on the phone, again, that's star nine to
22 raise your hand, again, star nine. I'm going to
23 give that one moment. All right. It doesn't
24 look like we have any comments.

25 Commissioner McAllister, I'll hand the

1 mike back to you.

2 COMMISSIONER MCALLISTER: Great. Thank
3 you so much, Dorothy, for being here and helping
4 us throughout the day alongside the IEPR Team and
5 Heather, and our moderators, and our panelists
6 throughout the day, and our couple keynotes, as
7 well, that we had. So I won't run through the
8 whole list but it's been an amazing day.

9 And before I wrap up, I'll invite anyone
10 on the dais to make any wrap-up comments and
11 maybe highlight any key takeaways they learned
12 before wrapping it up myself and passing it off
13 to Heather for the final details. It's been
14 quite a long day.

15 COMMISSIONER GUNDA: Yeah. Commissioner
16 McAllister, I just, yeah, I just want to note a
17 sincere thank you for pulling this together.

18 And Staff, I think this is an extremely
19 important conversation. I mean, I feel like, you
20 know, for the last -- before I started the energy
21 assessment side of it, my work was in buildings
22 and kind of looking at kind of steady progress in
23 the buildings, but also the kind of the
24 challenges that continued to persist is kind of
25 an eyeopener; right? I mean, like we know the

1 slog that we're in for, for the next, you know,
2 several years here, and decades.

3 And I think I really enjoyed the equity
4 conversation this morning and the importance of
5 de-siloing the programs, and I just took that to
6 heart, as well as trying to think through, you
7 know, the hard nut to crack, the non-energy
8 benefits, but how do we really think about non-
9 energy benefits is an important part of our
10 thinking moving forward, you know, in terms of
11 both equity but broader planning? And also, I
12 think the reemphasis of the panelists that
13 efficiency is at the core. We cannot forget
14 efficiency as we dial up the building
15 decarbonization track.

16 So thanks to Heather. Thanks to the
17 Efficiency staff. Thanks to you and to all the
18 panelists and public today. Thank you.

19 COMMISSIONER MCALLISTER: Thank you,
20 Commissioner Gunda, for being here.

21 Commissioner Monahan, any wrap-up
22 comments?

23 COMMISSIONER MONAHAN: Yeah. Well, I
24 mean, a couple of eyeopeners --

25 COMMISSIONER MCALLISTER: Okay.

1 COMMISSIONER MONAHAN: -- for me were
2 really the fact that solar is what makes a lot of
3 these investments pencil out. But just that, you
4 know, as I said earlier, that's a little
5 concerning, just given the potential for changes
6 in our rate structure. So that's just something
7 I think we need to be really mindful of.

8 I hope one day to be on a panel where
9 Holmes is talking about how her work actually is
10 being implemented here in California. But it was
11 a really interesting day. I learned a lot.

12 And I appreciate your work, Commissioner
13 McAllister, in organizing these really thoughtful
14 IEPR workshops, as well as the whole team. It
15 was really a great day, so thank you.

16 COMMISSIONER MCALLISTER: Derek, do you
17 want to --

18 MR. CHERNOW: Yes. Thank you.

19 COMMISSIONER MCALLISTER: -- wrap up at
20 all?

21 MR. CHERNOW: I'll just --

22 COMMISSIONER MCALLISTER: Yeah. Perfect.

23 MR. CHERNOW: -- I'll echo the
24 appreciation to Energy Commission staff and
25 everybody for including us and inviting us here

1 today. You know, it was a real encouraging and
2 eye-opening look at some of the exciting programs
3 that are taking place throughout California.

4 And so it's a good reminder that some of
5 these programs can move with alacrity and some do
6 take time, depending on the type of financing and
7 the intricacies they have to go through to be
8 implemented. And that's not a condemnation, it's
9 just a statement of fact. And you know, some of
10 these programs have rulemakings associated with
11 them and, you know, agreements that have to be
12 struck, and all those other things before they
13 are actually implemented.

14 But at the end of the day, they're moving
15 toward the same goal which is, again, you know,
16 deep decarbonization and energy efficiency in our
17 buildings and in our residences.

18 So you know, it's been a very positive
19 day for me. And the takeaway is that there's a
20 lot of good people doing a lot of good things,
21 some quick, some not as quick, but all towards
22 the same goal. And I think that's something that
23 is very encouraging moving forward, so thank you
24 for having us.

25 COMMISSIONER MCALLISTER: Great. Well,

1 thank you very much. And just, I'll be super
2 brief but I just want to thank everyone again.
3 And I also look forward to being, you know,
4 hopefully not five years from now, but being --
5 having Holmes on another panel saying --
6 looking -- just a retrospective of how tariffed
7 on-bill has scaled and really is moving the
8 needle in California. There's really, I think, a
9 lot of reasons to be optimistic that we're going
10 to get that done in California and really create
11 a fat pipe for good capital to make it to these
12 excellent, you know, decarbonization projects.
13 And you know, we all want that to happen.

14 But across the board, I think today,
15 we've seen a lot of -- we've heard a lot of
16 expertise informing this conversation and it's
17 really great. And just really that's one thing
18 we have in California is smart people with a
19 public service commitment who are asking great
20 questions and bringing a lot of insight, and
21 we've seen that in spades today, so thanks
22 everybody again.

23 I will highlight, tomorrow we have the
24 third of three workshops over these two days.
25 Tomorrow morning at nine o'clock we're going to

1 talk about decarbonization and workforce.

2 And you know, to Holmes's point about the
3 DOE as a partner, we are trying, whenever we can,
4 to bring in Department of Energy and other
5 federal representatives to really start to build
6 better, I think, broader and longer bridges
7 between state and federal, you know, especially
8 now that we have good alignment with the Biden
9 Administration and California Administration.

10 So we are having Tony Reames tomorrow
11 from the Department of Energy who focuses on
12 equity in buildings, and he's going to give us
13 our opening keynote, so looking forward to that,
14 but please come.

15 We'll also have Sarah White from the
16 Governor's Office of Planning and Research to
17 talk about her work there and giving us an
18 overview of the Just Transition.

19 So you know, we've talked about workforce
20 and equity issues today and just, really, I think
21 it's weaved throughout everything we're doing for
22 both morning and afternoon today, for sure. And
23 we'll really dig on in that further tomorrow, so
24 please be with us at 9:00.

25 And with that, I think you're seeing the

1 written comment guidance there from Heather on
2 that final slide. And with that, I'll pass it
3 back to Heather, just for any final comments that
4 you might have on the logistics for tomorrow.

5 MS. RAITT: No. You covered it all.
6 Thank you so much. And thanks everybody --

7 COMMISSIONER MCALLISTER: Okay. Great.

8 MS. RAITT: -- for everybody being here
9 today.

10 COMMISSIONER MCALLISTER: Great. That
11 coffee is looking really good about now, so thank
12 you for that.

13 MS. RAITT: Okay.

14 COMMISSIONER MCALLISTER: All right. All
15 right. Well, take care. We'll see everyone
16 tomorrow. Appreciate it.

17 (Off the record at 5:08 p.m.)

18

19

20

21

22

23

24

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of October, 2021.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

October 1, 2021